

1 water quality criteria or not and facilities planning is not  
2 factored into that scope of the complainant discharge, this  
3 topic is still worthy of discussing. It is a topic that is  
4 of great interest in our community, partly due to drought  
5 conditions, which opens the discussion of wastewater beyond  
6 just our realm of water quality and into the arena of water  
7 supply as well.

8 The feasibility of secondary treatment at the plant  
9 has, in fact, been technically and economically explored and  
10 is estimated to cost approximately \$1.5 billion, but water  
11 resource advocates oppose the notion of wasting millions of  
12 gallons of water a day when those financial resources could  
13 be applied to water recycling upgrades that would allow for  
14 reuse and at the same time reduce flows to the plant.

15 The role of local environmental groups in our  
16 community is flexible such that they may apply pressure to  
17 the Discharger and other municipalities in this regard.

18 Two of the environmental groups that have actively  
19 engaged in planning discussions with the Discharger have  
20 entered into a cooperative agreement, which requires the  
21 Discharger to spend \$2 million on comprehensively studying  
22 recycled water opportunities completely outside the  
23 requirements of this draft permit.

24 This agreement is based on a mutual goal shared by  
25 the Discharger and those environmental organizations of

1 reduction in the quantity of the suspended solids discharged  
2 into the marine environment from permit term to permit term.  
3 The percent reduction is not specified in O.P.R.A.

4 The mass emission limits in the draft permit come  
5 from U.S. EPA's recommendations on Page 32 of the Tentative  
6 Decision Document and are based on dischargers -- on the  
7 Discharger's projected annual average effluent flow rate and  
8 80 percent minimum removal of total suspended solids.

9 Regional Board Staff intends to prepare an  
10 Executive Officer Report item that summarizes the City of  
11 San Diego's current recycled water use and will specifically  
12 quantify the degree of solids reduction through the  
13 Point Loma Ocean Outfall due to operations at the North City  
14 Water Reclamation Plant.

15 At the January Board meeting, Mr. King commented on  
16 toxic substances and pharmaceuticals that may bio accumulate  
17 in the food chain. Fish that are affected by concentrations  
18 of these substances in the water column and sediment outside  
19 State jurisdictional waters but that may later swim into  
20 State waters.

21 The Tentative Decision Document considered the  
22 Discharger's results from sediment monitoring -- sediment  
23 monitoring monitoring benthic species and bioaccumulation  
24 and fish tissue from all receiving water stations.

25 While the Outfall sediments are, indeed, outside of

1 exploring opportunities to increase recycled water use and  
2 decrease flows through the Point Loma Ocean Outfall. The  
3 cooperative agreement was finalized earlier this year and is  
4 available to the public.

5 The topic of renewing this waiver in the future is  
6 tied closely with the results of these studies, but there is  
7 no limitation of permit terms in the 301(h) requirements, no  
8 sunset provision.

9 However, the goal of these studies is to identify  
10 significant recycled water opportunities, which would, of  
11 course, influence any future NPDES permit renewal requests.

12 Until the studies are completed, however, it is  
13 impossible to identify how such recycled water use may be  
14 implemented, when it will be implemented, or how it will  
15 affect treatment needs at the plant. Regardless of the  
16 results of the studies, the current discharge does comply  
17 with all relevant State and federal water quality standards  
18 and criteria.

19 At the January Board meeting, Mr. Rayfield also  
20 commented on the reduction of total suspended solids from  
21 15,000 to 13,598 metric tons per year in the final year of  
22 the five-year permit term.

23 The requirement to reduce mass loading is based on  
24 the Ocean Pollution Reduction Act or O.P.R.A., which amends  
25 the Clean Water Act at section 301(j)5. O.P.R.A. requires a

1 State waters, the sediment monitoring demonstrates  
2 compliance with California Ocean Plan standards for sediment  
3 chemistry and protection of benthic species.

4 Laboratory analyses of fish liver and muscle tissue  
5 at all of the receiving water stations document that  
6 concentrations of toxic metals and toxic organic compounds  
7 are within health standards. They are also consistent with  
8 concentrations found elsewhere in the Southern California  
9 bay. The discharge is in compliance with California Ocean  
10 Plan acute and chronic toxicity requirements as well.

11 With respect to the topic of pharmaceuticals  
12 specifically, this is an issue that is of great concern in  
13 our community among many other communities.

14 At the present time, the California Ocean Plan does  
15 not have numerical water quality objectives established for  
16 these substances; however, the Discharger is partnering with  
17 research organizations such as the Southern California  
18 Coastal Water Research Project or SCCWRP, to assess the  
19 presence and impacts of pharmaceuticals in wastewater  
20 discharges in local receiving waters.

21 The Discharger is also evaluating control  
22 strategies through participation in the State's, "No drugs  
23 down the drain" campaign to prevent some of these substances  
24 from entering the wastewater collection system in the first  
25 place.

1 I hope I have addressed these topics to your  
2 satisfaction. If you require more discussion, I will be  
3 happy to revisit these issues following my presentation.

4 At this point, I would like to summarize the role  
5 of each agency involved in this waiver and draft permit  
6 process.

7 The City of San Diego. The City of San Diego has  
8 an obligation to be in compliance with the Clean Water Act.

9 Although the Clean Water Act includes criteria that  
10 defines secondary treatment standards under very specific  
11 circumstances, it does not require these criteria and  
12 instead requires stringent alternative requirements as  
13 defined in Section 301(h) of the Clean Water Act, and  
14 additional requirements in Section 301(j)5 associated with  
15 water reclamation applies specifically to this Discharger.

16 The City of San Diego submitted a timely permit  
17 application for renewal.

18 Now, U.S. EPA. U.S. EPA's role is to review that  
19 application, take the receiving water monitoring raw data  
20 and independently analyze it and then note whether the  
21 discharge does or does not meet the applicable Clean Water  
22 Act standards.

23 This evaluation is documented in detail in the  
24 Tentative Decision Document, which concluded that the  
25 discharge complies with applicable receiving water quality

1 standards, supports beneficial uses that protect human  
2 health and aquatic life, and is consistent with maintaining  
3 a balanced indigenous population of fish, shell fish,  
4 benthic species, and wild life outside the zone of initial  
5 dilution.

6 In other words, U.S. EPA's technical decision  
7 document supports that the discharge qualifies for a 301(h)  
8 waiver.

9 Now, the Regional Board's role. The Regional Board  
10 also reviews the permit application to determine if all  
11 applicable and State and federal requirements for renewal  
12 have been met. If so, an NPDES permit based on the 301(h)  
13 variance is drafted to also include State waste discharge  
14 requirements based on the California Ocean Plan and any  
15 other applicable State plans and policies.

16 This draft permit with errata is what you are  
17 considering for reissuance today. If you approve the  
18 reissuance, the two subsequent steps required are the permit  
19 consideration by the California Coastal Commission and  
20 U.S. EPA's publishing of the final decision document. The  
21 draft permit would not go into effect without Regional Board  
22 and California Coastal Commission approval.

23 This concludes my presentation on this item. I am  
24 now available to answer any questions you may have.

25 MR. WRIGHT: Thank you very much.

1 Any questions at this time? Yes, Wayne.

2 MR. RAYFIELD: Thank you, Mr. President, and thank you,  
3 Melissa, for an excellent presentation. Two questions.

4 Could you tell us, please, who the two  
5 environmental groups are that are working on this  
6 cooperative agreement with the Discharger?

7 MS. VALDOVINOS: It's Surfrider and Coastkeeper.

8 MR. RAYFIELD: Wonderful. Congratulations on that. I  
9 think it's great to have that kind of cooperation working  
10 together.

11 And, also, I was interested in your comments  
12 pertaining to the work that SCCWRP is doing on the  
13 pharmaceutical discharge, which I think is a looming problem  
14 for us all, and I'm wondering -- or the question is, I guess  
15 for Mr. Robertus, can we do an update on that when there are  
16 some data available or some inclinations?

17 I think we ought to aggressively -- as a Board,  
18 aggressively follow this issue and what SCCWRP finds out and  
19 the like.

20 MR. ROBERTUS: I will follow up on that. The executive  
21 officers have had that as an agenda item on our monthly  
22 meeting twice within the last year-and-a-half.

23 The main issue right now is that nationwide and  
24 within the state, particularly the coastal waters, there  
25 needs to be more monitoring to assess where these chemicals

1 are, in fact, found. They're referred to now as "pollutants  
2 of emerging concern" and, specifically, pharmaceutical and  
3 personal care products.

4 There are some locations where a lot of information  
5 is available now. It happens to be in the plumes of ocean  
6 discharges, such as Point Loma, but there is evidence that  
7 they're coming from other sources and -- and inland waters  
8 as well as ocean waters, so I will endeavor to put an  
9 Executive Officer's Report together and keep you apprised.

10 MR. RAYFIELD: Thank you.

11 MR. WRIGHT: Anything else? Okay. Let's -- thank you  
12 very much. We have two speaker slips, Jim Barrett, Director  
13 of Public Utilities from the City of San Diego, and  
14 Alan Langworthy, Deputy Director of Public Utilities, City  
15 of San Diego.

16 Both individuals have indicated that there's no  
17 need for them to speak unless there are questions. So if  
18 you have any questions of either individual, now is the time  
19 to ask those. Good.

20 Okay. At this time, I think it would be  
21 appropriate to hear from members of the Board. Any final  
22 comments on this before we have the recommendation from our  
23 E.O. and then take a vote on it? Mr. Thompson?

24 MR. THOMPSON: Just one real briefly. I am pleased to  
25 hear about the cooperative agreement. I think the

1 Discharger is headed in the right direction. They're  
2 working with the right parties. I think it's important that  
3 that process be expedited as best as practicable.

4 I know that doing studies like that will involve  
5 cost and not sure how that's going to work out with the  
6 City, concerning the funding difficulties they're facing  
7 just like every city in the State of California, but I would  
8 hope that maybe Surf Rider and Coastkeeper could help in that  
9 aspect as well.

10 Because I think the quicker we get to a situation  
11 where we can really identify what the right answer is to get  
12 out of this situation where we're issuing waivers  
13 periodically, in this case every five years, I think the  
14 better off we'll be.

15 And when you look long term, that's exactly where  
16 we need to go, and I'm very pleased to hear that they are  
17 working in that direction. Those are my comments.

18 MR. WRIGHT: Anybody else? Mr. Destashe?

19 MR. DESTACHE: I think it's important that we look to  
20 the City and their member agencies to look at water reuse  
21 and the capabilities of building plants that can or -- not  
22 secondary plants, but additional plants that can take the  
23 effluent and reuse the water.

24 In lieu of going to a secondary or tertiary  
25 treatment to reduce the flows in this -- in the effluent,

1 mentioned, there are a lot of member agencies involved. I'm  
2 not sure how many, about 15, I suppose, somewhere in that  
3 order, and those different agencies have different ideas  
4 about water recycling. They're kind of upstream, downstream  
5 differences of opinion and so on that need to be thrashed  
6 out.

7 There is an organization, what's it called -- the  
8 other member agencies, but I don't know that that  
9 organization really has much power to make decisions.  
10 Ultimately, it's the City of San Diego that carries the big  
11 stick.

12 So anything else? Yes, Wayne.

13 MR. RAYFIELD: Well, I just have one last thought, and  
14 it's on this partnering with the environmental community and  
15 the Discharger.

16 I hope both groups will, as they go through this  
17 process, see if there are any lessons learned if you will  
18 from working together that can be documented and might  
19 benefit others.

20 I really think it's a great model, and I'd like to  
21 ask both groups that, keep your eyes open, and think about  
22 what you're doing, what develops that -- that could be  
23 applied in other similar situations perhaps. Let's learn  
24 from these things.

25 MR. WRIGHT: With that, Mr. Robertus?

1 because as -- as the need for water increases, the need to  
2 process that water and reuse it is going to help in the  
3 effluent quantities that we're going to get, and I think  
4 it's important that we look at that, and in the future I  
5 think we should really take a closer look at it.

6 MR. WRIGHT: I agree and not just in developing the  
7 plants but also the infrastructure that's required to  
8 deliver the water.

9 I, too, wanted to thank the environmental community  
10 and the City for working together on this. But to the City  
11 or to all, I think the handwriting is on the wall. So  
12 during the next five years, significant improvements need to  
13 be made to reduce mass loadings at the Point Loma Plant  
14 through, largely I would think, through water recycling.

15 As -- as you've heard, this Board is very keen on  
16 the agencies making headway in this region on the area of  
17 water recycling. I don't need to say that again, I guess,  
18 but I think it should be pretty clear by now. We harp on  
19 this just about every meeting.

20 So -- and I don't know if City wants to make any  
21 statement at this time or not, but we do appreciate your  
22 work on this as well.

23 It is a complex situation, in part because it's not  
24 just the City of San Diego. The City of San Diego is  
25 responsible for running the plant, but as -- as Grant just

1 MR. ROBERTUS: Before I make my recommendation, I'd like  
2 to acknowledge the work off Alan Langworthy. I don't think  
3 we'll see Alan again here at the Board in five years,  
4 because I know he's departing his long tenure with the City  
5 in the near future, but Alan has been at the forefront of  
6 the Staff coordination with us at the executive level and at  
7 the Staff level to deal with the issues.

8 He's also been engaged with SCCWRP dealing with the  
9 tasks that have been presented to the Southern California  
10 Coastal Water Resource Project over the last 40 years. Not  
11 that Alan's been with them for 40 years, but he has been an  
12 integral part of our water quality challenge solution set,  
13 and I can't give him credit for the coalition of the  
14 environmental groups, but I can certainly note his work with  
15 our Staff and this Board in the past years. So, thank you,  
16 Alan.

17 MR. WRIGHT: John, I would just echo those comments.  
18 Alan, you've been a great public servant. I hope you will  
19 continue. There's always volunteer work out at the Water  
20 Conservation Garden pulling weeds and trimming bushes.

21 MR. LANGWORTHY: Thanks for the opportunity.

22 MR. WRIGHT: I'm always recruiting.

23 MR. ROBERTUS: With that, it's with great pleasure that  
24 I recommend to the Board the adoption of the permit of the  
25 tentative order with the caveat that EPA must also adopt and

1 approve this permit, which I anticipate will take place in  
2 about 30 days.

3 MR. WRIGHT: Mr. King, did you wish to make a motion?  
4 MR. KING: Yeah. I'll make a motion to adopt the  
5 Resolution with errata.

6 MR. DESTACHE: I'll second.  
7 MR. WRIGHT: Okay. We have a second from Mr. Destashe.  
8 Any further discussion?  
9 All those in favor of the motion say aye?  
10 (Board Collectively agreed)

11 MR. WRIGHT: The motion is approved unanimously. Thank  
12 you very much.

13 Okay. Continuing, Item 7. Again, I have a brief  
14 statement. We've only been at this for an hour, folks, I'd  
15 like to continue for at least another half hour.

16 MR. ROBERTUS: Mr. Chair, the Staff person isn't here.  
17 MR. WRIGHT: We will take a brief -- very brief break.  
18 (Pause in the proceedings)

19 MR. WRIGHT: The Board will come to order.  
20 While we're waiting for Wayne to return, I have a  
21 brief statement to read into the record.  
22 The public hearing on Item 7, consideration of an  
23 NPDES permit reissuance for BAE Systems San Diego Ship  
24 Repair, Discharge to San Diego Bay, Tentative Order Number  
25 R9-2009-0080 is now open.

1 errata sheet with further revisions of the tentative order.  
2 You can find the errata sheet as Supporting Document  
3 Number 9.

4 The Regional Board has received a number of  
5 comments, and they are included in the agenda. Also  
6 included in the agenda is the Regional Board Staff response  
7 to comments. There's an additional supplemental errata  
8 sheet that is not included in the agenda package, that  
9 document is Supporting Document Number 10, and it has been  
10 provided to you this morning.

11 The supplemental errata sheet has two minor  
12 changes. The first change deletes the following language  
13 from Section 5A. Quote, "Have the reasonable potential to  
14 cause" end quote. The second change clarifies acute  
15 toxicity applies to non-storm water discharges by making  
16 some minor changes in Section 4A2 and Table 6.

17 Besides Supporting Document Number 10, there is no  
18 new information that was not in your initial agenda package.  
19 The tentative order before you is titled Tentative Order  
20 Number R9-2009-0080, NPDES Number CA019151, waste discharge  
21 requirements BAE Systems San Diego Ship Repair, Inc.,  
22 discharge to the San Diego Bay.

23 If adopted, this tentative order would reissue  
24 waste discharge requirements or WDR's regulating the  
25 discharge of storm water and non-storm water waste to

1 Will all persons wishing to speak on this matter  
2 please stand and affirm that they've taken the oath that's  
3 on the speaker slips and the oath -- if you would stand,  
4 please.

5 (Whereupon all prospective speakers were duly  
6 collectively sworn by the Board Chair)

7 MR. WRIGHT: Okay. Thank you. With that, we'll begin  
8 the presentation by Staff. And who speaks for Staff?  
9 MR. ROBERTUS: Vicente Rodriguez will be speaking for  
10 Staff.

11 MR. WRIGHT: How much time, Mr. Rodriguez, do you need?  
12 MR. RODRIGUEZ: 10 or 15 minutes.  
13 MR. WRIGHT: 10 or 15 minutes, how much do you need?  
14 MR. RODRIGUEZ: About 15.  
15 MR. WRIGHT: 15. Well, that's stretching it. Keep it  
16 closer to 10 if you would.

17 MR. RODRIGUEZ: Good morning, Chairman Wright and  
18 members of the Board. My name is Vicente Rodriguez. I'm a  
19 Water Resource Control Engineer in the Core Regulatory Unit.  
20 At this time, I would like to enter the Regional Board files  
21 regarding this matter into the record.  
22 In your agenda package is included an underlying  
23 strikeout revision of the tentative order that is a result  
24 of comments received. You can find it as Supporting  
25 Document Number 2, and in the supplemental package is an

1 surface waters. This WDR shall serve as an NPDES permit.  
2 This slide lists our projects of reissuing permits  
3 to seven similar shipyard facilities located around  
4 San Diego Bay with NPDES permits. Campbell Shipyard is  
5 included for reference, but they have closed since 1999. It  
6 is also a list of where we are in -- it is also a list of  
7 where we are in reissuing the permits.

8 The tentative order you will be considering for BAE  
9 Systems is one of these permits.

10 The first one considered by the Board was adopted  
11 last year for Continental Maritime of San Diego.  
12 The next one, U.S. Naval Base Coronado, will be  
13 considered in the next agenda item, and the remaining four  
14 are tentatively planned for a later Regional Board meeting.  
15 These are NASSCO, U.S. Navy Graving Dock, U.S. Naval Base  
16 San Diego, U.S. Naval Base Point Loma.

17 In drafting the tentative orders for this list, the  
18 Regional Board staff consulted with the dischargers, State  
19 Board, and U.S. EPA, especially in evaluating the toxicity  
20 issue.

21 Since the adoption of the Continental Maritime  
22 Permit, the remaining dischargers all have submitted  
23 additional information for consideration of the time  
24 schedule for compliance with the permit. This has been  
25 incorporated into the permit as interim limitations.

1 In this slide you will see a map of the facility in  
2 relation to the rest of the bay. The facility is a full  
3 service ship repair facility and occupies approximately 10  
4 acres of land and 16 acres of water on the eastern  
5 waterfront of central San Diego Bay.

6 The San Diego Unified Port District is the lessor  
7 to BAE Systems. The facility consists of five piers ranging  
8 in length from 257 feet to 700 feet and two floating dry  
9 docks.

10 In this slide you will see the -- you will see the  
11 five piers at the facility. The piers, or landing places  
12 for ships, secure and support vessels that are undergoing  
13 repair operations as well as barges used to house vessel  
14 crews while ship's repairs are being conducted.

15 A concrete wharf is utilized to access the floating  
16 dry dock. Waste items staged and transported across piers  
17 may include spent abrasives, paint, petroleum products,  
18 sanitary waste, and general refuse and debris.

19 In this slide you will see the facility's two  
20 floating dry docks. The dry docks are used to conduct  
21 repair and maintenance activities which cannot normally be  
22 conducted while the vessel is in the water.

23 These activities generally include hull repair,  
24 abrasive blasting, hydroblasting, painting, the repair or  
25 full replacement of shafts, propellers, or rudders, and the

1 for the fire protection water, cooling water, and dry dock  
2 ballast water is pumped from the San Diego Bay.

3 Contact storm water is generally not discharged to  
4 the San Diego Bay but may be treated on-site and then  
5 discharged to the Metropolitan Sanitary Sewer for disposal.  
6 However, discharges of storm water may occur to the  
7 San Diego Bay when the holding capacity is exceeded or the  
8 storm water collection and treatment system is not operating  
9 properly.

10 The premises of the facility, including piers and  
11 dry docks is bermed to prevent the discharge of contact  
12 storm water. Storm water is collected at 6 storm water  
13 diversion systems, 21 holding tanks, and 4 treatments  
14 systems.

15 The tentative order contains a significant change  
16 from the previous order. This change is regarding the acute  
17 toxicity effluent limitation. Before I explain this change,  
18 I would like to explain three terms, toxicity, chronic  
19 toxicity, and acute toxicity.

20 Toxicity is a degree to which a substance is able  
21 to damage an exposed organism. Chronic toxicity is a  
22 property of a substance that has toxic effects on an  
23 organism when the organism is exposed to the substance  
24 continuously or repeatedly at low concentrations. An  
25 example of this would be significantly reduced growth or

1 repair or replacements of valves and fittings below the  
2 waterline.

3 Ship launching and recovery is accomplished by  
4 means of internal ballast (phonetic), which take in and  
5 discharge sea water used to raise and lower the dry docks.

6 Waste generated during ship repair include spent  
7 abrasives, paint, rust, petroleum products, marine growth,  
8 and general refuse and debris. Both dry docks are contained  
9 to prevent storm water and wash water from entering the  
10 receiving water.

11 Onshore facilities include a painting and abrasive  
12 blasting area located at the foot of Pier Number 3, and a  
13 paint booth located on the southeast section of the  
14 facility.

15 On the north end of the facility is an area used  
16 for steam cleaning, pressure washing of vehicles and  
17 equipment, which includes a sump where effluent are  
18 collected and drained to a three-stage clarifier and  
19 discharges to the Metropolitan Sanitary Sewer System.

20 Manufacturing storage areas and material staging  
21 after are also on-site to support ship repair operations.

22 Discharges from the facility to San Diego Bay  
23 include fire protection water, dry dock ballast tank water,  
24 bay water, and steam condensate from hoses to ships.

25 The supply water for the fire -- the supply water

1 reproduction.

2 Acute toxicity is a property of a substance that  
3 has toxic effects on an organism when the organism is  
4 exposed to a substance in a short space of time at high  
5 concentrations. An example of this would be immediate  
6 death.

7 The tentative permit has both chronic and acute  
8 toxicity limitations. The chronic toxicity effluent  
9 limitation for the tentative order is 1 TUc. This is an  
10 existing limitation carried over from the previous two  
11 permits. EPA also recommends 1 TUc for toxicity at the end  
12 of pipe if no dilution is available. This is not a new  
13 change.

14 The acute toxicity effluent limitation for this  
15 tentative order is a discharge shall achieve a rating of  
16 "pass" for acute toxicity with compliance to turbine  
17 (phonetic) by observed mortality compared between the  
18 effluent discharge and the laboratory control, and then a  
19 statistical test is used to evaluate whether the mean  
20 response of the two samples is the same.

21 If it is, then it passes, and the Discharger is in  
22 compliance. If not, it fails, and the Discharger is out of  
23 compliance.

24 In the previous order, the limitation is ambiguous.  
25 This new acute toxicity effluent limitation provides a clear

Page 30

Page 32

1 definitive test and can be more easily applied and enforced.  
 2 The new acute toxicity effluent limitation is at least as  
 3 protective as the Basin Estuary's Policy toxicity  
 4 requirements because the limitation also requires control,  
 5 have a survival rate of at least 90 percent, and this  
 6 limitation applies 100 percent of the time.

7 The limitation complies with the narrative  
 8 objective and will be in compliance that waters shall be  
 9 maintained free of toxic substances. The methods used are  
 10 applicable to storm water discharges, and they are  
 11 consistent with U.S. EPA standard protocols.

12 The adoption of the underlying Tentative Order  
 13 Number R9-2009-0080 with errata and supplemental errata is  
 14 recommended. This concludes my presentation.

15 Are there any questions?

16 MR. WRIGHT: Mr. Rodriguez, thank you for your  
 17 presentation. Are there any questions at this time?

18 Okay. Let's move on. I have a speaker slip from  
 19 Mr. Sean Halvax from BAE Systems, and I assume you have a  
 20 brief presentation.

21 MR. HALVAX: I have some brief comments, Mr. Chairman.

22 MR. WRIGHT: How much time?

23 MR. HALVAX: Five, eight minutes, most.

24 MR. WRIGHT: All right. Five minutes.

25 MR. HALVAX: We do have a couple of handouts that go to

1 to deal with with prohibiting the discharge of storm water  
 2 from the facility.

3 Although I provided a pink speaker slip, my real  
 4 purpose of my discussion today has to go with a specific  
 5 technical issue on the -- the discharge of steam condensate  
 6 drips, et cetera, from hoses that are connected to the ships  
 7 when they're tied up.

8 That -- steam condensate is an existing discharge.  
 9 The handout I gave you really is used to identify that it's  
 10 an existing discharge that, you know, when we came to the  
 11 site, there were installed boilers, 1945 vintage, actually,  
 12 and those were operating at the site when we came to the  
 13 site in 1979.

14 The Regional Board's review of the prior tenant  
 15 recognized the steam -- the condensate and boiler blow down  
 16 discharges from the facility, so we would support that the  
 17 steam discharge or thermal discharge, if you will, from the  
 18 site is an existing discharge as identified in the thermal  
 19 plan.

20 And so we would ask that that -- that discharge be  
 21 considered as an existing discharge. In doing so, the  
 22 applicable standard then becomes a thermal plan for existing  
 23 discharges.

24 The other -- the other comment or question had to  
 25 do with anti-backsliding, because even though -- because

Page 31

Page 33

1 a specific issue that I'd like to address in addition to my  
 2 general comments if that's okay with the chairman.

3 Again, my name is Sean Halvax, and I'm with  
 4 BAE Systems San Diego Ship Repair. I would like to thank  
 5 Staff and specifically Vicente for working with us. We've  
 6 been working for some time on the renewal of this permit  
 7 along with U.S. EPA as well and have looked through the  
 8 permit with a pretty fine-toothed comb and, again, Vicente  
 9 was diligent in his response, and he was very collaborative  
 10 with his -- working with the shipyard and the renewal of the  
 11 permit.

12 Since the -- since the adoption of this permit, the  
 13 prior permit, BAE Systems has eliminated several discharges  
 14 including cooling water, some water weight test bags. We've  
 15 improved our B and P's. We've continued to implement those  
 16 and conduct training.

17 We've also expanded our storm water diversion  
 18 system because the existing toxicity -- acute toxicity  
 19 limitation, which Vicente referred to, we're incapable of  
 20 consistently meeting that limitation, so we've expanded that  
 21 system and additional expansion may be necessary even under  
 22 this new permit.

23 The concern, of course, is those episodic events  
 24 that can overwhelm us or if there's power outages and that  
 25 sort of thing, those are the most difficult things we have

1 there was a -- a limitation for a 20 degree delta from  
 2 receiving water in a prior permit. We believe that this is  
 3 appropriately identified as an exception to the  
 4 anti-backsliding provision.

5 Specifically, it's a minor technical -- technical  
 6 issue, technical deviation. And, for the record, that would  
 7 be 40 CFR 122.44LiB2, but there are exceptions to the  
 8 backsliding provisions in -- if that's an ongoing concern  
 9 for Staff regarding that thermal discharge.

10 That's my comments today. Again, I want to thank  
 11 Staff, and we'll have the opportunity to respond to any  
 12 comments that may -- may come up. Thank you very much.

13 MR. WRIGHT: Thank you for your brevity.

14 Let's move to speakers Laura Hunter followed by  
 15 Kalla Hirschbein, followed by Mekaela Gladden, and  
 16 Gabriel Solmer. I don't know if that's the order that you  
 17 prefer but --

18 MS. HUNTER: That would be great.

19 MR. WRIGHT: Okay.

20 MS. HUNTER: Thank you and good morning. My name is  
 21 Laura Hunter, and I'm with the Environmental Health  
 22 Coalition.

23 We have not been in front of you in quite a while,  
 24 but we have a very, very long history with these shipyard  
 25 and Navy discharge permits. So we do support the permit, as



1 some speakers following me may have some more technical  
 2 issues that they want to bring up, but I just want to make  
 3 one -- couple of comments from a historical perspective and  
 4 why it's important -- why consistency is important here.

5 We have a variety of dischargers, Continental  
 6 Maritime already has their permit. The commercial shipyards  
 7 and military facilities both have very comparable kinds of  
 8 activities, and it is very important from a fairness  
 9 perspective that they all be regulated equally, and also  
 10 from a bay protection and -- standard, that if everybody's  
 11 discharging into one water body, it's very important that  
 12 they all have to play by the same rules.

13 I think that's not a radical idea. Fair,  
 14 consistent regulation makes sense, and so we really do  
 15 support that, you know, this permit follow in the tracks of  
 16 the Continental permit that was before it, and that that's  
 17 very, very important that, you know, each Discharger not,  
 18 you know, that you don't have some weaker permits and some  
 19 stronger permits especially when you've got comparable kinds  
 20 of activities.

21 So we think that that's very, very important and,  
 22 you know, basically we support the permits. I don't think  
 23 that anything that Sean raised gives us any significant  
 24 heartburn, I'll leave that to the speakers following me.

25 And I think it's a very good improvement to clarify

1 should be taken at the point of discharge.

2 The TCR requires compliance at the point of  
 3 discharge, and that's from the CTR, the federal register,  
 4 also the State court in Diverse Environmental Conservation  
 5 Organization versus the State Water Resources Control Board  
 6 as well as, I believe it was last February, Federal District  
 7 Court in two Santa Monica Baykeeper cases also stated the  
 8 same thing.

9 Unfortunately, the Regional Board's permit writer,  
 10 Vicente Rodriguez, recently submitted a declaration to the  
 11 federal district judge under penalty of perjury that the CTR  
 12 does not apply at the point of discharge.

13 He said, "The Regional Board does not consider the  
 14 TCR to require compliance at the point of discharge," that  
 15 was the quote.

16 San Diego Coastkeeper could not disagree more with  
 17 Mr. Rodriguez' characterization. If the person who wrote  
 18 the permit says that compliance at the point of discharge is  
 19 not the standard, then the polluter, the person receiving  
 20 the permit, will come back later and argue that point and,  
 21 therefore, to ensure compliance with the CTR and the Clean  
 22 Water Act to counteract Mr. Rodriguez' statement, the  
 23 Regional Board must add a statement to the permit that  
 24 states explicitly that samples collected for those purposes  
 25 have determined compliance with the CTR must be taken at the

1 the acute toxicity standard, because after the last round of  
 2 permits, we had numerous meetings on that that people really  
 3 didn't know what it meant, and what it meant to pass, fail,  
 4 that kind of stuff, so I think that's a really big  
 5 improvement. So thank you very much.

6 MR. WRIGHT: Thank you.

7 Ms. Hirschbein, Kalla Hirschbein.

8 MS. HIRSHBEIN: Good morning. My name is Kalla.

9 MR. WRIGHT: Oh, I forgot to mention to the speakers  
 10 that if you do have business cards, please give those to the  
 11 recorder.

12 MS. HIRSHBEIN: I just would like to also express  
 13 support for the proposed tentative order prepared by Staff  
 14 and supported by the EPA.

15 We're not requesting anything above and beyond the  
 16 other permit holders other than that they be held to the  
 17 same standards, so I'm in agreement with Laura. That's  
 18 pretty much it. I'll reserve the rest of my comments for  
 19 the following item.

20 MR. WRIGHT: Appreciate your brevity.

21 Ms. Gladden, Mekaela Gladden.

22 MS. GLADDEN: Good morning. Mekaela Gladden, I'm from  
 23 Briggs Law Corporation. While both this permit and the next  
 24 permit that you're going to hear require compliance with  
 25 CTR, neither permit explicitly states that the samples

1 point of discharge.

2 If the Regional Board is unwilling to add the  
 3 explicit statement, then the Regional Board must state their  
 4 position on the record today. Thank you.

5 MR. WRIGHT: Thank you.

6 Ms. Solmer, Gabriel Solmer. Welcome.

7 MS. SOLMER: Thank you very much. Good morning,  
 8 Chairman Wright and Board members. My name is  
 9 Gabriel Solmer, I'm the legal director for San Diego  
 10 Coastkeeper. It's good to be back in front of you. It's  
 11 even better to fit in front of the podium again. I do have  
 12 pictures if anyone wants to see the twins, but onto the  
 13 topic at hand.

14 Clearly Coastkeeper agrees with what's been said by  
 15 the previous speakers. We're in agreement on the overall  
 16 permit. We made much the same comments on the Continental  
 17 Maritime permit as you'll hear today and for the Navy's  
 18 next -- the next permit, which is the Navy's, and the  
 19 consistency for all the issued permits is very important,  
 20 but certainly even more important is consistency with the  
 21 law as you just heard stated by Ms. Gladden.

22 We are greatly disturbed that your Staff would  
 23 become a voluntary witness for a current permit holder and  
 24 ask for any of your clarification as to what approval, if  
 25 any, Mr. Rodriguez had to make those statements. This is

1 particularly troubling as the declaration, as Ms. Gladden  
2 pointed out, contradicted recent state case law.

3 I would also like to just point out one brief issue  
4 with the supplemental errata sheet. If I can call your  
5 attention to item -- Document Number 11, Errata Number 1,  
6 the receiving water limitations.

7 The change is -- the permit used to say, "The  
8 discharge of waste shall not cause, have the reasonable  
9 potential to cause, or contribute," and the errata has  
10 stricken the words "have the reasonable potential to cause,"  
11 and if Staff could provide some explanation as to why that  
12 has been changed.

13 I believe that the language is substantially  
14 similar in another section of the permit, the discharge  
15 prohibitions, which is Section 3K, which still, I believe,  
16 states the discharge of waste that cause or contribute to  
17 the violation of water quality standards designated  
18 beneficial uses and water quality objectives developed to  
19 protect beneficial uses is prohibited.

20 So we're concerned or just have some questions as  
21 to why the same language would be stricken in another part  
22 of the permit, and we would support leaving that language in  
23 the permit. Thank you very much.

24 MR. WRIGHT: Thank you.

25 MR. KING: Gabriel, I have one quick question. Does

1 the Regional Board, and Vicente's declaration was reviewed  
2 through management through Mike McCann and myself in terms  
3 of reviewing it to -- to determine whether it was  
4 elaborating on what the permit actually says from the  
5 Regional Board standpoint.

6 And so I don't believe there was any problem, legal  
7 problem with the Regional Board Staff person offering a  
8 declaration in a litigation matter. It's been done on a  
9 number of occasions that I'm aware of when the intent is not  
10 to advocate for a particular position but to discuss the  
11 contents of an existing Board order.

12 MR. WRIGHT: Mr. Robertus?

13 MR. ROBERTUS: I'd like a point of clarification from  
14 Gabriel if you could. When you made the comment "take the  
15 sample at the point of discharge," are you referring to  
16 sampling an effluent sample or receiving water sample?

17 MS. SOLMER: I'm sorry. Can you repeat that?

18 MR. ROBERTUS: You said that you agreed with  
19 Mekaela Gladden's comments, and her comment referred to the  
20 requirement to -- with CTR compliance to take the sample at  
21 the point of discharge. Are you talking about sampling the  
22 whole effluent, or are you talking about sampling in the  
23 receiving water at the point of discharge?

24 MS. SOLMER: No, the whole effluent.

25 MR. ROBERTUS: The effluent.

1 anybody have a copy of this declaration of Mr. Rodriguez?

2 MS. SOLMER: I have one copy, I don't have four, but I  
3 can give you --

4 MR. KING: I can give it back to you if you want.

5 MS. HAGAN: For the Board, I have it --

6 MR. WRIGHT: Did you have a question, Ms. Hagan?

7 MR. THOMPSON: Well, I think we ought to have Ms. Hagan  
8 address the issue that's been raised concerning this  
9 declaration or Mr. Robertus, either one.

10 MR. ROBERTUS: I'll defer to the attorney on that.

11 I did want to clarify in the comments by  
12 Gabriel Solmer, were you talking about Document Number 10 or  
13 Document Number 11?

14 MS. SOLMER: I have Document Number 11, but the revision  
15 is to the receiving water limitations.

16 MR. ROBERTUS: Above that designation, was that Item  
17 Number 7 or Item Number 8?

18 MS. SOLMER: I believe it's the same change on both  
19 issues.

20 MR. ROBERTUS: Thank you.

21 MS. HAGAN: Mr. Chair, I can offer some information  
22 about the declaration. The Regional Board Staff was  
23 requested to prepare a declaration in a litigation matter  
24 wherein which the Coastkeeper has sued the Department of the  
25 Navy relative to the 2002 NPDES permit that was adopted by

1 MS. SOLMER: Before it enters the receiving water.

2 MR. ROBERTUS: Okay. Thank you.

3 MR. WRIGHT: Mr. King? Okay.

4 Mr. Vicente, we're back to you. All right. There  
5 were a number of issues raised, and I -- I have about three  
6 of them here. Would you comment, please, BAE, Mr. Halvax  
7 had some comments, Mekaela Gladden as well.

8 MR. RODRIGUEZ: Yes. Mr. Halvax had mentioned the steam  
9 condensation discharge, and I -- the comments were if it was  
10 an existing discharge in 1971 then the effluent limitation  
11 would be slightly different.

12 At the time that he submitted that information, it  
13 wasn't conclusive the discharge had been occurring since  
14 1971, and in the meantime I had compared it with our  
15 attorney to ensure that anti-backsliding would not be an  
16 issue, and she stated to me that it would be an issue, and  
17 so even if a discharge had been established prior to 1971,  
18 the fact that it was in the previous permit, the limit would  
19 continue in the new permit.

20 MR. WRIGHT: Okay. Continue.

21 MR. RODRIGUEZ: Okay. In regards to the receiving  
22 point -- the receiving waters sample, the Regional Board has  
23 always determined compliance of the receiving water by  
24 sampling in the receiving water.

25 The -- the CTR that applies at the end of pipe must



1 be established through effluent limits, and we have done  
2 that. So the effluent limits or CTR at the end of pipe have  
3 been established through the state implementation policy.  
4 Those are the effluent limits.

5 The CTR criteria, which is the basis for the  
6 effluent limits does not apply at the end of pipe but in the  
7 receiving water. So there's -- there's a slight difference  
8 there as to the CTR criteria, which is the basis for the  
9 effluent limits.

10 MR. WRIGHT: Board members, any -- any other questions?

11 MR. LOVELAND: Mr. Chairman, I guess I would ask the --  
12 the other speakers, did that clarify -- clarification  
13 resolve the issue or are you still in disagreement?

14 MS. SOLMER: Disagreement.

15 MR. WRIGHT: Okay. The answer was, they're still in  
16 disagreement. Let's see. Let's hear from the BAE  
17 representative.

18 MR. HALVAX: Just for the record, if we could  
19 differentiate whether the existing discharge from the  
20 anti-backsliding question that may be helpful for me going  
21 forward. If it's an -- if we can define that it is an  
22 existing discharge, that limits what my options are going  
23 forward.

24 MR. WRIGHT: Ms. Hagan?

25 MS. HAGAN: Mr. Chair, if I may, the existing discharge

1 more closely. But if you don't determine it was an existing  
2 discharge, then we don't get to the anti-backsliding  
3 question.

4 MR. ANDERSON: Did you replace the boiler?

5 MR. HALVAX: Those boilers have subsequently been  
6 replaced, and we're actually looking to continue replacing  
7 them with electric units, but we still have them in  
8 operation to provide steam to ships, so this is the  
9 connection and disconnection. So there are replacement  
10 boilers at the facility, yes.

11 I would also note, though, that the -- the -- this  
12 order identifies that there are no -- that the facility has  
13 been in compliance with all of its effluent limitations.

14 MR. WRIGHT: Okay. Were we at terms of the information  
15 that's been brought to bear -- is this information that --  
16 this is just brought to us today, so --

17 MS. HAGAN: I know that Staff had received that  
18 information previously. It wasn't included in the agenda  
19 package. I don't know if it was received prior to  
20 distribution of the agenda package or not. I think it would  
21 be appropriate for you to accept it if you want to consider  
22 the existing discharge question.

23 MR. WRIGHT: Yeah. I'm willing to accept it. I'd like  
24 to hear from other members of the Board.

25 Mr. Destache?

1 on the temperature limit. Apparently the existing permit  
2 contains the temperature limit from the thermal plant.

3 So in order to relax that limit, if you were to  
4 find that, in fact, BAE's discharge, the steam condensate  
5 discharge preexisted prior to adoption of the thermal plan  
6 in 1971, and BAE has offered up the photograph with the  
7 truck and some other documentation to establish that it was  
8 an existing discharge before 1971, because the permit -- the  
9 existing permit contains the temperature limit from the  
10 thermal plant, you would need to comply with  
11 anti-backsliding requirements that don't allow you to relax  
12 the limitations that already exists in a permit absent  
13 certain exceptions applying.

14 And one possible exception, but I don't know the  
15 answer to this is if, in fact, BAE has been in compliance  
16 consistently with the temperature limit in their permit, an  
17 exception might be available to anti-backsliding and -- but  
18 would you first have to determine based on the information  
19 you have that you believe the existing discharge --  
20 an existing -- the temperature limit from the thermal plan  
21 should not have been imposed because, in fact, the discharge  
22 existed in 1971.

23 So if you think you have enough information before  
24 you to determine whether that was an existing discharge,  
25 then we could look at the anti-backsliding issue perhaps

1 MR. DESTACHE: Yeah. Just a point of clarification,  
2 Katherine. If I understand correctly, we have to determine  
3 that it was an existing -- in existence prior to 1971?

4 MS. HAGAN: Yes. There may be -- there's probably a  
5 date in 1971 when the thermal plan was adopted that needs to  
6 preexist that adoption date.

7 MR. DESTACHE: So we'd have to do an investigation as to  
8 whether it was pre-'71 and we -- I mean, I guess I'm going  
9 to -- and I'm going to redirect the question to the BAE  
10 representative then.

11 Do you -- you mention that the -- the differential  
12 is relatively minimal?

13 MR. HALVAX: The -- the effluent limit is 20 degrees  
14 delta from the receiving water. And, you know, a drop of  
15 steam, I don't know how long it takes to cool before it hits  
16 the water from 20 degrees up, but it may or may not meet  
17 that limit.

18 And so -- and under the thermal plan, the test  
19 isn't the specific numerical delta from the receiving water,  
20 it's whether there's an impairment to the receiving water as  
21 a result of that thermal discharge.

22 MR. DESTACHE: Okay. Thanks for that.

23 I don't know if that helps, but, I mean, the fact  
24 of trying to determine whether it was in existence,  
25 potentially it was, but we'd have to go back that far to --

Page 46

1 to -- and then make a determination at this Board level that  
2 it was existing?

3 The thermal plan was put in place to meet the  
4 requirement of the initial permit, and I guess at this  
5 point, I would like to see some kind of -- some kind of  
6 Staff input as to whether they believe that -- that the  
7 thermal plan can be adhered to in its current -- in the  
8 boiler's current condition and the condensate's current  
9 condition.

10 MR. WRIGHT: Mr. Rodriguez?

11 MR. RODRIGUEZ: My understanding is that they've met the  
12 limits because they have not discharged steam condensate.  
13 If they were to discharge steam condensate, they probably  
14 would not meet the limit.

15 Is that correct?

16 MR. DESTACHE: Thank you.

17 MR. WRIGHT: Okay. So we're at a bit of a dilemma here.

18 MR. RAYFIELD: I have a question.

19 MR. WRIGHT: Wayne?

20 MR. RAYFIELD: Thanks. If they're not discharging, is  
21 this question moot here, or is there a plan to discharge?  
22 And this is a two-part question.

23 Under the existing thermal plan, I didn't get the  
24 words exactly as stated I don't think, but it seems to me  
25 the statement was something like discharges along as it --

Page 48

1 MR. RAYFIELD: I mean, obviously, a leak is not  
2 something you anticipate, maybe you ought to plan for, but  
3 not anticipate.

4 MR. WRIGHT: Mr. Thompson, could you help clarify? I'm  
5 trying to think this through, and I'm thinking that we're  
6 making a big deal out of --

7 MR. THOMPSON: I think we are. I think, with all due  
8 respect to BAE, I think what they're trying to do is -- is  
9 eliminate a situation where if they have a condensate leak  
10 out of a shore steam connection to a ship that that would  
11 become a discharge that they cannot measure or may be in  
12 violation.

13 There's only -- there's only a couple of ways  
14 you're going to have this particular discharge is if they've  
15 got -- if their shore steam connection at the pier is  
16 leaking and somehow or another it ends up in the bay or if  
17 it's an actual connection between the host of the ship and  
18 there may be a -- a connection that's actually sitting over  
19 the water that would discharge into the water.

20 If, in fact, they had a steam leak, which, as soon  
21 as the steam hits the air, it's going to start condensate,  
22 and it's going to turn into water and drop.

23 You know, I think that's the real issue, but  
24 understanding how that really works in practice, that's very  
25 rare these days. That's really a function of maintenance of

Page 47

1 there's no impairment to the receiving waters, is that  
2 pretty much what you said?

3 MR. RODRIGUEZ: Yes.

4 MR. RAYFIELD: Yeah. How in the world do you measure  
5 impairment to the receiving waters on a steam condensate  
6 discharge any way?

7 So that's the second part of the question, but the  
8 first part is in -- if they're not discharging, do we have  
9 an issue here, or is there a plan to begin discharging or  
10 make some changes?

11 MR. RODRIGUEZ: No. There is -- they are not  
12 discharging, and they -- I don't believe they intend to  
13 discharge, but they want the ability to discharge in case  
14 there's a leak.

15 MR. RAYFIELD: I'm sorry. They want what?

16 MR. RODRIGUEZ: The ability to discharge in case they  
17 have a leak.

18 MR. RAYFIELD: Okay.

19 MR. RODRIGUEZ: And regarding --

20 MR. RAYFIELD: Well, wouldn't a leak be an exception, I  
21 mean, to the regular operation if there were a leak, if  
22 there were to be one?

23 MR. RODRIGUEZ: No. It would be a violation.

24 MR. RAYFIELD: Yeah. It would be.

25 MR. WRIGHT: Mr. Thompson?

Page 49

1 the facilities and the equipment used to make those shore  
2 steam connections to the ships, and I think that removing  
3 the requirement that we have in place is immaterial in my  
4 mind because if, in fact, they are in compliance with their  
5 own practices, which they should be concerning those types  
6 of connections, then they would never even have that  
7 situation occur.

8 MR. WRIGHT: Okay. I think we've spent enough time on  
9 this. Let's -- let's have -- any comments, remaining  
10 comments?

11 MR. LOVELAND: I'm still confused, Mr. Chairman. This  
12 issue on the sampling point. We've got a disagreement, but  
13 I've heard from the Staff. Is the attorney in agreement  
14 that -- with the Staff's representation that the sampling is  
15 done properly and that the -- and that the statement by  
16 Staff in the -- in the litigation case were correct and that  
17 if -- and that there's no point to the -- to the allegation?

18 MS. HAGAN: I would actually like to take a few minutes  
19 to look into this issue, and I -- I believe Staff is  
20 correct. I'm looking at the Divers case that was mentioned  
21 by two of the speakers, and I don't see immediately the  
22 principle that they state it stands for.

23 I -- I do want to distinguish the Divers case  
24 relates to the -- the prior permit, and so I need to -- I  
25 guess I would like to have a moment to talk with Staff. It

1 seems like a very important issue. If we could have a brief  
2 break, or it seems like the only remaining issue at this  
3 point in this matter.

4 MR. LOVELAND: I have one other question, though,  
5 Mr. Chairman, that's different from that and maybe when  
6 Staff starts to think about it.

7 I thought I heard you say, Mr. Rodriguez, that the  
8 toxicity level was measured by 90 percent survival  
9 100 percent of the time, but the slide said 90 percent  
10 survival 50 percent of the time, and I'm wondering if I just  
11 misunderstood.

12 MR. RODRIGUEZ: Yes. The slide is for the Basin Estuary  
13 Policy, that's the limit for the policy. And the limit, the  
14 effluent limitation is 90 percent survival 100 percent of  
15 the time. That would be more stringent than the Basin  
16 Estuary Policy. So it complies with the Basin's Estuary  
17 Policy.

18 MR. LOVELAND: Oh, I see. You're saying -- so the  
19 permit is 90 percent 100 percent of the time, the policy is  
20 half of that.

21 MR. RODRIGUEZ: Yes, so to speak.

22 MR. WRIGHT: Mr. Rodriguez, would you get together with  
23 Ms. Hagan and address the -- help her address the issue that  
24 George has brought up and -- rather than take a formal break  
25 here.

1 MS. HAGAN: Mr. Chair, I do need to take a look at this.  
2 I don't know how long it will take. So if you want me to be  
3 able to confirm whether I agree with staff or want to advise  
4 you to accept the comments by the speaker, I'll need to take  
5 a few minutes.

6 MR. WRIGHT: Okay. Let's get it right. We will -- we  
7 will take a five-minute break.

8 (Pause in the proceedings)

9 MR. WRIGHT: Okay. Let's get back to Item 7. And for  
10 those of you who are here for 7 and 8, thank you for your  
11 patience. We just want to make sure we do this right.

12 Catherine?

13 MS. HAGAN: Yes, I've had a chance to look into the  
14 contention about the need to establish end of pipe limits  
15 for all CTR criteria, and, in my opinion, you're not  
16 obligated to do that, and the limits that Staff has -- have  
17 included are appropriate.

18 MR. WRIGHT: Okay. Anything else from anybody?  
19 Ms. Solmer?

20 MS. HAGAN: Mr. Wright, may I add one comment on the  
21 temperature issue with the thermal plan? I just wanted to  
22 point out that that's something that you would always be  
23 free if, in fact, BAE were to demonstrate to the Staff in  
24 the -- in the future that it was, in fact, an existing  
25 discharge, it's certainly something you could reopen the

1 permit to make a targeted change for.

2 MR. WRIGHT: Okay. Mr. Rodriguez, I see you're walking  
3 back. Did you have any further comments on it? Did you  
4 hear the comments from Catherine?

5 MR. RODRIGUEZ: Yes. Oh, what I would like to add is I  
6 believe what the commenters would like to hear is that the  
7 effluent limits based on CTR apply at the end of pipe before  
8 the receiving water. That statement I agree with.

9 MR. WRIGHT: Okay. And -- and where is that written?  
10 It's part of the --

11 MR. RODRIGUEZ: It's -- it's in the permit.

12 MR. WRIGHT: It's in the permit.

13 MR. RODRIGUEZ: And I could try and find that for you.

14 MR. WRIGHT: Please.

15 MR. RODRIGUEZ: It might take a --

16 MR. WRIGHT: Ms. Solmer, anything while he's looking for  
17 that?

18 MS. SOLMER: I think you termed it right. I think we've  
19 all come to that agreement on that statement. I don't know  
20 that that statement word for word is written in the permit,  
21 but that's our understanding of the permit, and we may want  
22 to include that wording so that there's no confusion with  
23 the other parties.

24 MR. WRIGHT: Well, let's find it.

25 MR. RODRIGUEZ: Okay. If you could turn to Page E3.

1 MR. WRIGHT: A3?

2 MR. RODRIGUEZ: E.

3 MR. WRIGHT: E3. Okay.

4 MR. RODRIGUEZ: Okay. Section 1A, I believe that  
5 addresses it. Specifically it says that all samples shall  
6 be taken at the monitoring location specified below unless  
7 otherwise specified before the monitoring flow joins or is  
8 diluted by any other waste stream body of water or  
9 substance.

10 MR. WRIGHT: Okay. I think that covers it. All right.  
11 Thank you.

12 Mr. Robertus: Do you have a recommendation?

13 MR. ROBERTUS: I do, Mr. Chair. The recommendation is  
14 before you on the slide, which reads adoption of the  
15 underlined strike out Tentative Order R9-2009-0080 with  
16 errata and supplemental errata.

17 MR. WRIGHT: Okay. Mr. Thompson, do you have a motion?

18 MR. THOMPSON: I so move the staff recommendation to  
19 adopt the permit as indicated by Mr. Robertus.

20 MR. WRIGHT: Is there a second?

21 MR. RAYFIELD: Second.

22 MR. WRIGHT: Any further discussion? All those in favor  
23 of the motion say aye.

24 (Board collectively agreed)

25 MR. WRIGHT: Motion is approved unanimously. Thank you

1 very much.

2 Let's move on to Item Number 8. Okay. Again, I  
3 have a brief statement to read, so with your forbearance,  
4 I'll read it.

5 The public hearing on Item 8, consideration of  
6 NPDES permit reissuance for the U.S. Navy at Naval Base  
7 Coronado discharge to San Diego Bay and Pacific Ocean  
8 tentative order number R9-2009-0081 is now open.

9 Would all the persons wishing to speak on this  
10 matter please stand and take the following oath or affirm  
11 they've taken the following oath, and I'll just read it from  
12 one of the speaker slips.

13 (Whereupon all prospective speakers were  
14 collectively duly sworn by the Board Chair)

15 MR. WRIGHT: Okay. Thank you. With that we'll have the  
16 Staff presentation, and, Mr. Rodriguez, a busy day for you.  
17 So how long is your presentation expected to be?

18 MR. RODRIGUEZ: Ten minutes.

19 MR. WRIGHT: Ten minutes. Fine. Make it no longer.

20 MR. RODRIGUEZ: Good morning, Chairman Wright and  
21 members of the Board. My name is Vicente Rodriguez, I'm a  
22 Water Resource Control Engineer in the Core Regulatory Unit.

23 At this time, I would like to enter the Regional  
24 Board's files regarding this matter into the record.

25 In your agenda package is included an underlined

1 Regional Board Staff agrees with part of the comment, and so  
2 the receiving water monitoring and self-monitoring reports  
3 will be changed.

4 For Comment Number 16, the Regional Board Staff  
5 does not agree with the comment, and the tentative order  
6 will not be changed.

7 In addition to Supporting Document Number 10, you  
8 have received a supplemental errata sheet. That document is  
9 Supporting Document Number 11. The supplemental errata --  
10 supplemental errata sheet has four minor changes.

11 The first change deletes the following language  
12 from Section V.A., quote "have the reasonable potential to  
13 cause" end quote. The remaining three changes implement the  
14 modification and Staff response to comments in Supporting  
15 Document Number 10.

16 Besides the two Supporting Documents Number 10 and  
17 Number 11, there is no new information that was not in your  
18 initial agenda package.

19 The tentative order before you is titled, Tentative  
20 Order Number R9-2009-0081, NPDES number CA0109185, waste  
21 discharge requirements for the United States Department of  
22 the Navy, Naval Base Coronado, San Diego County.

23 If adopted, this tentative order would reissue  
24 waste discharge requirements or WDR's regulating the  
25 discharge of storm water and non-storm water waste to

1 ~~strikeout~~ revision of the tentative order that is a result  
2 of the changes made from the prior draft.

3 MR. WRIGHT: Mr. Rodriguez, that does say Item 7.

4 MR. RODRIGUEZ: Oh, you know what, that should say  
5 Item 8. Sorry about that.

6 MR. WRIGHT: Okay.

7 MR. RODRIGUEZ: In your agenda package is included an  
8 underlined ~~strikeout~~ revision of the tentative order that is  
9 a result of changes made from the prior draft, you can find  
10 it as Supporting Document Number 2.

11 Under the supplemental package is an errata sheet  
12 with further revisions of the tentative order, you can find  
13 the errata sheet as Supporting Document Number 9. The  
14 Regional Board received a number of comments, and they are  
15 included in the agenda.

16 Also included in the agenda is the Regional Board  
17 Staff's response to comments. There's an additional  
18 Regional Board staff response to comments that is not  
19 included in the agenda package. That document is Supporting  
20 Document Number 10 and is -- and it has been provided to you  
21 this morning.

22 Supporting Document Number 10 addresses three  
23 comments from the Navy, Comments Number 9, 15, and 16. For  
24 Comment Number 9, the Regional Board staff agrees and the  
25 tentative order will be changed. For Comment 15, the

1 surface waters. This WDR shall serve as an NPDES permit.

2 As I mentioned in the previous agenda item, this  
3 permit is one of seven permits we are working on.

4 In this slide you will see a map of the facility in  
5 relationship to the rest of the bay. This facility is  
6 composed of the following installations: This -- Naval Air  
7 Station North Island, Naval Amphibious Base Coronado, Naval  
8 Outlying Landing Field Imperial Beach, Naval Radio Receiving  
9 Facility.

10 Naval Air Station North Island provides aviation  
11 support shore facilities, three aircraft carrier piers,  
12 industrial maintenance support, aircraft maintenance,  
13 bachelor quarters, and dining facilities, training  
14 facilities support the infrastructure of the utilities'  
15 roads and grounds.

16 The three piers at Naval Air Station North Island  
17 are used to berth aircraft carriers, support vessels, and  
18 barges which receive area ship support services such as  
19 supplies and minor maintenance. Ship support services on  
20 the three piers include loading supplies and equipment on to  
21 ships.

22 Berth site ships maintenance may include abrasive  
23 blasting, tiger blasting, metal grinding, painting, tank  
24 cleaning, removal of bilge and ballast water, removal of  
25 paint, sheet metal work, electrical work, mechanical repair,

1 engine repair, hull repair, and sewage disposal.  
2 Berth site ship repair activities are generally  
3 less complex than the ship repair activities conducted at  
4 commercial shipyards or at the Discharger's grading dock or  
5 floating dry dock.

6 Berth site maintenance may be conducted by Navy  
7 personnel, civil service personnel, or civilian contractors.  
8 Ship maintenance may also be conducted on the piers, boats,  
9 ship sections, or parts can placed on the piers or adjacent  
10 lands for repairs. The ship maintenance activities may be  
11 conducted by Navy personnel, civil service personnel, or  
12 civilian contractors.

13 The breadth of the work performed by the civilian  
14 contractors is typically greater than the work performed by  
15 the Naval personnel. Some complex ship repair work is  
16 conducted inside various support buildings near the pier.

17 Industrial activities at Naval Air Station are  
18 classified into the following major industrial categories:  
19 Aircraft/helicopter repair and maintenance, airport/heliport  
20 cleaning and degreasing, cogeneration plant, electrical  
21 utilities, fuel storage and dispensing, gasoline service  
22 station, hazardous substance storage, material storage,  
23 metal abrasion, electroplating, painting and sandblasting,  
24 pumping station, repair and maintenance, ship support  
25 services, small boat maintenance and repair, vehicle repair

1 structures on this installation, although a maintenance shop  
2 is used on a daily basis. An antenna is located at the  
3 Naval Radio Receiving Facility, though it is not in  
4 operation.

5 Point source discharges for Naval Radio Receiving  
6 Facility are classified as utility vault and manhole  
7 dewatering and miscellaneous discharges associated with  
8 facility maintenance.

9 The mission of the Naval Outlying Landing Field  
10 Imperial Beach is an extension of Naval Air Station North  
11 Island is to provide a practice field for helicopter  
12 operations and miscellaneous support facilities that serve  
13 the military population in the Imperial Beach area.

14 Naval helicopters from Naval Air Station North  
15 Island conduct daily landing practice and lift turning  
16 operations at the site. Helicopters are not stationed at  
17 the site. Approximately 30 percent of the total areas of  
18 the previous storm water infiltration.

19 Industrial activities at Naval Outlying Landing  
20 Field Imperial Beach are classified into the following major  
21 categories: Fire station, hazardous substance storage, and  
22 material storage.

23 Point source discharges from the Naval Outlying  
24 Landing Field Imperial Beach are classified as miscellaneous  
25 discharges associated with facility maintenance.

1 and maintenance, water/wastewater treatment plant, and  
2 miscellaneous.

3 Some discharges from Naval Air Station North Island  
4 are classified as steam condensate, diesel engine cool  
5 water, pier boom cleaning, utility vault and manhole  
6 dewatering, pier cleaning, and miscellaneous discharges  
7 associated with facility maintenance.

8 There are 21 piers located at Naval Amphibious Base  
9 Coronado, which are used to secure boats and barges.

10 Industrial activities at Naval Amphibious Base  
11 Coronado are classified into the following major industrial  
12 categories: Fire station, fuel storage and dispensing,  
13 general repair and maintenance, hazardous substance storage,  
14 material storage, metal processing, planting and  
15 sandblasting, recycling collection center, services for  
16 boats, supports, small boat maintenance, and repair  
17 facilities, vehicle and equipment maintenance, vehicle and  
18 boat storage, and water/wastewater treatment.

19 Point source discharges for Naval Amphibious Base  
20 Coronado are classified as utility, vault, and manhole  
21 dewatering, pier cleaning, Reverse Osmosis Water  
22 Purification Unit product water, boat rinsing, swimmer  
23 rinsing, and miscellaneous discharges.

24 Naval Radio Receiving Facility is primarily used  
25 for Naval Special Warfare Training. There are a few

1 The industrial storm water discharges from Naval  
2 Air Station North Island are associated with runways and  
3 flight lines, the industrial facilities and the berth  
4 areas -- berthing areas.

5 A total of 58 outfalls drain the storm water from  
6 the industrial areas of Naval Air Station North Island into  
7 San Diego Bay and the Pacific Ocean. A total of 54 outfalls  
8 drain storm water runoff from industrial areas and Naval  
9 Amphibious Base Coronado into San Diego Bay.

10 Storm water discharges from Naval Radio Receiving  
11 Facilities are considered nonindustrial and are not subject  
12 to regulation by this order.

13 Three outfalls drain the runoff from industrial  
14 areas at Naval Outlying Landing Field Imperial Beach into  
15 the Tijuana River.

16 This tentative permit has acute toxicity for --  
17 that should be "storm water source discharge" not "point  
18 source discharge."

19 The acute toxicity effluent limitation for this  
20 tentative order is the Discharger shall achieve a rating of  
21 "pass." For acute toxicity with compliance determined by  
22 observed mortality compared between the end point discharge  
23 in a laboratory control and then a statistical test is used  
24 to evaluate whether the mean response of the two samples is  
25 the same.

1 If it is, then it passes and the Discharger is in  
2 compliance. If not, then it fails and the Discharger is out  
3 of compliance.

4 In the previous order, the limitation is ambiguous.  
5 The new acute toxicity effluent limitation provides a clear  
6 definitive test that can be more easily applied and  
7 enforced.

8 The new acute toxicity effluent limitation is at  
9 least as protective as the Basin Estuary Policy toxicity  
10 requirements because the limitation also requires that the  
11 control have a rate of at least 90 percent and this  
12 limitation is applied 100 percent of the time.

13 This limitation provides narrative objective of the  
14 Basin Plan that water shall be maintained free of toxic  
15 substances, storm water discharges, and they are consistent  
16 with U.S. EPA standards.

17 You can find the exact language of the acute  
18 toxicity effluent limitation in your Executive Officer's  
19 summary report under, "Significant changes."

20 The adoption of the underlying strikeout tentative  
21 order R9-2009-0081 with errata and supplemental errata is  
22 recommended. This concludes my recommendation.

23 MR. WRIGHT: Any questions at this time?

24 Mr. Rodriguez, just looking at the EPA letter that  
25 has to do with Item 7 and 8, and in the next to the last

1 Rear Admiral Hering, and I'm here on behalf of the  
2 United States Navy. I'm the Regional Commander of the  
3 Southwestern United States.

4 I'd like to start my overview on these proceedings  
5 stating my strongest commitment for all environmental media  
6 programs in the San Diego area and move to a discussion of  
7 importance to the San Diego military and to close by  
8 addressing our tremendous concern with the storm water  
9 toxicity standards in this permit.

10 Starting in the 1990's, the Navy saw bilge water as  
11 a major water quality problem and issued and installed a  
12 comprehensive treatment facility, including retrofitting our  
13 piers so that Navy ships would no longer discharge bilge  
14 water into the Port of San Diego.

15 In 2003, the California legislature followed our  
16 lead and passed a law restricting discharge of bilge water  
17 for large passenger ships.

18 Likewise, we were the first to recognize the  
19 negative impacts of creosote and arsenic treated pilings  
20 over the years in the San Diego Bay and have replaced more  
21 than a thousand pier pilings or thousands of pier pilings at  
22 Naval Installation San Diego and others with recycled  
23 plastic pilings.

24 Further, we have instituted hundreds of best  
25 management practices throughout our bases to minimize the

1 paragraph, there's a notation that the BAE Systems permit  
2 contains chronic toxicity monitoring requirements, and it  
3 goes on to say it's not clear why the same chronic toxicity  
4 monitoring requirements are not included in the Naval Base  
5 Coronado permit, and they go on to say that the EPA would  
6 recommend the addition to the Navy's permit.

7 Comment on that?

8 MR. RODRIGUEZ: Yeah. The -- the chronic toxicity in  
9 the BAE Systems is brought over from the previous permit for  
10 Naval Base Coronado. It was not in the previous permit, so  
11 there's no data to establish reasonable potential, and the  
12 new tentative permit has a requirement to monitor for  
13 chronic toxicity to generate data to determine if it -- that  
14 requirement is required for the next reissuance of the  
15 permit.

16 MR. WRIGHT: Okay. Thank you.

17 All right. Let's go to our speakers. I have three  
18 speaker slips. From the Navy, Admiral Hering, Brian Gordon,  
19 and Chris Stransky, and from the note here, I understand,  
20 Admiral, that you will be speaking for the others as well.

21 And welcome, and how much time do you need, sir?

22 ADM. HERING: About 15 minutes, and I'm going to speak  
23 first then I'll allow my Staff to complete the review.

24 MR. WRIGHT: All right. Thank you.

25 ADM. HERING: Chairman Wright, Board members, I'm

1 impacts of our storm water discharges. Many of those BMP's  
2 were developed by people in this room. Some examples  
3 include installation of storm water filtration systems at  
4 our central recycling centers and on all of our new piers.

5 The construction of roofs over industrial  
6 activities and the use of mechanical sweepers on paved  
7 sweepers. The implementation of those BPM programs have  
8 changed the face of what is on the waterfront, and to  
9 categorize all of our facilities as industrial and equal to  
10 the shipyard in all respects is a gross mischaracterization  
11 of what we do and how we do it.

12 Shifting to other environmental media. When the  
13 California Resources Board recognized the significant health  
14 impacts of ships operating along the coastlines of the  
15 United States, the Navy implemented a cold ironing practice  
16 at our piers as a model.

17 In addition, the Navy has one of the highest  
18 recycling rates in the state to include a 76 percent solid  
19 waste diversion, way above the State's mandates.

20 The Navy in San Diego is a leader in economic or in  
21 environmental protections and has used alternative fuel as  
22 energy conservers, and those are just a few examples of how  
23 we've addressed the problems.

24 The San Diego Navy Region Complex is a core part of  
25 San Diego's economy. The 2008 economic study released last



1 year conducted by UCSD shows that the military contributes  
2 nearly \$25 billion to the local economy. The report found  
3 more than 27 percent of our jobs in this county are driven  
4 by Department of Defense presence. The San Diego County is  
5 the number one recipient of all Department of Defense  
6 dollars in the United States.

7 More Naval ships and more Naval forces are coming  
8 to San Diego to take advantage of the benefits here,  
9 including the USS Carl Vinson, and in 2010, the measures of  
10 all the Navy's first littoral combat ships will be home  
11 ported here.

12 This economic activity, however, is not the purpose  
13 of me being here. It is the by-product of our mission and  
14 will only remain so as long as our mission remains  
15 sustainable.

16 San Diego Naval installations are the core, the  
17 largest military concentration in the Pacific and are  
18 absolutely vital to our national security. They are  
19 strategically important for their deep water port, and they  
20 provide us great access to sea training ranges.

21 The San Diego Naval Installations played a crucial  
22 role in the training of the successful rescue mission of  
23 Captain Richard Phillips on the pirate ships off Somalia,  
24 and I'm here to tell you today that the permit conditions  
25 proposed by this Staff will have a prolonged and long-term

1 The Navy performed a comprehensive multi-year  
2 peer-reviewed, and I include peer-reviewed by EPA,  
3 scientific study of the storm water toxicity and was  
4 requested by the Board in 2002 and presented the results of  
5 that study to the Board of our staff in 2006.

6 The study concluded that storm water discharges  
7 from Navy installation facilities rarely cause toxicity in  
8 the bay and that measured toxicity in the end of pipe storm  
9 water samples is not predictive of toxic impacts in the bay  
10 water, and that will be a subject that my Staff discusses  
11 with you shortly.

12 Further, we will be discussing how it is an  
13 emerging consensus that the substantial portion of storm  
14 water contaminants are from the areas such as -- are from  
15 area sources such as automobile brake pads and others.

16 Senator Kehoe has, in fact, carried a bill that  
17 seeks to create a long-term program to eliminate these  
18 contaminants similar to what the California legislature did  
19 decades ago to tackle air pollution.

20 The Senate's Environmental Quality Committee in its  
21 analysis of the bill noted that the ubiquity of copper in  
22 the urban environment and the technical difficulty of  
23 impracticality of treating storm water to remove it means  
24 that compliance with copper T.M.D.L.'s will not be feasible  
25 without source reduction of the copper itself.

1 impact on our ability to continue operations here in the  
2 San Diego Bay.

3 The biggest problem with the proposed permit, and I  
4 cannot overstate what a critical concern this represents,  
5 are the conditions related to the storm water toxicity. The  
6 toxicity requirements inappropriately applied excessively  
7 conservative ignores toxic effects of the area source  
8 pollutants and gives an inherently infeasible to meet  
9 condition that could cost the United States taxpayers more  
10 than \$300 million in compliance costs to construct  
11 infrastructure to capture our storm water and divert  
12 discharges.

13 The Navy -- the Navy waterfront operations are  
14 easily distinguishable from a shipyard that you permit. To  
15 consider us a shipyard is a stretch of the term and the  
16 regulation and should have a profound effect on long-term  
17 impacts of our installations in San Diego.

18 The further parallel is that -- the further  
19 parallel that is erroneous is the fact that the shipyard's  
20 compliance strategy, namely diversion to the City's sewer  
21 system, is not available to the Navy due to the City's  
22 capacity requirements. Therefore, any findings of  
23 feasibility that the Regional Board may have will have  
24 direct impacts and will not be allowed by the Navy to be a  
25 course of action.

1 Costs could be into the billions of dollars to  
2 remediate if source reduction measures are not taken. Truth  
3 is, no matter what we do, technology will not clean the  
4 water to a standard that will allow us to comply.

5 This offers an explanation of why the Regional  
6 Board's own parking lot and the facilities continue to fail  
7 the same toxicity standards that you are applying on to our  
8 facilities.

9 Unlike the Navy, the Regional Board staff has  
10 offered scientific based evidence of demonstrating why storm  
11 water runoff from the Navy installations are having an  
12 adverse impact on San Diego Navy, and the Regional Water  
13 Quality Control Board staff has not provided us any  
14 scientifically based findings that give the amount of  
15 contaminants for source areas the small particle size that  
16 is technically or economically feasible for us to achieve.

17 I will now turn the rest of this over to my Staff  
18 to provide some additional details, and I appreciate the  
19 opportunity to speak.

20 MR. WRIGHT: Thank you. Who is speaking next?

21 MR. GORDON: Brian Gordon. I have a short presentation.  
22 Chairman Wright, Board members, Brian Gordon representing  
23 the Navy.

24 While she's bringing that up, I just wanted to  
25 start by saying that the order for Naval Base Coronado is of

1 particular importance. It would be --  
 2 MR. WRIGHT: Mr. Gordon, how much time do you need for  
 3 your presentation?  
 4 MR. GORDON: 15, 20 minutes tops.  
 5 MR. WRIGHT: Please keep it as brief as possible.  
 6 15 minutes.  
 7 MR. GORDON:--Okay. I'll try and do that.  
 8 I just wanted to -- as I started, I wanted to  
 9 emphasize the importance of this particular order, because  
 10 the requirements that go into the Naval Base Coronado permit  
 11 are also going to be seen -- most likely seen in the Naval  
 12 Base Point Loma, Naval Base San Diego, and the graving dock  
 13 permit.  
 14 So this meeting today is really about the permits  
 15 that are going to apply to all of the Navy installations in  
 16 the San Diego area.  
 17 Some other issues I'm going to talk about. I'll be  
 18 providing some more details on our concerns with the  
 19 toxicity standard and we'll propose an alternative standard  
 20 that's both protective and scientifically defensible.  
 21 I will also discuss provisions in a tentative order  
 22 that address thermal limitations for steam condensate  
 23 effluent limits for TCDD equivalents, and we'll also ask for  
 24 support from the Board for a case by case exception that we  
 25 filed.

1 Although all of these issues are important to us,  
 2 as Admiral Hering stated, the toxicity standard is our most  
 3 critical concern and the one we believe could have  
 4 significant long-term impacts on not only the Navy but other  
 5 dischargers if applied equally across the region.  
 6 It's -- if it was applied equally, hundreds, if not  
 7 thousands, of dischargers and municipal dischargers would be  
 8 out of compliance with the toxicity standard.  
 9 I was going to go into some detail on what the  
 10 toxicity standard is, but Vicente's already done that.  
 11 Essentially, it's taking it an end of pipe sample  
 12 of the storm water and running a toxicity test on it and  
 13 then taking laboratory controls and running a toxicity test  
 14 on it and then doing a statistical comparison, and if  
 15 there's a significant difference statistically between the  
 16 two, then it would be a failure. If there's no significant  
 17 difference, then it would be considered a pass. That's the  
 18 existing standard -- or the proposed I should say.  
 19 The existing standard for Naval Base Coronado is  
 20 slightly different. It had that 90 percent survival rate  
 21 that you saw on Vicente's slide.  
 22 During 2002-2003, we objected to that standard, it  
 23 was still an end of pipe toxicity standard, and the Board,  
 24 as the Admiral mentioned, requested that we do a toxicity  
 25 study to propose an alternative standard, and we did that.

1 I did want to mention there was a letter from the  
 2 EPA, and I need to address that. It was a June 3rd letter.  
 3 Actually, did I go too -- actually, I skipped a slide there.  
 4 Hang on a second.  
 5 This is a little bit about the study. It was a  
 6 four-year study, cost about a million dollars, and the goal  
 7 of the study, as I mentioned before, was to provide an  
 8 alternative toxicity standard that was protective.  
 9 As you can see, the study was very comprehensive  
 10 and included hundreds of samples of measurements, and as the  
 11 Admiral mentioned, in 2006, we did present this to the  
 12 Board. And our proposal included several elements, but our  
 13 primary recommendation and the most important recommendation  
 14 was to have the toxicity standards applied to the receiving  
 15 waters because it represents the true impacts to the bay,  
 16 and the Board at that time, they didn't take specific action  
 17 on that proposal.  
 18 The only element that has been accepted that  
 19 comparison and controls is also one of the elements that we  
 20 proposed and that -- that is one of the changes you've seen.  
 21 Like I said, I wanted to address EPA's comment  
 22 letter, which was dated June 3rd. The EPA made some -- some  
 23 specific statements, and one of them was that the Navy  
 24 testing approach appeared to be biased.  
 25 I don't know how to say this. We strongly

1 completely disagree with that comment. In fact, as was  
 2 previously mentioned, the EPA, SCCWRP, and a number of  
 3 organizations were all involved in the peer review and  
 4 helped us to develop the methods that we used in that study.  
 5 In fact, these are a couple of the peer review  
 6 comments that we received, and the first one, Dr. Burton  
 7 from Wright State University, is well-known in this field.  
 8 And, you know, he's saying it's one of the most extensive,  
 9 and it is one of the most extensive storm water toxicity  
 10 studies ever performed.  
 11 And the next one is Dr. Denton from the EPA, and  
 12 she compliments the Navy. "Overall, the Navy has done an  
 13 extensive job of collecting and analyzing storm water for  
 14 toxicity assessments." So we were actually rather shocked  
 15 and were on a phone call with the EPA yesterday, and,  
 16 frankly, they weren't able to explain as of yesterday why  
 17 that put that comment in.  
 18 Just a little bit on our technical approach just  
 19 really quickly. When we did the study, we sampled both at  
 20 the end of the pipe and in the receiving water, and then we  
 21 ran toxicity and chemistry testing on those samples.  
 22 The findings of the -- Admiral Hering mentioned  
 23 some of the study results, and these are the study results.  
 24 One, the Navy storm water rarely causes toxicity in the  
 25 receiving waters. Only twice in over 200 tests did we see

1 any toxicity, and those two tests were for samples collected  
2 during the first storm event of the year after a record dry  
3 period.

4 We did measure and continue to measure toxicity at  
5 the end of the pipe, but regardless of the end of pipe  
6 results, there's no toxicity except for those two instances  
7 in the receiving water. So the study concluded, as the  
8 Admiral mentioned, that the end of pipe results are not  
9 predictive of toxic impacts in the bay.

10 We also conducted storm water plume mappings and  
11 concluded storm water plumes are short in duration, limited  
12 spatially, and relatively low in magnitude.

13 We also ran a number of TIE's, toxicity  
14 identification evaluations, and we identified copper and  
15 zinc as the primary toxicants of concern in Navy storm water  
16 runoff, which isn't a big surprise. Copper and zinc are  
17 known to be toxic, and they're found everywhere in the urban  
18 environment.

19 So our concerns with the proposed toxicity, one,  
20 that it is overly protective. As the Admiral mentioned, it  
21 ignores area-wide pollutant sources, and that the  
22 infeasibility to consistently meet this without collecting  
23 and diverting storm water as the shipyards have done.

24 Like I said before, the Navy has only failed two  
25 out of over 200 tests in the receiving water, so we're not

1 The 2006 Air Toxic Hot Spot Program Report produced  
2 by the Air Pollution Control District estimates that 99  
3 percent of the zinc and 90 percent of the copper comes from  
4 mobile area and natural emission sources and that -- that  
5 presents atmospheric deposition that lands everywhere in the  
6 county.

7 The issue regarding area source pollutants is not  
8 just a Navy concern. As the Admiral mentioned, it's been  
9 recognized by the legislature and the City of San Diego is  
10 sponsoring a bill, SB 346, Senator Kehoe's Bill, that would  
11 require brakes be redesigned to eliminate pollutants such as  
12 copper and zinc, I think it's the way we get to this issue.

13 And then the Admiral mentioned that he actually  
14 read the -- the Senate Environmental Quality Committee  
15 analysis of the bill. I'm not going to reread it, but  
16 that's what the Admiral read.

17 So without any industrial activity, these sources  
18 alone are more than enough to cause toxicity in storm water  
19 runoff if measure at the end of the pipe. Your own parking  
20 lot, as the Admiral mentioned, which is a parking lot that  
21 is typical of parking lots across the County, fails the  
22 toxicity standards that you're imposing on us.

23 These are the results of the Regional Board parking  
24 lot back in 2004. As you can see, the runoff failed the  
25 toxicity standard 90 -- the current toxicity standards eight

1 causing impacts in the bay, and so the beneficial uses are  
2 really being protected. The proposed standard, which is the  
3 end of pipe standard in the permit, requires compliance at  
4 the end of the pipe 100 percent of the time for discharges  
5 that are affected by a wide range of factors. Storm water  
6 runoff is affected by a lot factors.

7 It's a well-known fact that storm water discharges  
8 are not consistent. Pollutant concentrations will vary,  
9 flow rates will vary, and so toxicity results will also  
10 vary.

11 This standard does not take into account the  
12 variability of storm water discharges and applies whole  
13 effluent toxicity test methods that were originally designed  
14 for processed discharges that have consistent flow volumes  
15 and pollutant concentrations. As I mentioned, it ignored  
16 area-wide pollutant sources.

17 The proposed standard that are typical in all urban  
18 environments that contribute to toxicity in storm water  
19 runoff and, in particular, copper and zinc, the contribution  
20 of pollutants from storm water runoff from area sources is  
21 undisputed and supported by numerous scientific studies.

22 For example, the T.M.D.L. study from your Staff for  
23 Chollas Creek estimates that sources such as automobiles  
24 provide a majority of the copper in the Chollas Creek  
25 watershed.

1 out of nine times it was tested, and the proposed standard  
2 four out of nine times that it was tested. This  
3 demonstrates that even a typical parking lot cannot pass the  
4 end of pipe toxicity standards and speaks to the feasibility  
5 of compliance.

6 I often hear, and you may hear this today, that the  
7 Clean Water Act states no toxics in toxic amounts, and our  
8 contention is that if a discharge does not cause toxicity in  
9 the receiving water, it's not in toxic amounts.

10 Your approach end of pipe testing means everyone is  
11 violating the Clean Water Act because all storm water,  
12 industrial, municipal, and the Regional Board parking lot  
13 will fail this toxicity standard. These dischargers will  
14 not meet toxicity standards as proposed in the Naval Base  
15 Coronado order.

16 If you apply the toxicity standard in the receiving  
17 water as you're going to see our proposal, then you will  
18 know if these dischargers are toxic in toxic amounts.

19 Okay. Feasibility. The infeasibility, meaning the  
20 standard. Consistent compliance with this toxicity standard  
21 would require the Navy to collect all storm water runoff and  
22 discharge it to the City's Sanitary Sewer System.

23 At least that would be a method of compliance if it  
24 was possible, which it's not, because the City's not going  
25 to accept our storm water. The volume's just too high.

1 A 2005 engineering study, and this was mentioned by  
2 the Admiral, estimates it would cost about \$300 million to  
3 install infrastructure to collect and divert the storm  
4 water. And, again, that would be if we could divert to the  
5 sewer, which isn't an option.

6 Besides the Navy, only the commercial shipyards and  
7 the boatyards have end of pipe toxicity standards for their  
8 storm water runoff and all the -- although the shipyards  
9 have tested treatment technology, they and the boatyards  
10 have instead diverted their storm water to the sewer system  
11 because of their inability to consistently meet this  
12 standard. Which, as I stated before, it's not an option for  
13 us.

14 So it puts the Navy in a position of continued  
15 noncompliance with the standard that's just simply overly  
16 stringent.

17 Your Staff's responses to comments states that  
18 there may be other options, like isolating high risk areas  
19 for diversions to the Sanitary Sewer, which we've already  
20 done at many locations, or building grassy swells, which  
21 we've also done that at several locations.

22 Our point is, regardless of whether it's a high  
23 risk area or not, we cannot consistently meet this standard  
24 any more than the shipyards or boatyards or your own parking  
25 lot. This is not a high risk area issue. This is an all

1 failures, but it really doesn't allow time to implement  
2 corrective measures, so, you know, what's the point of  
3 conducting additional monitoring before you have a chance to  
4 conduct a TRE and make some changes? Our proposal also  
5 addresses the most important question, is the discharge  
6 impacting the receiving water?

7 Okay. So I'm going to switch gears. That was a  
8 little bit on the toxicity. I had a couple other issues I  
9 wanted to address. One was something you actually heard  
10 from BAE, the order applies to standard for steam  
11 condensate, that's from the California Thermal Plan as you  
12 heard before, and it -- it's applying that the standard for  
13 new discharges.

14 And steam condensate discharges have occurred at  
15 Naval Base Coronado since about the 1940's, well before the  
16 thermal plan was adopted. So it's really an existing  
17 discharge under the thermal plan, and the appropriate  
18 standard requires beneficial uses be protected, that's what  
19 the standard would require.

20 And because this discharge volume is extremely  
21 small, it's about approximately 350 gallons per day, but  
22 this is from 33 different discharge points over a very big  
23 area. There's not going to be thermal impacts in the bay.

24 The Navy conducted -- we even did modelling, not in  
25 San Diego Bay, but we had a modelling done at a base in

1 storm water discharge issue. Storm water discharges are too  
2 variable to consistently meet the strict end of pipe  
3 toxicity limits 100 percent of the time.

4 So this is -- okay. This is what we're proposing.  
5 Although we still believe testing in the receiving water is  
6 the correct approach, we're proposing a slight variation of  
7 that.

8 This idea would have us test end of pipe sample  
9 toxicity, but initially make that an action level and not a  
10 strict limit, and then if we were to fail using your  
11 standard, then we would -- we would conduct a TRE, a  
12 toxicity reduction evaluation, and submit a report with  
13 proposed corrective actions, and we would implement those  
14 corrective actions, of course, after working with your  
15 staff.

16 Then we would go back, retest both the end of the  
17 pipe and the receiving water sample. Now, if we fail  
18 toxicity at the end of the pipe and the receiving water  
19 sample after all this, then that's a failure and a violation  
20 of the order. This -- this would require a change in the  
21 definition of the toxicity failure in the order.

22 This idea counts for the large degree of  
23 variability in storm water discharges, it eliminates testing  
24 for the sake of testing. What I mean by that is, the  
25 tentative order requires accelerated testing for end of pipe

1 New Jersey, and it showed that the changes from steam  
2 condensate discharge in these small volumes is negligible.

3 So the same would be the case for San Diego Bay,  
4 plus the cost to install a steam condensate return system  
5 for Naval Base Coronado, it would be in the millions of  
6 dollars. The estimate was about \$13 million.

7 So what we're asking, and, actually, your -- your  
8 Staff actually did comment that they agreed that if the  
9 discharge would be existing, but they also said we hadn't  
10 provided documentation, and I'll provide this to Vicente  
11 today.

12 But this is actually what they call a property  
13 record in the Navy, and it shows that the steam system at  
14 Naval Base Coronado was installed in July 1945.

15 And so this is what we're requesting. We request  
16 thermal plan standard for new discharges be deleted from the  
17 order, and the standard for existing discharges be applied  
18 to steam condensate.

19 And, you know, to demonstrate there's no thermal  
20 impacts, you know, we recommend you add some receiving water  
21 monitoring near the point of discharge to show that any  
22 change in temperature is negligible.

23 Okay. This is, actually, a fairly complicated  
24 issue, and I know Vicente commented on that. This is  
25 something we received today.