

1

STATE OF CALIFORNIA  
REGIONAL WATER QUALITY CONTROL BOARD  
CENTRAL COAST REGION  
JEAN-PIERRE WOLFF, CHAIR

ITEM 20: )  
)  
Revision of Waste Discharge Order )  
No. 01-100 and Issuance of Waste )  
Discharge Requirements and Water )  
Recycling Requirements Order No. )  
93-2014-0050 for Cambria Community )  
Services District, San Luis Obispo )  
County )  
)  
ITEM 21: )  
)  
Waste Discharge Requirements, Order )  
No. R3-2014-0047, for Cambria )  
Community Services District Class )  
II Surface Impoundment, San Luis )  
Obispo County )  
\_\_\_\_\_ )

TRANSCRIPT OF PROCEEDINGS  
San Luis Obispo, California  
Friday, November 14, 2014  
Reported by:  
MARK McCLURE  
CSR No. 12203  
  
Job No.:  
3073WQSLO

3

1 APPEARANCES:  
2 CHAIR: Jean-Pierre Wolff  
3 VICE CHAIR: Monica S. Hunter  
4 BOARD MEMBERS: Bruce Delgado  
Russell Jeffries  
5 Michael Johnston  
Michael Jordan  
6 Jeffrey Young  
7 EXECUTIVE OFFICER: Kenneth A. Harris, Jr.  
8 ASS'T EXECUTIVE OFFICER: Michael Thomas  
9 CLERK TO THE BOARD: Tammie Olson  
10 BOARD COUNSEL: Tamara Austin, Esq.  
Lori Okun, Esq.  
11  
12 BOARD STAFF: John Robertson  
13 Ryan Lodge  
14 ENGINEER: John Goni  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

2

1 STATE OF CALIFORNIA  
2 REGIONAL WATER QUALITY CONTROL BOARD  
3 CENTRAL COAST REGION  
4 JEAN-PIERRE WOLFF, CHAIR  
5  
6  
7 ITEM 20: )  
)  
8 Revision of Waste Discharge Order )  
No. 01-100 and Issuance of Waste )  
9 Discharge Requirements and Water )  
Recycling Requirements Order No. )  
10 93-2014-0050 for Cambria Community )  
Services District, San Luis Obispo )  
11 County )  
)  
12 ITEM 21: )  
)  
13 Waste Discharge Requirements, Order )  
14 No. R3-2014-0047, for Cambria )  
Community Services District Class )  
15 II Surface Impoundment, San Luis )  
Obispo County )  
\_\_\_\_\_ )  
16  
17 TRANSCRIPT OF PROCEEDINGS, taken at  
18 895 Aerovista Place, San Luis Obispo,  
19 California, commencing at 9:35 a.m.  
20 on Friday, November 14, 2014, heard before  
21 the CALIFORNIA REGIONAL WATER QUALITY  
22 CONTROL BOARD, CENTRAL COAST REGION,  
23 reported by MARK McCLURE, CSR No. 12203,  
24 a Certified Shorthand Reporter in and for  
25 the State of California.

4

I N D E X

ITEM	PAGE
3 Presentation by Mr. Harris	5
4 Presentation by Bob Gresens	13
5 Presentation by Michael Smith	56
6 Presentation by Kurt Souza	62
7 Presentation by Howard Kolb	69
8 Presentation by Sheila Soderberg	79
9 Presentation by Ryan Lodge	92
10 Presentation by Mari Garza-Bird	119
11	
12 PUBLIC SPEAKERS:	
13 Tina Dickanson	130
14 Mary Webb	136
15 Lynn Harkins	139
16 Gordon Hensley	142
17 Barbara Brouson-Grey	143
18 Paul Carlson	145
19 Mark Rochefort	150
20	
21 Vote by Board	189
22	
23	
24	
25	

5

1 SAN LUIS OBISPO, CALIFORNIA, FRIDAY, NOVEMBER 14, 2014  
2 9:35 a.m.  
3  
4  
5 BOARD CHAIR: Before starting on Item 20 and 21, I  
6 notice we have a full house, and the agenda items very  
7 possibly can be issues that, as individuals, you take  
8 them very personally, passionately, and also with the  
9 emotion, so I will request respectfully that we keep the  
10 time allowance and also maintain the proper approach to  
11 this deliberative process that we're using. So we  
12 appreciate all of you being here today and expressing  
13 your concerns and your input on these two important  
14 agenda items.  
15 So, Mr. Harris, would you please introduce Item 20.  
16 MR. HARRIS: Item 20 and 21 will be considered  
17 together today. Staff is recommending the Board revise  
18 one order and adopt two orders to permit operations of  
19 the Cambria Community Service District's emergency water  
20 treatment system for drought relief.  
21 The first presentation will be by the District to  
22 provide a project description. After that Kurt Souza,  
23 from the State Water Board's Division of Drinking Water,  
24 will describe the the Division's role in the permitting  
25 process, and then State Board staff Howard Kolb and and

6

1 Ryan Lodge will discuss the proposed orders.  
2 The District would also like the opportunity to  
3 provide additional information during the public comment  
4 part of the hearing.  
5 The District is an independent governmental body  
6 responsible for water supply in its service area. The  
7 District has applied for the Water Board for permits to  
8 operate the proposed system, and staff has evaluated the  
9 applications based on water quality considerations.  
10 The District has also applied CEQA exemptions to  
11 this project, as provided by the Governor in his drought  
12 declaration April 25, 2014. The Division of Drinking  
13 water identified the project as meeting the requirements  
14 for an exemption and the Governor's Office of Planning  
15 and Research concurred with the Division's  
16 determination. Water Board staff agreed with the CEQA  
17 determination. The District and Water Board staff will  
18 provide additional details in their presentation about  
19 CEQA compliance.  
20 District staff will now provide a project  
21 description.  
22 MS. OKUN: Mr. Chair, before the District staff  
23 makes its presentation, we have a couple of housekeeping  
24 items with respect to some late comments, and I believe  
25 there may be some disclosures that some Board members

7

1 want to make.  
2 The public notices for these two items included  
3 comment deadlines of October 19, so that would supersede  
4 the standard language in the agenda saying that the  
5 comment deadline was noon of Monday of this week. So we  
6 had a number of comments this week, and I think last  
7 week, as well. All but one of them were after noon on  
8 Monday anyway, and I'll go through the late comments and  
9 and make recommendations about whether you should accept  
10 them. Basically, the Board's policy is that we will not  
11 accept late comments if it would prejudice the Board or  
12 any party, which would be the District in this action,  
13 and in some cases the Board has required the late  
14 commenters to demonstrate why they couldn't have  
15 submitted their comments timely.  
16 The first comment is from Lou Blanc. It included a  
17 number of very lengthy attachments that was xx sent on  
18 November 6 or 7. The District has had an opportunity to  
19 look at his comment and to submit a response. Because  
20 the attachments were very lengthy and they could have  
21 been submitted during the comment period before October  
22 9, I'm recommending that you accept Mr. Blanc's emailed  
23 comments and the District's response, but not the  
24 technical reports and other materials that were attached  
25 to Mr. Blanc's email. Some of those were already in the

8

1 record so whatever is already in the record is staying  
2 in the record, but to the extent anything was new, I'm  
3 recommending not accepting those. And for the record,  
4 he's nodding and that's your ruling.  
5 BOARD CHAIR: Okay.  
6 MS. OKUN: We received a letter from the California  
7 Department of Parks. This was received later this week.  
8 I'm recommending that you accept that. It was from a  
9 sister State agency and the substance of the comments  
10 were already included in the record because they were  
11 incorporated in materials that we had already received,  
12 so I'm recommending accepting that.  
13 We received an email, I think staff received it  
14 yesterday from Tom Luster, of the Coastal Commission.  
15 He forwarded some materials that are already in the  
16 record, and he requested that the Board impose a  
17 reopener or a time limitation on the orders, and I and  
18 staff have a response that they have prepared to address  
19 his comments that we can talk about later. I'm also  
20 recommending accepting that email.  
21 I understand there's some comment letters that came  
22 in this morning or last night from Federal agencies. I  
23 haven't seen those, so if there are such letters, we'll  
24 have to take that up later in the day.  
25 And finally, there was a comment letter submitted

1 this morning by Cynthia Holly. We haven't had the  
2 opportunity to review that, and there's no reason it  
3 couldn't have been submitted during the comment period,  
4 so I'm recommending excluding that. I assume Miss Holly  
5 is here since somebody sent staff a letter so she or her  
6 clients can make comments during the public comment part  
7 of the hearing.

8 BOARD CHAIR: All right.

9 Mr. Harris?

10 MR. HARRIS: I just want to ask you to confirm on  
11 the audio record that you concur with Ms. Okun's --

12 BOARD CHAIR: Yes, I was going to group my  
13 concurrence with all the council's recommendation items,  
14 yes.

15 MS. AUSTIN: Excuse me. Cynthia Holly is not here.  
16 She sent her letter so it would be read during public  
17 comment, and that was why it was sent to someone else  
18 for her.

19 MS. OKUN: If there's somebody here who delivered  
20 the letter who wants to read it during their three  
21 minutes, that's fine, but I don't know what they're  
22 going to say. And what I have in front of me now is a  
23 late written comment that I'm recommending that you  
24 exclude. That won't prevent anyone from reading it or  
25 from making the same statements in their own words.

1 The final document is two pages that Mary Webb  
2 passed out yesterday during the drought item. There  
3 were two different graphs. It's related to the  
4 District's need for the project, basically, and because  
5 of the pendency of this action, I'm recommending that  
6 you treat that as a late comment. I believe she's here  
7 today to address the Board.

8 The District has a copy of those two pages. I gave  
9 it to them this morning so they will have an opportunity  
10 to respond to it, but because that's already been  
11 distributed to the Board, I recommend that you put that  
12 in the record.

13 BOARD CHAIR: Okay, we will do that. Thank you.

14 Do you want to add anything, Mr. Harris?

15 MR. HARRIS: No.

16 BOARD CHAIR: Thank you. So we can proceed with  
17 the presentation.

18 MR. JORDAN: Mr. Chairman, just a question. Some  
19 of those on the list you just talked about I think I'm  
20 familiar with, others I have not seen. But the one  
21 you're talking about that is the Mr. Blanc was the one  
22 that appeared in my email box yesterday morning that has  
23 the 97 pages, right?

24 MS. OKUN: Right, and the 97 pages is what we're  
25 keeping out.

1 MR. JORDAN: So you're talking about accepting the  
2 cover email but not the 96 pages behind that?

3 MS. OKUN: Right. The cover email, and there's  
4 about a two-page response at the end from the District.

5 MR. JORDAN: I didn't get to the 97 and 97 pages,  
6 so that was my question, is, where is the District's  
7 response that you're referring to? So it's on the end  
8 of that email, right?

9 MS. OKUN: Yes.

10 MR. JORDAN: Okay, thank you.

11 MS. OKUN: And the other letters that I talked  
12 about, the Parks letter, Mr. Luster's email, and I think  
13 those are the only other two so I think we can pass  
14 those out.

15 BOARD CHAIR: Any other -- yes, Mr. Johnston.

16 MR. JOHNSTON: I have a disclosure I wish to make.  
17 I was contacted approximately six or eight weeks ago by  
18 a Cambria resident, Mr. Michael McLaughlin, who I have  
19 known for many years through my work in the Teamsters  
20 where he also worked. The substance of the contact he  
21 made by telephone, we had one conversation during which  
22 he expressed support for the Cambria project that we're  
23 hearing today. I told him that I didn't know much of  
24 the details, I figured it would eventually come before  
25 us, I knew staff was working on it.

1 He expressed, also, that there was some community  
2 opposition, essentially sentiments I noted in my  
3 preparation for this meeting, that there's a letter from  
4 Mr. McLaughlin in comments on this item, and essentially  
5 what he expressed on the phone was similar to what is in  
6 the letter that is in the record.

7 I was advised by staff after that this was a  
8 pending matter that we would be hearing and I should  
9 have no further contact with Mr. McLaughlin or anyone  
10 else on the matter, and I haven't, and my conversation  
11 with him really has not predisposed me to anything on  
12 this matter, and in fact it's identical to his comments  
13 which are in the record. Thank you.

14 BOARD CHAIR: Thank you, Mr. Johnston.

15 Any other inputs from the Board?

16 Mr. Harris, please proceed.

17 MR. HARRIS: I have nothing further, Mr. Chair.

18 BOARD CHAIR: All right. We're ready for the  
19 presentation. And your presentation, how much time?

20 MR. HARRIS: I think we allowed 15 minutes for this  
21 presentation.

22 BOARD CHAIR: All right. And we have, just so our  
23 fellow Board members know the queue here, we have three  
24 presentations, correct, Mr. Harris?

25 MR. HARRIS: We actually -- well, we have the

13

1 District and then we'll have two staff -- we have three  
 2 staff presentations, including Division of Drinking  
 3 Water, and then the District would like to have an  
 4 opportunity to comment afterwards.  
 5 I just wanted to confirm, it was 15 minutes, right?  
 6 I totaled everything up. Do you need more time?  
 7 MR. GRESENS: I'll need a little more time.  
 8 MR. HARRIS: I don't want to rush you.  
 9 MR. GRESENS: Probably 20 to 30 minutes.  
 10 BOARD CHAIR: All right. So what we will do is  
 11 after, since there are quite a few presentations, after  
 12 each staff and also the District presentation, the Board  
 13 will have an opportunity to ask some questions rather  
 14 than waiting, you know, for an hour on the presentation  
 15 and it may become a little bit fuzzy or confusing  
 16 discussing items, so you'll have an opportunity after  
 17 each of the staff presentations to ask some questions.  
 18 So please proceed, and we'll provide a little  
 19 flexibility on time.  
 20 MR. GRESENS: Thank you very, very much on behalf  
 21 of the District. I particularly appreciate all the  
 22 efforts of your staff, both here in San Luis Obispo  
 23 office as well as the Carpinteria office, and Division  
 24 of Drinking Water. We wouldn't be here today if it  
 25 wasn't for their help, so thank you.

14

1 My name is Bob Gresens. I'm district engineer for  
 2 the Cambria Community Services District. I'll give you  
 3 some background on our project and a few introductions  
 4 beforehand.  
 5 First of all, before I go too far here, we have two  
 6 board members here. We have director and vice president  
 7 Gail Robinette, we have board member Michael Thompson,  
 8 and our general manager, Jerry Gruber, here today.  
 9 I also have a fabulous supporting team here with  
 10 our people, Mari Garza-Bird on my right here, and as  
 11 detailed questions come up we can introduce more people  
 12 from the CDM Smith team but they are in the back here.  
 13 So without further ado, I'll just jump in the  
 14 background. We have a nice graphic up on the right,  
 15 also, of the project that we can refer to. Essentially,  
 16 our background of our project is we were working with  
 17 the Army Corps originally on various alternatives. They  
 18 did actually did workshops, screened many alternatives.  
 19 We used one of them as a springboard to simplify and  
 20 come up with a very fast-track, emergency supply project  
 21 which is in front of you today that was designed to fit  
 22 entirely on our property up the San Simeon Creek Road.  
 23 We used prefabricated treatment plant units that were  
 24 built in shipping containers to the fullest extent  
 25 possible. We used above-grade piping to avoid having to

15

1 trench through areas as much as possible, and again it  
 2 was a fast-track design-build effort.  
 3 You'll see that our project, San Simeon Creek Road  
 4 is here, this is Highway 1 here, just to get your  
 5 bearings. The main components of the project are the  
 6 advanced water treatment plant that's right here. It's  
 7 fairly well hidden from the roads. We have our  
 8 evaporation pond, which is our largest feature, and  
 9 that's to evaporate the RO reject water, and that used  
 10 to be an existing holding basin that's being modified to  
 11 meet the Title 27 requirements. We have some key  
 12 pipelines.  
 13 This is a mitigation design feature to make sure we  
 14 are introducing water into the head of the San Simeon  
 15 Creek Road to support the habitat there.  
 16 We have an existing extraction well here that's the  
 17 source water, and then we reinject our water up in this  
 18 point here after it's fully treated, and it migrates  
 19 underground into one of our two potable wells. We  
 20 actually have three, but this one is going to be used as  
 21 a monitoring well. So it'll travel from here to here,  
 22 and it has to travel at least two months to get to that  
 23 point. That's a real quick overview, and again we can  
 24 come back to questions as they arise.  
 25 This is just a close-up of our well field. Again,

16

1 the injection well is here, we have a new monitoring  
 2 well here, we're going to use this production well here,  
 3 SS-3, as a monitoring well, and these will be the two  
 4 wells that are used to actually produce water. They are  
 5 existing now and they will capture some of this  
 6 treatment water that's going to migrate underground.  
 7 The production will be approximately 300 gallons  
 8 per minute that goes to our customers. That's about 250  
 9 acre-feet during a six-month drought season. Basically  
 10 what happens to our water now, it comes from our  
 11 wastewater treatment plant, pumped a couple miles, goes  
 12 in effluent percolation ponds. That goes underground,  
 13 percolates and then it flows as underflow into the  
 14 ocean. All the water, including the basin underflow, is  
 15 about -- greater than 45 acre-feet per month, so we are  
 16 recovering a portion of that lost water with this  
 17 project.  
 18 I'll just make these slides come in quickly. I  
 19 didn't want to spend a lot of time on this particular  
 20 one, but this is a water balance slide that shows the  
 21 conveyance, and the first block is what I just  
 22 mentioned, the wastewater treatment plant flow that's  
 23 going through the percolation pond. We have our  
 24 extraction well that's our 9P7 well on our project. We  
 25 have a certain amount of water goes to our perc pond in

17

1 the form of backwash water, and we have the  
 2 100-gallon-a-minute mitigation water going to the  
 3 lagoon, and then a small amount is lost to evaporation.  
 4 We have our advanced treatment discharge which goes  
 5 into our injection well, with about 300 gallons a minute  
 6 going to the customer. There's a slight amount -- or  
 7 there is an amount of water that flows underground back  
 8 to this well. We have a little bit of recycling  
 9 occurring under here, and so there's a total water  
 10 remaining in the system of 594 gallons a minute, total.  
 11 So our net balance -- the purpose of this is to point  
 12 out that our net balance is positive, slightly positive  
 13 overall.  
 14 As far as the advanced water treatment plant goes,  
 15 we have three levels of barriers here. We have  
 16 micro-filtration, reverse osmosis and advanced  
 17 oxidation, and they are primary barriers for pathogens  
 18 and other contaminants that we'll get to in a minute  
 19 here.  
 20 The first barrier is membrane filtration, and those  
 21 are hollow fibers with very, very tiny holes that remove  
 22 nearly all the suspended solids from the pumped water,  
 23 the turbidity, it removes protozoa and bacteria. It  
 24 does not remove viruses or dissolved contaminants and it  
 25 does not use chemicals or change the chemical

18

1 constituents in this first step of the treatment.  
 2 We then have our second barrier, is reverse  
 3 osmosis, and these are spirally wound membranes that  
 4 remove viruses, dissolved salt, dissolved organics,  
 5 pharmaceuticals and personal care products, and the  
 6 pores are too small to measure, but they remove  
 7 particles as small as one-tenth of a nanometer in size.  
 8 And then our next barrier is an advanced oxidation,  
 9 and that has a highly concentrated UV light process in  
 10 combination with hydrogen peroxide which would basically  
 11 oxidize any remaining organic compounds and break them  
 12 down if they were to make it through the RO barrier  
 13 ahead of this. So this is an additional barrier for  
 14 pathogens. It operates at about ten times higher  
 15 intensity than a typical UV treatment at normal drinking  
 16 water plants, so it's a pretty powerful UV system that  
 17 we have.  
 18 The post-treatment consists of chlorination to  
 19 provide some redundant disinfection. There's some  
 20 calcium caustic soda added to stabilize the water  
 21 because it's actually a little bit aggressive, it's had  
 22 too much removed from it at this point, and so the  
 23 finished water, after it's been stabilized, is  
 24 reinjected into that well I showed a minute ago,  
 25 traveling at least two months before it reaches any of

19

1 the wells for reuse.  
 2 The permitting process, I'm just going to talk a  
 3 little bit about our land use permitting at this point,  
 4 and I'll talk in a minute on some supporting materials  
 5 related to the two permits before you.  
 6 On our land use permitting, and this should say  
 7 "emergency" versus "regular" instead of "temporary." I  
 8 got a little error, I noticed, last night. We have an  
 9 emergency coastal development permit for our project.  
 10 That was issued by San Luis Obispo County on May 15, and  
 11 we require completion by today or after today.  
 12 We have a two-pathway process going on here. The  
 13 emergency coastal development process requires us to  
 14 complete the emergency project, but in pair with that  
 15 and on a separate path we submitted a regular coastal  
 16 development permit, and that's support by a CEQA  
 17 process. So we have this regular coastal development  
 18 permit application in with the County, we're responding  
 19 to some of their detailed questions, and we're in the  
 20 process of supporting that with the full CEQA process,  
 21 even though our current work is subject to the  
 22 Governor's executive orders.  
 23 On our Board agenda for this coming November, we're  
 24 going to actually have an item for discussion to approve  
 25 a contract to do that supporting EIR on the regular

20

1 coastal development permit project.  
 2 You know, even though we're covered by the  
 3 executive orders, we are paying close attention to the  
 4 environmental needs and CEQA. It's not like we're  
 5 ignoring CEQA with the current effort. Just to give you  
 6 the basics of what we're doing on this current project  
 7 that will be backed up by EIR, we did an earlier IS/MND  
 8 that was not adopted because we decided to go with an  
 9 EIR. We're paying attention to the esthetic issues.  
 10 The biological issues, for example, we have a biological  
 11 monitor onsite during construction, there are  
 12 pre-construction surveys, we are following this up with  
 13 an adaptive monitoring plan to monitor our protective  
 14 measures to make sure they're doing their job,  
 15 particularly with regards to the lagoon.  
 16 On cultural resources, we've had both an  
 17 archaeological and Native American Indian monitors  
 18 working out there side by side with the contractor  
 19 making sure we're paying attention to sensitive areas  
 20 and we're abiding by noise standards.  
 21 We had existing regulations that were found that  
 22 were both in the local coastal program as well as the  
 23 coastal zone land use ordinance. There's been  
 24 dust-control measures implemented. We are following the  
 25 compliance terms of our emergency coastal development

1 permit that the County issued. We have a third-party  
2 specialized evaporation pond construction monitor, and  
3 that was directly the result of your staff recommending  
4 that to us. We have added an underground gopher barrier  
5 and we're adding an aboveground frog barrier around the  
6 entire perimeter of the pond. That's being done as a  
7 change order on our project, and again your staff was  
8 instrumental in guiding us through that process to make  
9 sure we added that.

10 We have added double containment piping to the  
11 reverse osmosis reject water. Again that was based on a  
12 comment we received early on. We have increased the  
13 overlap of the seams in the pond liner based on your  
14 staff's recommendations.

15 We have our mitigation water design feature, which  
16 that would be worth briefly touching on. This is a  
17 rough cross-sectional view of what we have between where  
18 our percolation ponds are, where our existing water  
19 wells, San Simeon 1, 2, and 3 are, and the ocean. So  
20 the underflow is coming out towards the ocean. We have  
21 a little bit of a mound developed here with the  
22 percolation ponds that helps slow the flow of the  
23 underflow out to the ocean. So that's a normal rain  
24 period, so everything is fine.

25 What happens in a drought without the emergency

1 project is this can get reversed, so our well fields get  
2 pulled down, the percolation ponds start flowing in  
3 reverse, and this is without the level of treatment  
4 we're talking about today, this would go right to our  
5 perc ponds, and then you have seawater that can come  
6 from the ocean.

7 That's, obviously, not a good thing, and so what  
8 our project is doing is we are taking the water and  
9 injecting it in the reinjection well and creating a new  
10 mound here that again serves as a barrier to the San  
11 Simeon wells 1, 2 and 3. There's a certain amount that  
12 flows in this direction -- it's on a water balance slide  
13 that I showed earlier -- and then flows to the ocean.  
14 So we are protecting the production wells from the  
15 backflow effect you saw earlier as well as helping some  
16 of the water further down-gradient.

17 We have had a number of comments on lagoon levels.  
18 They are impacted by numerous conditions -- wet season,  
19 dry season, connectivity through the beach berm, the  
20 groundwater flows. We had mitigation flows that  
21 circulate water back into the lagoon that can seep back  
22 into the basin. That last point is beneficial.

23 Just briefly, background material is on your Title  
24 27 permit that's in front of you today, this is the  
25 cross section of our evaporation pond. Again we have

1 the lining system installed. Per the Title 27, it's a  
2 three-level lining system. I don't want to talk too  
3 much because I know your staff is going to get into this  
4 in more detail, but basically we maintain a two-foot  
5 freeboard and that stores our concentrate reject water  
6 from the RO, or sometimes referred to as advanced water  
7 treatment plant water brine flow.

8 In order to achieve the evaporation needed along  
9 the coast, we are putting in operation blowers that are  
10 mechanical blowers similar to what you would see for a  
11 snowmaking machine at a ski resort, except they're  
12 mounted more horizontally and pointed directly over the  
13 pond. They have soundproofing around three sides of  
14 them to make sure the sound doesn't emanate anywhere  
15 besides over the pond, and we have a weather station  
16 located onsite to monitor the conditions that will  
17 actually shut off the blowers if the wind speed exceeds  
18 a certain speed or direction or goes in the wrong  
19 direction.

20 This is just an overview of that. These are some  
21 of the technical details provided by staff.

22 The quality of the brine has been questioned in the  
23 past. There's no constituents in the brine that come  
24 close to reaching hazardous levels. Again our excellent  
25 CDM Smith staff has analyzed that in detail.

1 There's no selenium or mercury that was detected in  
2 the surface source water, either.

3 A little background on Title 22. We did do a  
4 tracer test earlier on to comply with the Title 22  
5 indirect reuse regulations. We ran this before our  
6 plant was built, so we ran it at a fairly high rate of  
7 454 gallons a minute. By pumping out of either existing  
8 well SS-1 or SS-2, we had a temporary pipeline laid  
9 above the ground that went to that injection well where  
10 we added the tracer. The tracer was a bromide salt at  
11 10 parts per million.

12 The bottom line is and hopefully the next slide --  
13 I'll have to go back. I think there's a future slide.  
14 The duration of the test was 67 days and we ended the  
15 test after that period of time.

16 This shows the results of that test. The closest  
17 well at that higher flow rate had the travel time at 58  
18 days, and that was again extracted at a much higher rate  
19 of 454 gallons per minute, and then SS-1, that's 67  
20 days.

21 And what we're actually doing with the operation at  
22 this point is we're looking at a flow rate injection of  
23 400 gallons a minute, which is lower than the 454, and  
24 modeling results found that the travel time to the  
25 closest well is 82 days, and that was producing the 300

1 gallons a minute, and the travel time to SS-1 was 106  
2 days. So the key was trying to get above the 60-day  
3 period that was a requirement of the regulation.

4 At this point I'll just stop and see if there are  
5 any questions you may have. Again, we greatly  
6 appreciate the effort from your being here as well as  
7 your staff. They've been really great to work with and  
8 we, obviously, support the permits and recommend that  
9 you adopt them at the end of this discussion. So thank  
10 you.

11 BOARD CHAIR: Thank you very much. So to my  
12 colleagues, I'm going to start on my left. Do we have  
13 any questions?

14 MR. YOUNG: Not at this point.

15 MR. JEFFRIES: Yes. Thank you, Mr. Chair.

16 The questions I have, I see that you did a 60-day  
17 test and used some kind of chemical, tracer chemical.  
18 How long of a test did you make?

19 MR. GRESENS: The tracer chemical was a sodium  
20 bromide salt. It ran a total of 67 days for the  
21 testing. The first 30 days they injected the salt at 10  
22 parts per million while sampling at the monitoring  
23 wells, so we had this loop going on where the water was  
24 pumped from either SS-1 or SS-2 into an above-grade  
25 pipeline. The tracer salt was added, it went into the

1 injection well, and then on its way back through an  
2 underground channel through the groundwater, that's  
3 where we had our sample well and we were sampling  
4 periodically to measure that concentration.

5 MR. JEFFRIES: Was this just one test or was there  
6 a series of tests?

7 MR. GRESENS: Well, the analytical were multiple  
8 tests on a regular time frequency. I don't have that  
9 time -- weekly. We do have our experts here and they  
10 can get into some of these details if I can't answer in  
11 an adequate enough fashion. So we had a lab analysis  
12 and there was at least weekly sampling that was going  
13 on.

14 MR. JEFFRIES: You alluded that you were doing an  
15 EIR, is that correct?

16 MR. GRESENS: Yes. That's to support our project's  
17 regular coastal development permit, which is kind of a  
18 second step in the County's permitting process.

19 MR. JEFFRIES: When will that be available?

20 MR. GRESENS: Well, our Board is going to  
21 deliberate on it as part of the November 20th meeting.  
22 Assuming they do authorize the contract, it's going to  
23 probably be at least a three-month period to get that  
24 out for public review, is my best estimate at this time.

25 MR. JEFFRIES: Three months from now?

1 MR. GRESENS: From the 20th.

2 MR. JEFFRIES: The 20th of November?

3 MR. GRESENS: Yes.

4 MR. JEFFRIES: Will that be available to our  
5 agency?

6 MR. GRESENS: Yes, absolutely.

7 MR. JEFFRIES: The operation time of this facility,  
8 these facilities, is this going to be 24/7 or how --  
9 what is the duration? Is it on a needs basis?

10 MR. GRESENS: We are still resolving that with  
11 our -- we're going to contract to operate this for at  
12 least the first three months. And exactly whether it's  
13 going to be 24/7 for five days or if they're going to go  
14 seven days, it hasn't been resolved specifically. We're  
15 meeting with the operational lead person this coming  
16 week, on Monday, so they're starting to do commissioning  
17 testing on Monday, but the full-scale operation will be  
18 several weeks after that, so -- okay, I'm advised here  
19 that it will operate no more than six months per year,  
20 if it was operating -- it will be capable of running  
21 24/7. Maybe I'm struggling somewhat with your question.  
22 I'm sorry if I am.

23 MR. JEFFRIES: Well, I think you're getting into  
24 the next part of it. Who decides when it's going to be  
25 run? I ask is it on demand or is there a certain level

1 of your extraction wells that triggers this?

2 MR. GRESENS: Well, it's going to be based as we're  
3 monitoring our aquifer levels to maintain that  
4 differential that I alluded to earlier. But, for sure,  
5 we're going to operate it for at least the next month no  
6 matter where the levels are at, just to get this thing  
7 wrung out properly. We are estimating that it's going  
8 to run probably at least three months this year yet, so  
9 that's our best estimate.

10 MR. JEFFRIES: My last question for you now is you  
11 related to the brine extraction operation ponds. What  
12 do you do with the solids that are left in the ponds  
13 after you've evaporated them?

14 MR. GRESENS: After they concentrate to a certain  
15 level, we'll have them hauled off.

16 MR. JEFFRIES: Do you have more than one pond?

17 MR. GRESENS: We just have the one pond.

18 MR. JEFFRIES: You have one pond. So you'd have to  
19 shut down the facilities at that point in time to remove  
20 the solids, is that correct?

21 MR. GRESENS: That's correct.

22 MR. JEFFRIES: Thank you very much.

23 BOARD CHAIR: Mr. Young?

24 MR. YOUNG: Thank you, Mr. Chair.

25 Could you go back to your slide that shows the

1 current condition with the over-extraction of the  
2 groundwater? So if I'm not mistaken, the lady who spoke  
3 to us yesterday had indicated that data that you have  
4 suggests that the levels at your wells 1, 2 and 3 have  
5 actually not changed, that the elevation of the aquifer  
6 there has remained the same. Is that true? Do you have  
7 any information otherwise?

8 MR. GRESENS: We had the wells shut off for two  
9 months during the tracer study so that allowed the  
10 system to stabilize and get to what you would say is  
11 about an average level. We have just started running  
12 them again after the -- what date was that, Mari,  
13 September 29 or 9th -- 29th, I'm advised. I think it  
14 was September 29 when the tracer study ended, so the  
15 wells now are coming down because we're actually  
16 starting to use them as production wells again. So we  
17 had a two-month period where they were not being used,  
18 so that is correct.

19 MR. YOUNG: Do you have a graph that shows the  
20 historical elevation of the groundwater table there,  
21 say, over the last couple of years coming through to the  
22 present?

23 MR. GRESENS: I do have that. I don't have it with  
24 me today, but I do have such a graph, yes.

25 MR. YOUNG: When did you first begin to see

1 groundwater levels being lowered on kind of a permanent  
2 basis because of drought?

3 MR. GRESENS: I would say that it was the early  
4 part of this year, around January when we were seeing  
5 things drop quickly, particularly in our Santa Rosa  
6 well, which is a separate aquifer. We have two  
7 aquifers, Santa Rosa and as well as the San Simeon  
8 Aquifer, shown here.

9 MR. YOUNG: Both aquifers feed into these three  
10 wells? Do both aquifers feed into these three wells?

11 MR. GRESENS: Both aquifers will feed into the  
12 percolation pond area after that water goes through the  
13 wastewater plant, so it's -- we have probably 80 percent  
14 of the water, Cambria, is indoor water use, as a rule,  
15 and that water is going through the wastewater plant  
16 which, in turn, is going into the operation pond, so  
17 there are times when the operation pond will be getting  
18 water from the Santa Rosa Aquifer that helps things out,  
19 and that was occurring during that two-month period I  
20 mentioned because we had all the production in the town  
21 coming off the Santa Rosa wells, we had the San Simeon  
22 well shut off, so we were putting more water in the San  
23 Simeon Aquifer than was being pumped out it for two  
24 months straight there.

25 MR. YOUNG: Thank you.

1 BOARD CHAIR: Yes, Mayor Delgado.

2 MR. DELGADO: Just following up on the same  
3 question, yesterday we were given a graph of the San  
4 Simeon water levels, and it shows that most of this  
5 year, at least since March 15 of this year, the water  
6 levels are tracking pretty closely to a 26-year average  
7 level of those wells, significantly higher than the  
8 26-year average minimum and lower than the 26-year  
9 average maximum, but basically it appears to be an  
10 average year with the water levels at San Simeon Creek  
11 wells since March of this year. That's all it shows.  
12 So given that this graph shows 2014 to be tracking  
13 fairly closely to the 26-year average level, what is  
14 your feedback on that?

15 MR. GRESENS: We were artificially recharging that  
16 lower perc pond with the Santa Rosa wells. So we were  
17 not producing any water from San Simeon, versus those  
18 other years where we were producing from San Simeon. So  
19 the underflow has been my greatest concern, because of  
20 the long-term drought that that's not occurring. So  
21 once we start producing, those wells start dropping very  
22 quickly because the underflow is not adequate to keep  
23 up. So those earlier years are under more normal  
24 operation where you are relying on the San Simeon wells.

25 We obtained over 40 percent conservation in town

1 because of the drought emergency that was declared on  
2 January 3. It was very onerous conditions and we had  
3 water use limited to 50 gallons per capita per day, we  
4 had a mandatory 20 percent reduction on commercial, a  
5 total ban on outdoor irrigation, so the community cut  
6 its water use by 40 percent. So not only did we reduce  
7 our demands by 40 percent to get to that average-looking  
8 level, we also had the San Simeon well shut off and we  
9 were creating this artificial imbalance by putting all  
10 our Santa Rosa water into that perc pond. So it looks  
11 pretty rosy on that chart but it's not typical, it's not  
12 a fair comparison with those other years.

13 MR. DELGADO: When you responded earlier to Board  
14 Member Young's question, similar question, I thought you  
15 mentioned that it had been a couple of months where you  
16 had stopped pulling. Have you been doing it for many  
17 months or just a couple of months?

18 MR. GRESENS: It was a 67-day straight period, and  
19 I think it ended September 29, that 67th day was around  
20 the 29th of September.

21 MR. DELGADO: That's why my follow-up, is because  
22 at least this graph goes back to March 15, and the  
23 question would be what would have happened in February  
24 and January and December, but it seems like it's more  
25 than two months that it's been tracking average. Would

1 that, you'd say, be due to conservation measures that  
2 were happening since earlier this year?

3 MR. GRESENS: Yes, I definitely feel the  
4 conservation measures were key in our being able to make  
5 it this far along and those wells staying where they  
6 were in that period of time.

7 MR. DELGADO: Thank you.

8 BOARD CHAIR: You know, one thing I'd like to do in  
9 fairness of the process, we're talking about charts and  
10 I'm not even sure if you have them in front of you. I  
11 don't think it's fair to -- please, folks, let me speak.  
12 Thank you.

13 So what I'd like to do is to at least have these --  
14 if you have them in front of you, Mr. Harris, or to  
15 provide them so if you're commenting, at least we're  
16 working out of the same piece of information.

17 And also, I think that it would be worthy to vet  
18 this information because this was presented by a member  
19 of the public. I have no idea where the data comes  
20 from, so before my fellow Board members address,  
21 perhaps, more of this item, I would like you to comment  
22 on the source of the information and making sure that  
23 you have that information in front of you.

24 MS. OKUN: We have some extra copies of the  
25 document we're talking about. We are passing some

1 copies out to the members of the audience.

2 MR. DELGADO: Thank you.

3 MR. GRESENS: I'm not sure I'm clear on the process  
4 here.

5 MR. HARRIS: Chairman Wolff, if I can suggest that  
6 we continue the Board's questioning, avoiding charts at  
7 this point and give the District a chance after we come  
8 back to it at a later time.

9 BOARD CHAIR: My point is, I would like to then  
10 defer the discussion pertaining to the charts, making  
11 sure they have a chance to look at them.

12 MR. HARRIS: Absolutely.

13 MS. OKUN: We can also put the charts on the ELMO.

14 MR. HARRIS: I think at this point let's leave the  
15 chart as a question for later and continue to move on  
16 with the Board questioning.

17 BOARD CHAIR: Dr. Hunter?

18 DR. HUNTER: Thank you.

19 Thank you for your presentation. So I'm not sure,  
20 excuse me if I missed the number, but how many customers  
21 are you currently serving in the Cambria Water District?

22 MR. GRESENS: From the 2010 census, it was about, I  
23 think, 6,032, and it's fluctuated up to 6,200 as far as  
24 full-time residents.

25 DR. HUNTER: And that includes businesses and

1 hotels?

2 MR. GRESENS: That's just full-time residents.  
3 Typically, our water use is approximately 20 to 25  
4 percent commercial and about 75 percent residential.

5 DR. HUNTER: And so my question is right now you're  
6 talking about an emergency order to ensure water,  
7 adequate water for the customers that you currently  
8 have, which is around 6,200. Let's say 6,100. At any  
9 point will this system provide water for new residential  
10 uses? In other words, can this water contribute to  
11 supporting growth of residential development?

12 MR. GRESENS: This is designed to improve the  
13 reliability for the existing community. The practice in  
14 Cambria has been to do a demand offset on any new  
15 connections, which I think is a local coastal  
16 program-driven requirement.

17 We have a very aggressive conservation offset  
18 program so anyone who comes forward with a water  
19 connection request has to -- they buy points that are  
20 used for the conservation program so that offsets any  
21 demand from that future connection.

22 DR. HUNTER: In the CEQA document, that aspect of  
23 the water supply would be addressed in terms of any  
24 growth inducement impacts resulting from having the  
25 ability to run this operation -- I had not seen anything

1 in the report that said you can only run it under  
2 certain conditions. Are there drought-specific  
3 conditions, criteria that are in the permit?

4 MR. GRESENS: That's correct. The current  
5 emergency coastal development requires us to be in a  
6 state 3 emergency, which we're still in right now.

7 DR. HUNTER: Thank you.

8 BOARD CHAIR: Mr. Johnston?

9 MR. JOHNSTON: Good morning. A couple of  
10 questions. First of all, your first or second slide  
11 mentioned that the Army Corps was working on a  
12 longer-term project. Can you just give me a brief  
13 sketch of what that is and how it relates to this?

14 MR. GRESENS: Yes. This has been a longstanding  
15 project with the Army Corps. The District received a  
16 Federal authorization, I want to say, probably 10 years  
17 ago, from the Water Resource Development Act, and that  
18 particular program is administered by the Army Corps, so  
19 even though it's a Federal funding program, they  
20 administer all the contracts.

21 Over the years, they got an authorization, but they  
22 didn't always get the appropriation. It's a two-step  
23 process and they've been lacking in funds so that  
24 project stalled a couple years back without making much  
25 progress. They're trying to reactivate it. That would

1 follow a whole separate path for a long-term project.  
2 I mentioned they had looked at 28 alternatives at  
3 one point. They're going to be looking at how this  
4 project be incorporated into their depot review process,  
5 which they have to follow the National Environmental  
6 Policy Act as opposed to CEQA, which they probably have  
7 at least a year to go in getting that document wrapped  
8 up.

9 So once it goes up, they'll have a preferred  
10 alternative identified. We don't know if the preferred  
11 alternative is going to incorporate this emergency  
12 project or not at this point in time.

13 MR. JOHNSTON: So what you're saying is that there  
14 is a longer-term Army Corps project but it's still in  
15 the scoping stage and you have no idea what the result  
16 will look like?

17 MR. GRESENS: Yeah. It's a little bit further  
18 along than a scoping session, but that's the gist of it.

19 MR. JOHNSTON: Okay. Now, you referred to this  
20 project's operation during the six-month drought season,  
21 and so I'm trying to understand that. Is that concept  
22 that basically kind of every summer is drought season in  
23 Cambria or what do you mean, "the drought season"? I  
24 feel like we've been in a drought season about the last  
25 three years in California.

1 MR. GRESENS: Yeah, it's really CCSD-Board driven  
2 as far as whether it's a stage 3 condition or not, and  
3 as staff, we provide them information. Our dry season  
4 is normally six months long, but again it depends each  
5 year on the amount of rainfall we get. We got about 80  
6 percent of what was the minimum needed to recharge our  
7 aquifers this last season, so it's a combination of  
8 factors. And when we say drought, I think more in terms  
9 of the stage 3 drought emergency, and again that's our  
10 Board that makes that declaration.

11 MR. JOHNSTON: So the current emergency permit  
12 issued by the County allows you to run it only when  
13 there is a stage 3 drought, an emergency declared by the  
14 Board. The regular permit which you're requesting, what  
15 are the restrictions on what you could run it in that  
16 permit?

17 MR. GRESENS: Well, I don't mean to sound evasive  
18 here, but that's going to be a County decision on that  
19 particular permit. If it was up to me, I would ask that  
20 we can avoid getting to a stage 3 by running this  
21 project. Again, that decision really is going to be  
22 made by the County when they deliberate and decide on  
23 that regular coastal development permit. So that's my  
24 opinion on what I would like to see happen on that  
25 permit, but I can't speak for them.

1 MR. JOHNSTON: And finally, a couple of the other  
2 Board members touched on this. I mean, I guess  
3 certainly there's a concern that this will simply  
4 become, rather than -- even though it's being permitted  
5 under an emergency process and it's avoiding CEQA and  
6 able to move quickly through the pipeline, as it were,  
7 because of the emergency, the Governor's declaration  
8 that it's simply going to become part of the  
9 infrastructure. I guess there are, by definition,  
10 because you have to empty that pond periodically,  
11 there's an inability to run it 12 months a year, year in  
12 and year out. What are the engineering limits, if you  
13 chose, down the road, to run this on a more constant  
14 basis, what are the engineering limits to how much it  
15 could be run?

16 MR. GRESENS: I'm hearing from Mari, to my right  
17 here, that it's about two years before you'd have to --

18 MR. JOHNSTON: So you could run it for two years?

19 MS. GARZA-BIRD: The limitation of the facility is  
20 the surface impoundment, surface water impoundment and  
21 the ability for it to evaporate the constituents in the  
22 pond. If they were to run the facility for six months,  
23 a full six months during a dry season, turn it off for  
24 six months, and then turn it on for another six months,  
25 full six months continuously and then have it off for

1 six months, they would need to let the pond continue to  
2 evaporate water out of it before they could turn that  
3 facility back on again, probably for another year in  
4 order to let the evaporation pond to catch up.

5 MR. JOHNSTON: So what I hear you saying they could  
6 run it a couple of six-month dry seasons in a row, but a  
7 third one wouldn't be practical unless they were able to  
8 pump out all that water so they could get at the solids  
9 and that would be a fairly major undertaking?

10 MS. GARZA-BIRD: Correct.

11 MR. JOHNSTON: Okay. Thank you.

12 BOARD CHAIR: Mr. Jordan.

13 MR. JORDAN: Thank you, Mr. Chair.

14 You talked a little bit about the evaporation pond  
15 and the steps you're taking. There's little information  
16 in the staff report about what is actually evaporating  
17 and whether it is hazardous or toxic or you're just  
18 making steps to be gracious. So can you tell me, when  
19 something is evaporating out of the pond, what is the  
20 issue with what's in the air?

21 MR. GRESENS: Again, from my earlier slide, we  
22 found it not to fall under the definition of a hazardous  
23 substance. We're evaporating water from basically  
24 saltwater that's coming off the RO reject. The  
25 mechanical evaporators are increasing the amount of

1 surface area, and that accelerates the normal  
2 evaporation that comes off the top of that pond. They  
3 will be interconnected with our weather station so that  
4 if the wind speed exceeds a certain mile per hour they  
5 shut down, and then if it blows in a direction, say,  
6 towards the campground they would shut down.

7 MR. JORDAN: And why is that?

8 MR. GRESENS: That is just a safety precaution to  
9 make sure there's no drift that goes outside the  
10 perimeter of that berm so that everything is contained.

11 MR. JORDAN: I'm still not clear on drift of what.

12 MR. GRESENS: Okay, the mist, or the brine --

13 MR. JORDAN: Does it smell, does it have something  
14 in it that is not hazardous but is hazardous? I mean  
15 what's prompting you to take -- I realize the order is  
16 saying they want to contain it both on the ground and  
17 vertically.

18 MR. GRESENS: It's avoiding putting any saltier  
19 water outside the perimeter of the pond, basically.

20 MR. JORDAN: So there's higher levels of salt in  
21 the air, the evaporated air that would be moving around?

22 MR. GRESENS: Yes, I think that's accurate.

23 MR. JORDAN: That's the concern?

24 MR. GRESENS: Yes.

25 MR. JORDAN: Okay. I'm really confused on the

1 process of what you said you were going to do with CEQA.  
2 So due to the proclamation and the exemptions you can go  
3 through this process without CEQA, but then you're not  
4 also given those exemptions with your County CDP per  
5 your CEQA requirements?

6 MR. GRESENS: Well, the County process allows us to  
7 proceed without CEQA as far as building the emergency  
8 facility, but that is conditioned, to say, first of all,  
9 we have to put in a regular coastal development permit  
10 application, which we have, and the County has reviewed  
11 and commented on, and that regular coastal development  
12 permit which can follow this project has to be supported  
13 by a CEQA process, and that's what our Board is going to  
14 be deliberating on.

15 MR. JORDAN: You're not allowed those exemptions as  
16 part of that process -- the State exceptions?

17 MR. GRESENS: You're getting into a field of law,  
18 probably, that I'm not qualified to answer, but our  
19 approach has been to be good stewards and to follow --  
20 you know, do whatever is right for environmental  
21 protection.

22 MR. JORDAN: So if that wasn't clear, you wouldn't  
23 have any heartache about something to that nature being  
24 included in the permits today, that you would follow  
25 through on a full CEQA process?

1 MR. GRESENS: We're following through on it and we  
2 do believe that the current emergency project is subject  
3 to the Governor's executive orders that allow us to  
4 complete that without CEQA.

5 MR. JORDAN: Let me try the question again so it's  
6 a "yes" or "no." So you would not have any heartache as  
7 part of the approval process you're going through here  
8 that would commit you to that future process of going  
9 through CEQA?

10 MR. GRESENS: Well, I should probably deliberate.  
11 No.

12 MR. JORDAN: Perfect. That's the right answer.

13 Then you referenced some prior CEQA work that you  
14 started before and you got so far as a negative dec.  
15 Was that ever adopted or certified by anybody?

16 MR. GRESENS: It was circulated but never adopted.  
17 Our Board deferred action on that back in, I think it  
18 was, on the August 4th meeting.

19 MR. JORDAN: And at that time you or your  
20 consultant identified no impacts that would be  
21 unmitigable?

22 MR. GRESENS: They identified potential impacts and  
23 they identified mitigation measures if you reduce them  
24 to less than significant levels.

25 MR. JORDAN: So no class 1 impacts that couldn't be

1 mitigated?

2 MR. GRESENS: Right, no class 1.

3 MR. JORDAN: Then you described in answer to an  
4 earlier question, I think by Dr. Hunter, a reference to  
5 some sort of coastal control on new development. Is the  
6 essence of that is that you're basically in an area that  
7 allows no net new water use? Is that the result of that  
8 process where you referenced almost like transfer of  
9 conservation rights and a trading of credits, but if a  
10 new project came in to you today, they would have to  
11 essentially show that there's no net new increase in  
12 water use over the current status?

13 MR. GRESENS: That's been a practice of the  
14 District for many years. Again, that's a Board-driven  
15 policy, that we offset any future connections with  
16 conservation. There's also some related verbiage in the  
17 local coastal program for the North Coast that says  
18 something to the effect that you will not increase your  
19 diversions out of the creeks without having a new water  
20 supply project built, so we've been bound abiding by  
21 that condition as well.

22 MR. JORDAN: Do you know if the offset results in  
23 no new net increase or is it just a offset to reach a  
24 conservation that's a prescribed conservation level?

25 MR. GRESENS: It's a no net increase.

1 MR. JORDAN: You mentioned some type of trading  
2 credits, so if a commercial or residential facility went  
3 away, somebody would have some credits to trade to a new  
4 project, is that kind of how that works?

5 MR. GRESENS: I've got to think about your question  
6 for a minute.

7 MR. JORDAN: You mentioned the word "credits."

8 MR. GRESENS: Yes. We have what we call a  
9 conservation points bank. Every rebate results in so  
10 many gallons per day saved or even maybe tenths of  
11 gallons per day saved that gets equated to points. So  
12 we have a bank for positive points that happens when we  
13 do a conservation effort. For example, a project a few  
14 years ago we helped the laundromat replace all their  
15 commercial machines with very high-efficiency machines.  
16 That developed so many points.

17 So a new development that would come is required to  
18 come up with at least that many points, so that would  
19 come out of that bank, if it was positive at the time.  
20 If it's running negative, they actually have to do the  
21 conservation measures, so that's the gist of how that  
22 program works.

23 MR. JORDAN: What does the bank look like right  
24 now?

25 MR. GRESENS: It's positive by, probably, a few

1 thousand points.

2 MR. JORDAN: What does that really represent in the  
3 relevant world?

4 MR. GRESENS: I would have to get back to you on  
5 the gallons on that. I know it's positive by a couple  
6 thousand points. Each point, I think -- I'm going to  
7 probably step on my tongue here, but about a gallon and  
8 a half per day, give or take, a couple of tenths.

9 MR. JORDAN: And then the question Mr. Johnston  
10 had -- I think you said you were going to sound evasive.  
11 You did sound a little evasive. While the County will  
12 approve your CDP, you get to fill out the application so  
13 what's actually on your application concerning how you  
14 operate this facility after a drought status?

15 MR. GRESENS: Well, our intention is to have a  
16 mirror image of what's in the emergency project. So as  
17 far as how it operates --

18 MR. JORDAN: You said your preference would be that  
19 this is available to you whether you were in a stage 3  
20 drought or not, and that the County would eventually be  
21 the person who decided if that was a component of your  
22 approved CDP. And you also said that your CDP  
23 application is in with the County right now, and I would  
24 pose to you that that's part of your application, is  
25 when you're going to operate this and whether or not

1 it's going to be in a stage 1, stage 2, stage 3 or just  
2 if there's no drought. So my question is, what's on the  
3 application that's going to the County?

4 MR. GRESENS: The application -- again we filed our  
5 standard forms on that. I'd have to ask County to cover  
6 that point. I don't think it's in the application, in  
7 my recollection.

8 MR. JORDAN: So a lack of specificity would mean  
9 that it doesn't just apply to a drought period,  
10 probably, right? It's just an application to operate.

11 MR. GRESENS: I'm sorry, could you repeat your  
12 question?

13 MR. JORDAN: A lack of specificity to a time when  
14 there's a stage of a drought would then default to it's  
15 just an application to operate at any time. Does that  
16 make sense?

17 MR. GRESENS: I understand what you are saying. I  
18 don't know what the outcome of this process is going to  
19 be. I think we have to have a number of follow-up  
20 discussions with the County to go over this exact point  
21 to make sure that it's clear to everybody, what we're  
22 after.

23 MR. JORDAN: I don't think it's a number, I think  
24 it's just look at the piece of paper that you filed and  
25 make a determination. But, okay, thank you.

1 Thank you, Mr. Chair.

2 BOARD CHAIR: Thank you.

3 A couple of quick questions from me. The first one  
4 is the 60 days of migration of water. Is that a period  
5 that was determined by the Division of Water Quality  
6 within the State Water Board?

7 MR. GRESENS: That is in the regulation. I believe  
8 you'll probably hear more about that when the Title 22  
9 follow-up presentation is made.

10 BOARD CHAIR: Okay. Then the other question that I  
11 had was what's the 50-year annual rainfall average in  
12 Cambria? And then my other question was going to be  
13 what has it been in the last three years.

14 MR. GRESENS: The average rainfall, and I don't  
15 know, but the number that comes to my head is about 20  
16 inches in Cambria, and we had a little over 10 inches  
17 this last year.

18 BOARD CHAIR: Then my next question, perhaps, is an  
19 item that Mr. Harris could answer or ask staff. When  
20 the questions were made by some of my fellow Board  
21 members relating to the drift of the brine, isn't this  
22 outside of the purview of our regulatory framework?

23 MR. HARRIS: Let's hold that until the Title 27  
24 presentation.

25 BOARD CHAIR: Okay, you'll answer it at that time.

49

1 That way I won't have to remember.  
2 MR. HARRIS: Yes.  
3 MS. OKUN: I can just tell you that the Board's  
4 jurisdiction does allow you to regulate nuisances that  
5 are associated with the discharge of waste, so if the  
6 brine drift would cause a nuisance, then that's  
7 something the Board has authority to regulate.  
8 BOARD CHAIR: Okay, I appreciate that  
9 clarification, Counsel. Thank you.  
10 Then the new extraction under this emergency  
11 program, has it been reviewed if it could inadvertently  
12 exacerbate the seawater intrusion?  
13 MR. GRESENS: Would you repeat the question,  
14 please?  
15 BOARD CHAIR: Yes. With your new emergency  
16 extraction program with these wells SS-1, -2 and -3, the  
17 program that you have, as you're pumping now more water  
18 out of the aquifer, in your model you have done an  
19 evaluation to see if there was any unintended  
20 consequence of seawater intrusion. You know, water  
21 moves in different direction. I know you showed us,  
22 actually, some arrows, just like this one where you have  
23 a migration toward these wells. So have you had a study  
24 to assure that you did not exacerbate seawater  
25 intrusion?

50

1 MR. GRESENS: Well, our opinion is it's going to  
2 improve the situation as opposed to exacerbate it.  
3 We're doing that by injecting water into that well, plus  
4 we also have a design feature that puts 100 gallons a  
5 minute of water into the head of the lagoon, so that  
6 combination, we believe, is an improvement over the  
7 existing situation.  
8 BOARD CHAIR: So you stated it's an opinion, but I  
9 mean from an engineering and scientific standpoint, do  
10 you have any sentinel wells closer to the ocean to  
11 actually monitor seawater?  
12 MR. GRESENS: There is a well on the campground, by  
13 the bridge. It's the RR-3 well, I believe.  
14 BOARD CHAIR: Can you point me to where it is on  
15 that map?  
16 MR. GRESENS: There's a well on this far-right  
17 illustration that's right about here in the campground  
18 site. We've used that in some of our studies. We don't  
19 own that well, it's a USGS well that's on the campground  
20 site. We had to get special permission to access it,  
21 but that was part of our earlier study this last spring  
22 period.  
23 BOARD CHAIR: But as part of your -- I'll call it a  
24 protocol for lack of a better word -- using this  
25 emergency RO system, do you have a seawater intrusion

51

1 monitoring program using that well or other means to  
2 make sure that, you know, your assumptions are indeed  
3 correct?  
4 MR. GRESENS: We measure wells every two weeks as  
5 far as our levels go. I would say the closest well with  
6 our current operation has been near the campground  
7 pedestrian bridge and that -- I can point out where  
8 that's at. That's a well that's right about here, which  
9 is our 16D1 well. That's the closest well we monitor on  
10 a regular basis that would indicate any seawater  
11 intrusion at that point. We don't normally monitor the  
12 8R3 well because it's on the campground and it wasn't  
13 our well, but that has been tested as part of the work  
14 that went into the development of this project.  
15 We can certainly monitor whichever wells to make  
16 sure we're monitoring for the saltwater intrusion if the  
17 Regional Board thinks we need to expand what we're doing  
18 right now.  
19 BOARD CHAIR: Mr. Harris?  
20 MR. HARRIS: I wanted to make sure that the  
21 consultants mentioned they did some fairly sophisticated  
22 modeling of the San Simeon Aquifer. Did that take into  
23 account seawater, movement of seawater?  
24 MR. GRESENS: I'm going to let Mari Garza-Bird  
25 address this, because you're right, we did extensive

52

1 modeling.  
2 MS. GARZA-BIRD: These charts we showed you, this  
3 is a result of the modeling we did of the San Simeon  
4 Basin. And so currently, what happens in a normal  
5 year -- this is what is happening with the basin and you  
6 don't have saltwater intrusion and the percolation ponds  
7 are actually a benefit to help prevent that.  
8 If the emergency project were not to happen and the  
9 drought were to continue, you would start to see  
10 saltwater intrusion and the percolation ponds flow  
11 backwards towards the current potable water supply wells  
12 eventually. That's what the results of the  
13 hydrogeologic model showed. This chart here shows that  
14 with the emergency project, it protects that basin and  
15 provides a hydraulic gradient that keeps everything  
16 operating as it does in a normal year.  
17 BOARD CHAIR: So I guess lastly, not to dwell on  
18 this item, but, you know, there's sometimes a difference  
19 between a hydrological model and reality. So what my  
20 question is ultimately, do you have in your protocol, in  
21 your plan of operation a written specific mechanism to  
22 monitor seawater intrusion in some of these other wells  
23 that you have pointed out, the campground well and the  
24 well which is -- the other well closer to the ocean  
25 which I assume you have access to this data.

1 MS. GARZA-BIRD: If it's not currently, today,  
 2 written in the operations plan that we did have to  
 3 submit as part of the monitoring plan -- oh, I'm  
 4 informed it is in the plan, yes, it is in there.  
 5 BOARD CHAIR: All right. Thank you very much.  
 6 Mr. Delgado?  
 7 MR. DELGADO: I'm concerned about the issue that  
 8 you've been discussing. So in my crude analysis, not  
 9 being a hydrologist, you have a basin that currently  
 10 you're drawing from for your community needs. So all  
 11 the water that you're reinjecting was already water  
 12 that's in the system, it's not coming from outside, so  
 13 I'm most concerned about the 9P7 well, which is your  
 14 source well that you'll be extracting from, and that's  
 15 the closest well to the ocean, right?  
 16 MR. GRESENS: Out of the production wells, yes,  
 17 that's the closest.  
 18 MR. DELGADO: So my crude concern is that you're  
 19 drawing from your well that's closest to the ocean and,  
 20 as we've been discussing, you know, does that have any  
 21 cone of depression, does that have any impact? Because  
 22 you're increasing what you're pulling out of that well  
 23 during this emergency project as opposed to status quo,  
 24 is that correct?  
 25 MR. GRESENS: That's correct.

1 MR. DELGADO: I'm just concerned from a crude  
 2 perspective, does that have an impact on seawater  
 3 intrusion? And I've heard that your thoughts are that  
 4 it doesn't, and so my question is, do you have any  
 5 documentation? I mean, what engineering study do you  
 6 base that on?  
 7 MR. GRESENS: We do have our geo-hydrologist here  
 8 from CDM Smith who did write the report that was used  
 9 for the modeling of this system, so if we want to  
 10 entertain the thoughts of having one of our experts  
 11 address that question, we can.  
 12 MS. GARZA-BIRD: Yes, would you like to hear from  
 13 him?  
 14 BOARD CHAIR: Yes. Why don't we do that. That way  
 15 it will answer Mayor Delgado's question and it will  
 16 supplement the question that I had.  
 17 MR. YOUNG: My last question, the last one I had,  
 18 is involving this particular issue. Where is well 9P7  
 19 on this diagram?  
 20 MR. GRESENS: 9P7, in a cross section, would be  
 21 right about here.  
 22 MS. GARZA-BIRD: No, show him on the flat map.  
 23 MR. GRESENS: Right about here.  
 24 MS. OKUN: And for the record, you're pointing to  
 25 the line below percolation pond.

1 MR. GRESENS: Yes.  
 2 MR. HARRIS: So what this shows is it's not  
 3 atypical of -- it's almost a saltwater barrier system  
 4 that's commonly used, especially in Southern California,  
 5 where you inject -- in fact, they are currently -- the  
 6 Los Angeles Regional Board recently has permitted,  
 7 because they were using potable water and then the  
 8 drought came along and they recently permitted the use  
 9 of large amounts of recycled water, just like this, to  
 10 inject into saltwater barrier wells where they were  
 11 using potable water before, so this is kind of a similar  
 12 approach.  
 13 And, you know, when you run a system like this, you  
 14 will -- you know, the inputs and the outputs are the  
 15 same so the way the hydrology eventually will work with  
 16 no other inputs, it's going to reach a steady state  
 17 where everything sort of stabilizes. So I would assume  
 18 that the water going in will build a mound and the  
 19 extraction, what they pull out, will look just like  
 20 they've said, they are going to put a mound in, and that  
 21 the seawater intrusion will only, even if you do have  
 22 seawater intrusion, it's only going to come in to a  
 23 certain point and it should stabilize if everything else  
 24 is constant.  
 25 BOARD CHAIR: Thank you, Mr. Harris.

1 And you know I think because this item is really  
 2 foundational, I really would appreciate if perhaps we  
 3 could indulge of having your consultant give us just a  
 4 very brief explanation to supplement what has been  
 5 discussed before. Thank you very much.  
 6 MR. SMITH: Michael Smith, with CDM Smith, and was  
 7 responsible for the hydrologic evaluations at the site.  
 8 One of the key concepts of this is to, like you  
 9 were saying, look at the overall water balance in the  
 10 system. Under current operations, the wastewater,  
 11 treated wastewaters are percolated into the percolation  
 12 pond. That, then, largely flows out to the ocean as  
 13 subsurface inflow, subsurface outflow. The aquifer  
 14 extends out beyond the shoreline of the ocean right now.  
 15 When sea levels were lower, the aquifer extends down to  
 16 an elevation of approximately 120 feet below sea level  
 17 so we have a permeable aquifer that extends out at  
 18 depth.  
 19 Now, the monitoring that's been done out there, Bob  
 20 mentioned 8R3, which is the well that's located at the  
 21 bridge, highway bridge down by the campground. That  
 22 well monitors the zone right at the base of the alluvial  
 23 aquifer which is the basin aquifer that's being  
 24 produced. We have a TDS of approximately 5,000  
 25 milligrams per liter. For reference, the TDS in the

1 ocean is about 35,000 milligrams per liter.

2 The next set of monitoring wells that we have  
3 completed at the base by aquifer is a well nest that was  
4 put in by USGS in their studies in the late '80s, which  
5 is located along where the pedestrian bridge crosses  
6 over San Simeon Creek. The TDS at that location is  
7 approximately 1,300 milligrams per liter. As you move  
8 into the basin, then the TDS drops down. The TDS is  
9 typically about 450 milligrams per liter in the aquifer  
10 as you move back up towards the well field.

11 Now, during operations of the system under the  
12 emergency, we had as Bob indicated, a near balance when  
13 we consider all of the outflows and inflows into the  
14 system. For example, the percolation pond will continue  
15 to infiltrate approximately 350 gallons a minute, plus  
16 the approximately 55 gallons a minute of backwash water  
17 that is used to keep the micro-filtration system  
18 backwashed, so approximately 400 GPM is going back into  
19 the percolation ponds.

20 We're pumping a little over 600 GPM from well 9P7  
21 and of that, 400 GPM is going back up to injection at  
22 RIW-1, which is the new injection well that builds the  
23 mound that is shown here. That's really the primary  
24 protection for the alluvial well field, is to build that  
25 fresh water mound of low-TDS water, the highly treated

1 water, part of which will continue to flow  
2 down-gradient. Approximately 40 percent of that water  
3 will flow in the down-gradient direction and ultimately  
4 be recirculated at well 9P7. The 60 percent will flow  
5 in what is currently the up-gradient direction in  
6 response to building a mound at the injection well and  
7 developing drawdown at the pumping well so that we have  
8 a gradient going off both directions. It's similar to  
9 the earlier comment where this really serves as a fresh  
10 water barrier to the movement of saltwater in towards  
11 the well field.

12 BOARD CHAIR: Thank you.

13 MR. JOHNSTON: I'm trying to make sure I've got my  
14 numbers straight here. You're saying there's 400  
15 gallons a minute going into the percolation pond and  
16 percolating down.

17 MR. SMITH: Correct.

18 MR. JOHNSTON: And 600 gallons a minute getting  
19 pumped from the well under the percolation pond?

20 MR. SMITH: Correct.

21 MR. JOHNSTON: So I'm assuming -- and then you're  
22 creating a barrier up-gradient from the percolation  
23 pond?

24 MR. SMITH: That's correct, and there will be  
25 backflow of approximately 40 percent, or about 160

1 gallons, ultimately, will make it from that recharge  
2 well back down to 9P7.

3 MR. JOHNSTON: So, then, you're pulling 40 gallons  
4 in your model from down-gradient from the percolation  
5 pond?

6 MR. SMITH: Either down-gradient or as long as  
7 there are still basin inflows, because there is a fairly  
8 large alluvial basin that continues in the up-gradient  
9 area, and so long as there is water still flowing down,  
10 that would provide part of it. The rest of it, as you  
11 say, would come from backflow in that down-gradient way,  
12 and that's one of the things we were modeling.

13 Now, in addition, the 100 gallons a minute of  
14 mitigation water that goes to the lagoon, a large part  
15 of that will percolate into the aquifer and so you can  
16 kind of think of it, we're also building a secondary  
17 barrier in the process of maintaining water levels in  
18 the lagoon. Because we are maintaining those water  
19 levels, you'll have seepage of that fresh water, you  
20 know, this that's being pumped and goes through the  
21 micro-filtration into that lower portion of the aquifer  
22 that will help maintain that.

23 Now, there's another factor that plays into this  
24 protectedness from seawater intrusion. The aquifer  
25 materials that are present in that lower part of the

1 basin, based on the boring logs that we have out there,  
2 shows that in the area seaward of where Van Gordon Creek  
3 comes into the system, which is basically coming down  
4 here, as you move towards the west from that drainage,  
5 the upper portion of the aquifer has much more  
6 fine-grain material which drops the permeability of that  
7 material. So you can think of it not only do we have a  
8 hydraulic barriers, but we also have a contrast in  
9 hydraulic characteristics that limit that flow inward.

10 MR. JOHNSTON: But wouldn't the upper portion of  
11 the aquifer, having that fine-grain material, also limit  
12 the ability of the water to percolate down from the  
13 lagoon, that 100 gallons a minute you're putting into  
14 the lagoon that you're counting as part of what is  
15 blocking -- is recharging, so you're not sucking  
16 seawater up?

17 MR. SMITH: Right. There are limitations, but in  
18 addition to the lower permeability, and this is one of  
19 the reasons that we used it as a design to come up with  
20 that 100 gallons a minute is we have an organic layer  
21 that's developed within the lagoon. It's kind of a very  
22 quiet environment, we have had a lot of organic material  
23 and fines that have been deposited in the lagoon, and  
24 some of the detailed monitoring that we did earlier this  
25 spring, we were able to quantify those leakage

61

1 quantities. But in answer to your question, yes, that  
2 will limit the amount of water that infiltrates and  
3 that's why the 100 GPM is sufficient to maintain that.  
4 But also, even if a low permeability, you know,  
5 it's spread out over a fairly large area and so you can  
6 have that amount of leakage. Because of the density  
7 contrast between seawater and fresh water, we tend to  
8 develop the seawater as kind of a wedge that comes in  
9 with fresh water floating on top of it. You can kind of  
10 think of it that way because of the lower density of the  
11 fresh water in the system.  
12 Now, the other thing that we know is because of the  
13 monitoring that we've done out there at our 8R3, we know  
14 that we are well below the concentrations in seawater,  
15 and that's because we had a net discharge currently  
16 going out of subsurface flow which has tended to keep  
17 that saltwater wedge further offshore and we're just  
18 seeing the beginnings of it right at the shoreline.  
19 MR. JOHNSTON: Thank you.  
20 BOARD CHAIR: If we don't have any further  
21 questions, I'd like to thank you very much for your  
22 clarification. I think it was helpful to all of us.  
23 And I would like to have a 15-minute break which  
24 will give us time for staff to prepare for their  
25 presentations. So thank you very much.

62

1 (A short recess was taken)  
2 BOARD CHAIR: Folks, please take a seat.  
3 So we will reconvene after our recess, and  
4 Mr. Harris, if you could introduce the staff  
5 presentations.  
6 MR. HARRIS: The next one we're going to have is  
7 from the Division of Drinking Water, Mr. Kurt Souza.  
8 MR. SOUZA: Hello, my name is Kurt Souza. I'm the  
9 acting Southern California branch chief of the Division  
10 of Drinking Water. To my right is Jeff Densmore. He's  
11 the district engineer for the Santa Barbara District,  
12 which Cambria is located in.  
13 The Division of Drinking Water's main  
14 responsibilities are to regulate public water systems.  
15 We hold the water supply permit for all of water systems  
16 in California. We also set standards for wastewater  
17 reuse to protect public health, so our charge is the  
18 protection of public health in recycled water projects.  
19 The regulations are located in Title 22 of the  
20 California Code of Regulations.  
21 Since this project is using a well near the  
22 percolation pond, a portion of the water that will be  
23 drawn from the pond will be -- I'm sorry, drawn from the  
24 extraction well will be recycled water and needs to  
25 comply with our Title 22 groundwater recharge

63

1 regulations. Our groundwater recharge regulations were  
2 adopted in June 2014.  
3 The Regional Board, obviously, has the permitting  
4 authority and the ongoing oversight. The Division  
5 reviews and comments on the project and we provide  
6 requirements to be incorporated into the permit based on  
7 the Title 22 engineering report that was submitted by  
8 the District and also our adopted regulations. We've  
9 been meeting weekly for the past, I think, five or six  
10 weeks with the Board going over different areas of this  
11 project.  
12 The main principles of our groundwater recharge  
13 regulations is to replenish a groundwater basin that  
14 uses drinking water with highly treated recycled water.  
15 Our regulations are based upon a load-tolerable risk of  
16 one in 10,000. That's the same risk that is done in our  
17 surface water treatment rule and a lot of our MCOs. The  
18 water that is injected and then eventually extracted,  
19 passing all drinking water standards. There's also an  
20 unregulated chemical control feature of our regulations,  
21 and they have to include a multi-barrier treatment which  
22 includes -- it has to include, for injection, reverse  
23 osmosis and advanced oxidation, which in this case is  
24 UV-hydrogen peroxide. The multi-barriers -- each of the  
25 multi-barriers are added up to gain the full pathogen

64

1 reduction.  
2 The pathogen control's intent is to ensure that  
3 pathogens will not exceed a tolerable risk level which  
4 is 10-4 annual dose. The reduction required from raw  
5 sewage to usable groundwater is 12-log reduction of  
6 virus and 10-log Giardia and Cryptosporidium. That's  
7 the main standard in our regulation.  
8 Another part of the regulation is called the  
9 response and retention time. The intent is that  
10 inadequately treated recycled water does not enter the  
11 potable water system, so if there's some kind of  
12 treatment plant upset or some kind of sewer-shed upset  
13 where somebody dumps something in the sewer that is  
14 unintended, that it can be captured and something can be  
15 done about it. Over the years we have evaluated proper  
16 retention time and determined that a minimum of two  
17 months is required. So between the recharge and  
18 extraction of the water, you must have a minimum of two  
19 months, and that's to identify any treatment failures,  
20 to respond, to provide alternative sources if necessary  
21 or treatment at the wellhead, if necessary.  
22 Also in the retention time, the retention time is  
23 also a natural barrier. There is a one-log of virus  
24 reduction, or die-off, in the ground each month that the  
25 water stays in the ground. The verified retention time

65

1 has to be done with a tracer study. Since this  
2 retention time under the ground was fairly close, the  
3 injection and extraction wells are fairly close and  
4 we're in a drought, the water is moving very quickly.  
5 We asked Cambria to do the tracer study prior to the  
6 plant being turned on. It is not required in our reg to  
7 be done prior. It's actually required to be done within  
8 90 days after the plant has started, but in this case we  
9 asked them to do it before, which they did, they  
10 completed it at the end of September 2014. The  
11 worst-case operation condition was 58 days, as was shown  
12 by the District earlier.

13 What Cambria has done, their consultants have  
14 recalibrated the model that they used to the data they  
15 obtained during the tracer study evaluation, re-ran the  
16 model for three different conditions and determined the  
17 operating condition that can ensure the two months of  
18 retention. We evaluated the tracer study and we  
19 actually submitted a letter November 12th concerning  
20 that.

21 The Drinking Water -- the Division of Drinking  
22 Water also appreciates assistance of the groundwater  
23 monitoring assessment section of the State Board. We  
24 ask them, their geologist to help us with the evaluation  
25 of the tracer study and our recommendations, and they

66

1 concurred with us.

2 The new operating conditions within our letter is a  
3 maximum of 400 gallons per minute injected and a maximum  
4 of 400 gallons per minute extracted. Under current  
5 conditions, using one well or the other well, well 2 or  
6 well 1, neither one can pump 400 gallons a minute right  
7 now, but the model did show that they could meet at the  
8 maximum, so that's what we put in our letter. We are  
9 also requiring an additional tracer study after the  
10 plant goes online within 90 days of the first injection  
11 of water to start the tracer, as required by our rule.

12 Another key element of the project is what we call  
13 the operation maintenance and monitoring plan. It  
14 includes specific operation and monitoring of the  
15 facility within the permit. In the Board permit, it  
16 requires the utility to operate the facility based upon  
17 the operation maintenance and monitoring plan. It will  
18 limit the amount of water injected and extracted within  
19 the plan. It will require monthly and quarterly  
20 reporting, and it includes start-up procedures and  
21 start-up sampling, and the division of Division of  
22 Drinking Water Regional Board received the initial plan  
23 October 30th. We both sent comments, and a revised plan  
24 was sent to us last night, which we will continue to  
25 review.

67

1 In conclusion, the Division of Drinking Water, we  
2 provided a letter to the Regional Board September 9,  
3 2014 based upon the information in the Title 22  
4 engineering report that was submitted to us. We  
5 provided recommendations within the letter to the  
6 Regional Board which are contained in the permit. The  
7 tracer study letter was completed in November 12. We're  
8 continuing to review and comment on the OMMP and the  
9 division of Division of Drinking Water supports the  
10 approval of the permit.

11 That's all I have. Thank you.

12 BOARD CHAIR: Thank you. Before we take questions  
13 from my colleagues, I want to reiterate our welcome as  
14 being a new family member of the State Water Board, the  
15 Drinking Water Division. I think it's great now to be  
16 able to have -- for example, this is a very good case  
17 where you can come and help us more directly deal with  
18 these issues, so thank you for being here today.

19 On my left --

20 MR. YOUNG: No questions.

21 BOARD CHAIR: On my right? No questions.

22 So we thank you very much. There was a few words  
23 in there I have no idea what they are. They are about  
24 12 letters long. I'm just being facetious.

25 I think Mayor Delgado has a question.

68

1 MR. DELGADO: Yes. The operations maintenance and  
2 monitoring plan, is that the right place or the wrong  
3 place to include seawater intrusion monitoring?

4 MR. SOUZA: This would be my opinion. It would be  
5 a correct place to put it, mainly because the reason we  
6 put a lot of stuff in the operation maintenance and  
7 monitoring plan is that it's a plan that's approved by  
8 the Board and division kind of co- -- and it can be  
9 changed as needed. So for instance, if we asked for  
10 quarterly monitoring and it's put in the plan and  
11 something starts to happen, the Board can just send them  
12 a letter and ask for monthly monitoring. We do that  
13 with our water systems all the time. That's how we  
14 regulate the operation of treatment facilities.

15 A lot of the big operations and non-MCO-type  
16 monitoring that we do is located in the operation  
17 maintenance plan so, via letter, we can change it in one  
18 day, and that's why we use that plan, and that's why  
19 we've put that type of plan in our requirements of the  
20 Title 22 engineering report.

21 MR. DELGADO: Thank you.

22 BOARD CHAIR: Thank you.

23 Mr. Jeffries?

24 MR. JEFFRIES: You support and approve the permit.  
25 Did your agency have any reservations at all?

69

1 MR. SOUZA: Not from a health perspective, no.  
 2 It's a very conservative construction.  
 3 MR. JEFFRIES: All right.  
 4 BOARD CHAIR: All right, thank you very much. We  
 5 thank you for being here today.  
 6 Mr. Harris, if you could introduce --  
 7 MR. HARRIS: The next presentation, Howard Kolb is  
 8 going to continue the discussion related to the Title 22  
 9 permit and also the other permit that is covered under  
 10 Item 20.  
 11 MR. KOLB: Good morning, Chairman Wolff, members of  
 12 the Board. My name is Howard Kolb. I'm one of the  
 13 staff engineers working on the CCSD emergency water  
 14 supply project.  
 15 You have been introduced to the overall project and  
 16 you have heard some specifics regarding the proposed  
 17 system. Today I would like to present two separate  
 18 orders for your consideration. The first order  
 19 regulates injection of treated water into the San Simeon  
 20 Creek alluvial aquifer. The second proposed order  
 21 regulates the discharge of membrane filter backwash to  
 22 the existing percolation pond.  
 23 This graphic shows the location of the recycled  
 24 water injection spot, so up there at the top, right  
 25 here, injection of recycled water.

70

1 As you've heard, the CCSD plans to pump  
 2 groundwater. Well 9P7 is located in this clump of  
 3 trees. You can see the percolation ponds around the  
 4 clump of trees. There's a berm that protects the wells,  
 5 and then this is the water treatment plant. You can see  
 6 that it is a package plant. It came pre-constructed.  
 7 Treated groundwater, approximately 600,000 to  
 8 700,000 gallons will be injected up at this well. The  
 9 first order allows injection of the treated water and  
 10 places conditions on the injection of that treated  
 11 water.  
 12 The second order, if you see this small little  
 13 purple line coming out, and here you can see the big  
 14 purple line I drew so you could see what area it is,  
 15 that is the membrane filter backwash that will be  
 16 discharged to the percolation ponds. The second order  
 17 puts appropriate requirements on this discharge. As  
 18 part of the treatment process water is passed through  
 19 membrane filters. The first set of filters are cleaned  
 20 with well water from the same 9P7 and this well water,  
 21 plus some suspended solids, is referred to as backwash,  
 22 and that's what is returned to that pond.  
 23 The backwash should be of similar quality as the  
 24 source water with a slight increase in suspended solids.  
 25 I put this one up here because this is the tail end of

71

1 the plant that you saw on the previous graphic. Here's  
 2 where they're planning to put the water. This location  
 3 right there, the bright green, that is the active  
 4 percolation pond for the Community Services District's  
 5 wastewater, and then this tree-lined area, that is the  
 6 riparian corridor of San Simeon Creek.  
 7 The orders were posted for public review September  
 8 19th, and some issues were raised. One was the  
 9 permitting for this project should be conducted only  
 10 with the full benefit of environmental review. As  
 11 you've heard, this project is exempt from environmental  
 12 review because of the Governor's proclamation. The  
 13 proclamation included directives that suspended  
 14 environmental review. That said, the order does include  
 15 monitoring of surface water, groundwater, and San Simeon  
 16 Creek lagoon to prevent potential water quality impacts  
 17 and impacts to beneficial uses.  
 18 Another issue was what are the effects of injecting  
 19 chemically treated water into this sensitive location.  
 20 Some parameters like nitrate, sodium and chloride, will  
 21 be minimally degraded or will minimally degrade  
 22 groundwaters, and others, like total dissolved solids  
 23 and sulfate, are of higher quality than the existing  
 24 groundwater. However, the groundwater will continue to  
 25 meet water quality standards.

72

1 The order does contain anti-degradation findings  
 2 that based on the available information and monitoring  
 3 data, any change in the existing high quality of  
 4 groundwater basin as a result of the groundwater  
 5 recharge allowed by this order will be consistent with  
 6 the maximum benefit to the people of this state. It  
 7 will not unreasonably affect beneficial uses and will  
 8 not cause the exceedance of applicable water quality  
 9 standards for the basin.  
 10 A number of commenters also expressed concern  
 11 regarding surface water quality and impacts to the creek  
 12 associated with the project. As you've already heard,  
 13 there is a proposed discharge to the creek. That's over  
 14 there, this line coming down to maintain creek water  
 15 levels. The water proposed for discharge to the creek  
 16 will be of better quality than what is currently in the  
 17 creek. It will have lower nitrate, lower sodium and  
 18 lower chloride and lower TDS, total dissolved solids.  
 19 The advanced water treatment plant will actually  
 20 have the potential to reduce loads in the lower  
 21 watershed through pumping, running it through the  
 22 reverse osmosis and then sending those salts and  
 23 nitrates to the surface impoundment.  
 24 Outside of these orders, the Community Services  
 25 District, in response to Water Board enforcement, is

73

1 developing an enhanced compliance action project aimed  
2 at reducing nitrate in the wastewater effluent so they  
3 are currently preparing a plan to introduce nitrogen  
4 treatment at their wastewater treatment plant which will  
5 lower nitrogen and effluent prior to discharge in the  
6 percolation pond.  
7 San Simeon Creek, we are also developing a TMDL to  
8 address listings for nitrate, sodium and dissolved  
9 oxygen. The TMDL will clearly describe water quality  
10 issues, sources of nitrates, sodium and chloride and  
11 actions necessary to protect water quality and  
12 associated beneficial uses. That TMDL should be before  
13 the Board next spring.  
14 There are a few outstanding issues. You've already  
15 heard about the OMMP. These two items, the treatment  
16 start-up plan and the lagoon mitigation plan, are  
17 contained within that OMMP. We did receive a copy of  
18 that OMMP October 30th. We did comment on that. The  
19 revised OMMP was delivered at 10:00 o'clock last night  
20 and I apologize, I haven't had time to review it yet.  
21 This slide may be a little bit old because I  
22 understand there's some additional contributions, but we  
23 do have two supplemental sheets to the order. One is an  
24 update of Table 3. It's just a more complete table that  
25 should have been in the order to begin with, we have

74

1 supplemental sheet 2, which is updated CEQA findings,  
2 and then there's a typo in item 4 -- or finding 46 that  
3 should be "19" instead of "9," just so we're consistent  
4 through that paragraph.  
5 Staff's recommendation is that adopt the two orders  
6 as proposed.  
7 Any questions?  
8 BOARD CHAIR: I'll start on my right this time.  
9 Mr. Johnston or Mr. Jordan?  
10 MR. JORDAN: I just want to get a sense of where  
11 staff was on that phrase that I'm going to paraphrase  
12 badly, but it was something like "consistent with the  
13 maximum benefit to the people of the state of  
14 California." In the kind of sliding scale on there's a  
15 drought condition, if you took the same project and just  
16 took the equivalent of the drought out of it, if it was  
17 the same project, just came to you as a project to  
18 develop more drinking water, offer a buffer against  
19 seawater intrusion and you didn't have the environmental  
20 review exemptions to deal with the drought proclamation,  
21 would staff's recommendation still fall clearly within  
22 that phrase of "consistent with the maximum benefit to  
23 the people of the state of California"? Let me tell you  
24 why I'm asking this question. There are several  
25 responses to comments and there will be known

75

1 degradation to the groundwater, but not to the level  
2 that it will go past and into -- that it won't degrade  
3 the water quality past acceptable levels because,  
4 obviously, the water is better than acceptable levels,  
5 but it will degrade it.  
6 So if a new project came to you to develop  
7 additional drinking water and it was going to offer  
8 known degradation impacts to the groundwater but would  
9 not push those below allowable levels, would staff still  
10 support the project?  
11 MR. KOLB: That's a complex question.  
12 MR. JORDAN: It's already a complex finding you're  
13 willing to make, so --  
14 MR. KOLB: If you look at it in a vacuum, yes, I  
15 would still make the same recommendation because we're  
16 being protective of the beneficial uses, we're being  
17 protective of water quality, we're meeting water quality  
18 objectives, and the way the project has been currently  
19 proposed it's for drought conditions. In a report I  
20 read, it's estimated that they are going to run it eight  
21 to 10 out of the next 20 years, so the intent or at  
22 least the way we've been interpreting it up to this  
23 point is that it would not be running 24/7, as I think  
24 there was a question. So under those conditions, yes, I  
25 would still recommend.

76

1 MR. JORDAN: Okay, thank you.  
2 Thank you, Mr. Chair.  
3 BOARD CHAIR: Mr. Johnston?  
4 MR. JOHNSTON: So I want to address myself briefly  
5 to the discharge of the membrane filtrate to the creek  
6 to maintain lagoon levels. Now, as I understand it, I  
7 think I've got this right, the -- there's some  
8 contaminants of emerging concern, pharmaceuticals and  
9 such, that are taken out or don't make it through the  
10 membrane filtration and are taken out in the RO filter,  
11 is that correct?  
12 MR. KOLB: That is my understanding, yes.  
13 MR. JOHNSTON: So do we have any concern with  
14 essentially what you're doing is you're taking the water  
15 pumped out of the well under the percolation ponds,  
16 you're filtering it through the membrane filter to  
17 remove, actually, lots of stuff, including developed  
18 solids but not the additional salts that have to do with  
19 it being somewhat brackish water and with part of the  
20 source being the effluent and some of those contaminants  
21 that are of emerging concern that have to do with a lot  
22 of the source water being the percolated effluent and  
23 putting it in the lagoon, is that a concern?  
24 MR. KOLB: It is a concern, but let me clarify that  
25 the order before you today does not authorize that

1 discharge. That discharge will be handled under  
2 separate NPDS permit and they are in the process of  
3 completing that application.

4 MR. JOHNSTON: Wait a minute. I thought the order  
5 before us today authorized the discharge of the water  
6 that passed through the memo filter, not the backwash,  
7 but the filtrate.

8 MR. KOLB: Yeah, the membrane filtrate to the creek  
9 is not covered under this order, that is covered under a  
10 separate NPDS, and that is not before you today.

11 MR. JOHNSTON: Aren't they going to have to have  
12 that to operate the plant?

13 MR. KOLB: You're talking about this discharge  
14 right here, the one that goes to the creek?

15 MR. JOHNSTON: Correct.

16 MR. KOLB: They do not have to operate that in  
17 order to operate the plant.

18 MR. JOHNSTON: Okay, because there's been much  
19 discussion in the materials that we have before us about  
20 how they are going to avoid impact to the lagoon by  
21 operating that. So that's not part of any of the  
22 permits we're looking at?

23 MR. KOLB: Not today. They are still in the  
24 process of complying with -- they submitted an  
25 application, Sheila Soderberg, of our staff, responded

1 to the application and they are preparing some  
2 additional information.

3 MR. HARRIS: If I can comment, remember, this is an  
4 emergency situation based on drought. We're not doing  
5 business as normal. These permits have been developed  
6 at the same time they've been doing design and build.  
7 As Mr. Kolb said, they can operate the facility without  
8 that discharge, and to address the critical water  
9 shortage we are on board in terms of allowing that to  
10 occur while they finish -- everybody has had more to do  
11 than they could possibly do at this point and our  
12 concern was getting the plant up and running and getting  
13 the community water supply stabilized, so this is an  
14 emergency measure and I'll let Sheila continue, but  
15 we'll address that. You know, that will be one of our  
16 next steps.

17 MR. KOLB: And before Sheila gives you some  
18 information, the permits before you today are to  
19 regulate the backwash to the percolation pond and the  
20 injection of highly treated water into the alluvial  
21 aquifer.

22 This discharge to the creek will be handled under  
23 separate NPDS permit and the discharge to the surface  
24 impoundment is handled under a separate permit.

25 MR. JOHNSTON: That one is before us today.

1 MR. KOLB: Yes, sir.

2 MS. SODERBERG: My name is Sheila Soderberg. I'm  
3 the NPDS manager, and back on September 17, the District  
4 submitted an application to obtain coverage under a  
5 low-threat general permit that the Board originally  
6 adopted back in 2011. Staff reviewed their application  
7 and we actually sent a response letter back to the  
8 District on October 3rd. There's about seven to eight  
9 items that are not included as part of the application  
10 that needed to be clarified, supply us with some  
11 additional information, so we are waiting for that new  
12 material to be submitted.

13 Our initial review, and you might note that this is  
14 all based on modeled data, the initial review of the  
15 data that's modeled will meet the conditions of the  
16 low-threat permit. However, we, as part of the  
17 low-threat permit enrollment, we typically modify the  
18 monitoring and reporting program that's part of the  
19 general permit and we tailor it specifically to the type  
20 of discharge that it pertains to. For example, a water  
21 system discharge would have different monitoring than,  
22 say, a cooling tower-type discharge. So we would then  
23 tailor the monitoring and reporting program to meet the  
24 conditions of this particular project.

25 As part of that, because these discharges, there's

1 a start-up time frame, there's start-up monitoring that  
2 can be daily, some measurements as frequently as daily,  
3 some measurements are weekly, and then monthly, and then  
4 after they've established, basically, a record, if you  
5 will, that demonstrates that the actual water quality  
6 will meet the conditions of the low-threat permit, the  
7 monitoring reduction -- monitoring frequency is then  
8 reduced. So that is a component.

9 Like I say, at this point we're waiting for that  
10 information to come back to us to be able to finalize  
11 our review for that particular permit. Also, because  
12 the Board had adopted that permit back in 2011, it gives  
13 the executive officer the ability to review and approve  
14 that discharge. Of course, that's mainly based -- the  
15 discharge has to meet the conditions of the low-threat  
16 permit.

17 MR. JOHNSTON: So it doesn't necessarily come back  
18 before us, since it's a low-threat permit.

19 Talk to me about contaminants of emergency concern  
20 since this is, at least in part, composed of percolated  
21 treated effluent.

22 MS. SODERBERG: Yes, and actually part of the  
23 permit right now, a priority pollutant list is part of  
24 the required monitoring that the District will have to  
25 submit the lab results, that in terms of emergency

1 contaminants, I believe -- and this goes back to my time  
2 before I was dealing with the wastewater world -- that  
3 all the wastewater treatment plants at some point in  
4 time will be required to monitor for emerging  
5 contaminants.

6 Harvey Packard is here and he might remember  
7 exactly when, but I seem to recall that was done in,  
8 maybe, 2009, somewhere around the time NTB came about.  
9 You might have heard about that with some of the gas  
10 station issues about that time frame, that concern about  
11 emerging contaminants came out and I know all wastewater  
12 treatment plants were required to analyze for those  
13 constituents that were known at that time.

14 So we actually could go back to look at that data  
15 and see if we can find that in our records, but  
16 primarily that would be whatever that would be -- would  
17 have passed from the wastewater treatment plant that  
18 would be in the percolation ponds. That does not  
19 necessarily reflect what would be coming out of that  
20 extracted well because that extraction well is actually,  
21 even though it's in the center of the ponds, it's going  
22 to be commingling of the percolated pond water that is  
23 infiltrated as well as the native groundwater that is in  
24 the aquifer system. So if anything, it would actually  
25 be less than what you would expect, or lower

1 concentrations than what you would actually expect to  
2 find in the actual wastewater.

3 MR. JOHNSTON: I'm sure it would be, although the  
4 the difference, I suppose, is the wastewater is being  
5 percolated into an aquifer going into the ocean, and  
6 this membrane filtrate is being pumped in to the lagoon.

7 MR. HARRIS: I think we need to correct something.  
8 It's not the membrane filtrate -- it is the post-filter  
9 water, it's not --

10 MS. SODERBERG: It's the post-filter water.

11 MR. HARRIS: One of the things we had talked about  
12 doing is, depending on what that actually produces, if  
13 there was a concern with the particular concentration,  
14 they can add back water post-RO treatment into it to  
15 dilute the concentration so that they are acceptable.  
16 That is an option.

17 MR. JOHNSTON: My main concern is our -- and I  
18 understand it's not necessarily coming back before the  
19 Board because it's a low-threat MPDS permit and we've  
20 delegated authority on that to the executive officer.  
21 My question is, is that discharge going to be monitored  
22 for those contaminants of emerging concern?

23 MS. SODERBERG: Typically it's not standard but if  
24 the Board does desire that as a condition of the --  
25 MR. HARRIS: There is initial monitoring. She said

1 this is -- I thought we were going to ask for initial  
2 monitoring to confirm the model results.

3 MS. SODERBERG: Yes, we're asking for initial  
4 monitoring before they even discharge.

5 MR. PACKARD: Right. This is Harvey Packard. The  
6 conundrum we have is there are no water quality  
7 objectives or standards for many of these chemicals so  
8 we have no legal authority or basis for some of them to  
9 have effluent limitations. The low-threat permit  
10 requires that the discharge meet all water quality  
11 standards. Some of these chemicals aren't in the  
12 standards.

13 MR. HARRIS: He's correct. A couple years ago,  
14 perhaps longer than that, four years, the State Board  
15 convened a blue-ribbon expert panel to look at  
16 contaminants of emerging concern, and there were only  
17 like three that they proposed. One was caffeine, and I  
18 don't recall the others, but the others -- one was the  
19 antibacterial agent that you find in handwashing, but  
20 there was not an extensive list. That's still an area  
21 of ongoing research and debate.

22 MR. JOHNSTON: I thought caffeine was a nutrient.

23 MS. SODERBERG: Depends on your perspective.

24 BOARD CHAIR: Did you have any exceedance of  
25 caffeine this morning, Mr. Johnston?

1 Dr. Hunter? Mr. Jeffries?

2 MR. JEFFRIES: Thank you, Mr. Chairman. I do have  
3 one question. I think I know the answer.

4 Anywhere in your orders, Howard, do you address any  
5 kind of monitoring well for seawater intrusion?

6 MR. KOLB: There's not a specific well that says  
7 monitor to this for seawater intrusion, but well 16D1,  
8 which is located right down here (indicating), well 9P7,  
9 which is right here (indicating), their reinjection and  
10 their water supply wells, we have been monitoring them  
11 all for total dissolved solids, so we'll be able to see.

12 And then the treatment plant, the advanced  
13 treatment plant which is right here, will be monitoring  
14 continuously for conductivity as well as doing TDS  
15 analysis on a weekly basis, and the modeling actually  
16 showed that TDS will go from about 400 or 500 up to 750  
17 during the first year of operation, so there will be  
18 some increase in TDS, and we are trying to keep an eye  
19 on them.

20 MR. JEFFRIES: I realize this is an emergency order  
21 and this is not normally the way we operate. It's  
22 basically we're putting the cart before the horse, but I  
23 think my job is to make sure that these folks in Cambria  
24 have drinking water. I think my job is to make sure  
25 that they have good quality water to drink and not to

85

1 run out. And since it's an emergency order, I can see  
2 why we're doing some things that we do, because normally  
3 we would have all these environmental documents and so  
4 forth beforehand that would spell out all these things  
5 that we're asking for that we normally see.  
6 So I'm a little concerned that we don't resolve one  
7 issue and then create another one, like having seawater  
8 intrusion, but I did hear that there's an equalization  
9 because they are only extracting the same amount that  
10 they are taking out, so it should be some balance that  
11 shouldn't cause any seawater intrusion to come in. Is  
12 that a correct analysis?  
13 MR. KOLB: I don't want to paraphrase for Mike  
14 Smith, but I'll do my best.  
15 It appears that there's going to be a net loss of  
16 about 100,000 gallons a day, but the mound created by  
17 the recharge well will prevent saltwater intrusion  
18 happening up to those wells, and then the introduction  
19 of 144,000 gallons a day into the lagoon should create  
20 sort of a secondary barrier, slowing saltwater intrusion  
21 back in, but again we are monitoring the wells, and the  
22 proposal was for a million gallons a day to be pumped.  
23 With the new tracer study and information, I believe  
24 they are proposing about 820,000 gallons to start, so it  
25 will be 82 percent of what they originally proposed.

86

1 MR. JEFFRIES: Thank you.  
2 BOARD CHAIR: Mayor Delgado?  
3 MR. DELGADO: Yes, thank you, Howard, great  
4 presentation.  
5 I don't really have any concerns about seawater  
6 intrusion given that the salts are low now and they're  
7 going to be monitored and they are expected to stay low  
8 and if there was a spike, that would be caught. So I'm  
9 good with that.  
10 And just thinking about fish, is San Simeon Creek a  
11 perennial creek?  
12 MR. KOLB: No, but the lagoon is perennial.  
13 MR. DELGADO: So today if I were to go to the creek  
14 upstream from the lagoon there would not be surface  
15 flow?  
16 MR. KOLB: Not flow. You might see some ponded  
17 water because we just had some rains, but it's dry from  
18 essentially from right about here up.  
19 MR. DELGADO: Okay. Below that point today it's  
20 surface water?  
21 MR. KOLB: Surface water starts somewhere right  
22 around, curiously, below the infiltration percolation  
23 pumps.  
24 MR. DELGADO: Are there fish in that stretch?  
25 MR. KOLB: Yes.

87

1 MR. DELGADO: Would there be any impact positive or  
2 negative to the aquatic life, given this project?  
3 MR. KOLB: There's always the potential. As part  
4 of the OMMP, we've asked for a lagoon mitigation and  
5 monitoring plan, and that will include monitoring water  
6 level in the creek as well as monitoring water quality  
7 that's discharged to the creek, and they will be down  
8 there checking it weekly, kind of that's the plan at the  
9 moment. I haven't seen the exact proposal because it  
10 came in at 10:00 o'clock last night, but our intent is  
11 to make sure they keep a tight watch on the lagoon  
12 because in addition steelhead there's tidewater growth,  
13 the red-legged frog, southwestern pond turtle.  
14 MR. DELGADO: So is your overall sense that there  
15 would be neutral, a beneficial or a negative impact on  
16 the aquatic life?  
17 MR. KOLB: I think it will be neutral at this  
18 point. It depends on how long they pump and how many  
19 seasons of drought we go through.  
20 MR. DELGADO: Same questions for the lagoon.  
21 MR. KOLB: Yeah.  
22 MR. DELGADO: And the answer would be neutral, is  
23 your best sense?  
24 MR. KOLB: Yes.  
25 MR. DELGADO: Thank you.

88

1 BOARD CHAIR: Mr. Young?  
2 MR. YOUNG: Thank you, Mr. Chair.  
3 So what happens if we're in year 3 of a 10-year  
4 drought to the operation of this facility? I mean I  
5 heard that it can be run for two six-month cycles and  
6 then it takes about a year --  
7 MR. HARRIS: I can comment on that. The facility  
8 doesn't make water, it just recycles water. They have  
9 to have inputs of fresh water into the system somehow  
10 because I believe what they are getting out of this,  
11 because it's not a de-sal plant, they're getting a  
12 pretty high return for their investment, so, out of 100  
13 gallons, we recover 92 or something like that. But  
14 that's eight gallons that is lost to the surface  
15 impoundment, and so that process continues. Plus, when  
16 you use water, all of us breathe out vapor and there's a  
17 loss to the system, so the overall net amount of water  
18 will continue to decrease without some sort of input  
19 like the recent rains added a little bit of water. So  
20 you've got to have some inputs of water into the system.  
21 MR. YOUNG: Then I guess my question is, based on  
22 the last three years of rainfall that we've had, will  
23 this plant be able to take care of our water needs, if  
24 we continue with the last three levels of rainfall?  
25 MR. HARRIS: I think we probably should defer that

89

1 to the District and their consultant. I don't know if  
 2 Howard can answer that or not. I can't.

3 MR. YOUNG: Do rainfall levels have to come up to  
 4 some level so they get more input into their system?

5 MR. HARRIS: Again, I can't answer the specifics of  
 6 that. Would you like the District to come up and see if  
 7 the District can answer that question, or Howard?

8 Howard, can you answer that?

9 MR. KOLB: Would you like me to speculate?

10 MR. HARRIS: No. I think the consultant is going  
 11 to come up.

12 MR. KOLB: The one thing I can tell you that's  
 13 already been stated, the surface impoundment is full  
 14 after about two years under the current design strategy  
 15 and operation strategy. So the surface impoundment  
 16 would be an impediment to continued operation of the  
 17 plant. I think we need a meteorologist, John Lindsay,  
 18 should answer that question, what's going to happen in  
 19 the next three or four years.

20 MR. YOUNG: We have predictions from the USGS, 80  
 21 percent chance of a 10-year drought.

22 BOARD CHAIR: But NOAA projects -- well, I guess I  
 23 shouldn't get into it.

24 MS. GARZA-BIRD: If we got same amount of rainfall  
 25 that we've had in the last three years, so continue that

90

1 same drought, this facility would sustain the community  
 2 for water, yes, to answer your question.

3 MR. YOUNG: Indefinitely?

4 MS. GARZA-BIRD: Yes.

5 MR. YOUNG: You could survive with the last three  
 6 years of average rainfall going indefinitely into the  
 7 future?

8 MS. GARZA-BIRD: Yes.

9 MS. OKUN: And what about without the facility?

10 MS. GARZA-BIRD: Without the facility, if the  
 11 drought continued, the District right now has less than  
 12 a six-month inventory of water supply.

13 MR. YOUNG: Howard, I heard something about there  
 14 will be some degradation of groundwater. Is that from  
 15 the injection?

16 MR. KOLB: Yes.

17 MR. YOUNG: But it's, obviously, highly treated  
 18 water.

19 MR. KOLB: Yes.

20 MR. YOUNG: So as to those components that are  
 21 going to cause a degradation of groundwater, do our  
 22 anti-degradation rules apply to that?

23 MR. KOLB: Yes, I believe so. You know we've  
 24 identified --

25 MR. HARRIS: What's the question?

91

1 MR. YOUNG: There's going to be some degradation?  
 2 MR. HARRIS: Yes.

3 MR. YOUNG: Do our anti-degradation rules apply to  
 4 this situation?

5 MS. OKUN: The anti-degradation rules apply to  
 6 those two orders and also to the order for the Title 27  
 7 pond. The drought proclamation didn't in any way  
 8 suspend compliance with any of the water quality  
 9 requirements, so the Board does have to make findings  
 10 that the discharges, if they'll be causing degradation,  
 11 won't cause water quality objective exceedances, that  
 12 it's to the maximum benefit, that the facility  
 13 represents the best practicable treatment or control.

14 MR. HARRIS: And there's just a couple of  
 15 constituents that are going to exceed background levels,  
 16 not water-quality standards.

17 MR. YOUNG: Which ones are those again?

18 MR. KOLB: For example, nitrate in the current  
 19 water supply well is less than 1, averages about .8  
 20 milligrams per liter. The injected water will be about  
 21 2.3 milligrams per liter nitrate.

22 MR. HARRIS: And drinking water is 10, okay.

23 MR. KOLB: And sodium in the groundwater is around  
 24 20. Under the current conditions, proposed is 60  
 25 milligrams per liter.

92

1 MR. YOUNG: And the numeric standard?  
 2 MR. KOLB: Sixty-nine.

3 MR. YOUNG: Thank you.

4 BOARD CHAIR: All right. So I would like to have  
 5 Mr. Harris -- thank you very much for your presentation.  
 6 I do not have questions. I think my colleagues  
 7 answered -- had these questions answered that I had in  
 8 mind, so thank you for a very good presentation.

9 Mr. Harris, will you introduce the next --

10 MR. HARRIS: Next is Ryan Lodge, who will go over  
 11 the Title 27 permit.

12 MR. LODGE: Good afternoon, members of the Board.  
 13 I am Ryan Lodge. I'm a water resource control engineer  
 14 with the Central Coast Water Board land disposal unit,  
 15 and I'm before you today to present the waste discharge  
 16 requirements for the Cambria Community Service District  
 17 class 2 surface impoundment.

18 I think we're all familiar with this diagram. The  
 19 class 2 surface impoundment will receive brine from the  
 20 advanced water treatment facility via a double-walled  
 21 conveyance pipe to the impound here. The surface  
 22 impoundment is designed and is being installed to meet  
 23 the California Code of Regulations Title 27  
 24 requirements. Title 27 requirements cover all class 2  
 25 surface impoundments in the state of California as well

1 as all the disposal facilities for municipal solid waste  
2 facilities.

3 The Cambria impoundment is three acres in size and  
4 it will hold a little over 6 million gallons of brine  
5 while maintaining the required two feet of freeboard.  
6 That's a requirement that's in the order. They also  
7 have to maintain enough capacity to handle a year's  
8 worth of average rainfall and a thousand-year storm  
9 event.

10 The impoundment is lined with impermeable  
11 geo-membrane material, it has a leak detection system  
12 and also has three groundwater monitoring wells  
13 surrounding it. Those are located here, NW-1, -2 and  
14 -3. This is a cross section of the liner. There's a  
15 primary high-density polyethylene geo-membrane, which is  
16 the first liner. There's also a secondary high-density  
17 polyethylene geo-membrane under that, and below that is  
18 a geo-synthetic clay liner.

19 Underneath the primary liner there's a leachate  
20 collection and recovery system which will detect any  
21 leaks through the top liner, and then below the  
22 secondary liner system there's what we call a beta cell  
23 monitoring system which will detect leaks if they occur  
24 through the secondary liner. The liner's installed with  
25 a third-party construction quality assurance plan and

1 officer onsite. It's this gentleman here. He's  
2 independent of the contractor that's installing the  
3 liner material and also independent of the company  
4 that's installing the impoundment.

5 The construction quality assurance measures ensure  
6 that the liner material is installed per the design,  
7 approved design and the project specifications, so this  
8 white material is the geosynthetic clay liner that's  
9 been laid down, and then the black material over here is  
10 the high-density polyethylene material.

11 That's our laying out the high-density polyethylene  
12 material. They weld all the seams together, and every  
13 seam is tested to ensure it's watertight. And that's  
14 again what this third-party QC officer is there to do,  
15 all the testing. Some of the testing is sent off to the  
16 laboratory, some of the testing is done in the field.

17 The District will utilize, as discussed previously,  
18 mechanical evaporators to enhance the capacity of the  
19 surface impoundment. Those will sit on these concrete  
20 pads on this basically the west side of the impoundment.  
21 They will blow brine out over the impoundment in an  
22 effort to increase the evaporation; the natural  
23 evaporation won't allow adequate capacity in the  
24 impoundment for them to operate per the two years that  
25 they want to operate it.

1 The blowers will be wired to an onsite weather  
2 station so that if the wind direction or speed exceeds  
3 certain cutoffs, the blowers will not operate in order  
4 to ensure that the brine stays within the lined area.  
5 The proposed order requires that all brine stay within  
6 the impoundment.

7 When the brine approaches the saturation point for  
8 total dissolved solids, the District plans to remove the  
9 brine as a slurry and haul it to a properly permitted  
10 facility. They expect to do that once every 10 years,  
11 depending on the usage.

12 We did post the proposed order for 30-day public  
13 comment period. We received approximately 390 letters  
14 of support for the order and six comment letters with  
15 concerns about project impacts. I'm going to go over  
16 the comments that were concerns about the impacts.

17 Several of the commenters expressed concerns about  
18 wildlife impacts from either birds landing in the  
19 impoundment or other animals walking into the  
20 impoundment. But as discussed previously, the project  
21 is exempt from CEQA. Usually wildlife mitigation  
22 measures are placed on projects during the CEQA process  
23 and the District will complete the CEQA during the San  
24 Luis Obispo County coastal development permit permitting  
25 process and the wildlife impact should be addressed at

1 that time.

2 However, the District is evaluating installation of  
3 measures to prevent birds from landing within the  
4 impoundment, and they're going to install fencing to  
5 keep animals from entering the impoundment.

6 Another concern raised in the comments was that the  
7 potential human health impacts from brine drift,  
8 essentially, outside of the impoundment, but the  
9 proposed order requires that all brine stay within the  
10 impoundment. As discussed earlier, the mechanical  
11 evaporators will be tied to a weather station which  
12 should ensure that the brine stays in the impoundment  
13 and doesn't blow offsite or outside the lined areas.

14 The proposed order also requires daily impoundment  
15 inspections which includes inspection of the blowers to  
16 ensure that they're operating properly. There's also  
17 fencing to keep the public from entering the property  
18 and coming into contact with that.

19 The order also requires that the District conduct a  
20 study or an analysis of their assumptions made on the  
21 blowers after 90 days of operation to basically verify  
22 that their model and their assumptions are consistent  
23 with the operation of the blowers and the impoundment.

24 There are also concerns that the brine would become  
25 hazardous in the impoundment as it concentrates over

1 time. The District did conduct an analysis that showed  
2 that even if the brine dries up to a solid it will not  
3 become a hazardous material. The order also, again,  
4 prohibits the discharge or the concentration of the  
5 material in the impoundment to become hazardous  
6 material. If that does occur, they will have to shut  
7 the impoundment down and remove the material and haul it  
8 to a class 1 facility.

9 Also, they are required to do semi-annual  
10 monitoring of the brine, and if the data comes in and we  
11 see trends that are coming towards or approaching the  
12 hazardous waste levels, then we'll require the District  
13 to take action.

14 We had some comments on the concerns about the  
15 seismic and geologic conditions, that they don't support  
16 siting a surface impoundment at the current location.  
17 However, the District has conducted a geotechnical  
18 analysis and stability analysis, as required by Title  
19 27, and their analysis shows that it meets all the  
20 requirements within Title 27 for a class 2 surface  
21 impoundment.

22 So with that, I recommend that the Board adopt the  
23 proposed order for this Cambria Community Services  
24 District class 2 surface impoundment.

25 Are there any questions?

1 BOARD CHAIR: I'll start on my right. Mr. Jordan?

2 MR. JORDAN: Thank you, Mr. Chair.

3 Mr. Lodge, maybe you're the right guy, finally, to  
4 ask this question. So is the evaporative brine an  
5 actual health issue as it drifts away or is it just an  
6 annoyance?

7 MR. LODGE: It should not drift outside of the  
8 impoundment.

9 MR. JORDAN: So where does it go? Does it go  
10 straight up?

11 MR. LODGE: The District conducted an analysis of  
12 the certain droplet size coming out of the blowers, and  
13 they have analyzed that will drop even as it dries out.  
14 There's a certain amount of evaporation that will occur  
15 on the size of the droplet, based on the nozzle size, so  
16 it will drop into the impoundment, based on a certain  
17 wind direction and speed. So if it exceeds -- if the  
18 weather station shows that it exceeds the wind speed, it  
19 will shut the blowers off.

20 MR. JORDAN: It's not so much a drifting issue,  
21 what they are figuring is it's going to move and drop  
22 before -- whatever we're talking about, this thing, this  
23 mist is going to move and drop before it leaves the  
24 impoundment area.

25 MR. LODGE: Right.

1 MR. JORDAN: So whether it's an annoyance or a  
2 health hazard, it will stay there in that impoundment  
3 area.

4 MR. LODGE: Correct, and if there's evidence that  
5 shows it does not stay within that impoundment, they  
6 will have to recalibrate and shut the blowers down  
7 initially and figure it out.

8 MR. JORDAN: If it was to leave impoundment, is it  
9 a health issue or an annoyance?

10 MR. LODGE: We didn't look at that because it  
11 should not leave the impoundment. If it does, then they  
12 will have to shut the blowers off.

13 MR. JORDAN: There was a reference somewhere in one  
14 of the sets of documents that the Air Quality Control  
15 Board was involved but there wasn't any information from  
16 them yet.

17 MR. LODGE: I spoke to them on the phone a few  
18 weeks back and they were still waiting for information  
19 from the District about the blower operations. I'm not  
20 sure if some of that may come when they get closer to  
21 starting up blowers. I didn't receive any additional  
22 information on that.

23 MR. JORDAN: Are you familiar with like type of  
24 operations somewhere else that work this way?

25 MR. LODGE: With blowers?

1 MR. JORDAN: With the blowers that pushes  
2 evaporation levels but keeps the result of the  
3 evaporation within a specific geographic area?

4 MR. LODGE: No, this is the first facility that I  
5 have worked on that has that.

6 MR. JORDAN: Thank you.

7 Thank you, Mr. Chair.

8 BOARD CHAIR: Mr. Johnston?

9 MR. JOHNSTON: So I noted a comment in the letter  
10 from parks and -- from the California Department of  
11 Parks and Recreation that said that the weather station  
12 data was coming from a weather station four miles south  
13 of the project site. Was that study there or is there  
14 going to be a weather station onsite there?

15 MR. LODGE: Yeah, the data they used was from a  
16 weather station in the community of Cambria, I believe  
17 at the fire station. This system will have a weather  
18 station at the impoundment itself. There's a small  
19 control room at the impoundment.

20 MR. JOHNSTON: So it will be based on very  
21 localized data?

22 MR. LODGE: Correct, it will be about 20 feet away  
23 from the blowers.

24 MR. JOHNSTON: The second question, I'm a little  
25 confused as to the operation of the pond. I heard from

1 the consultant that the pond couldn't really be operated  
2 more than two six-month dry seasons in a row because  
3 they would then have to really take some time to dry it  
4 down to a slurry so they could truck it out.

5 I heard later from the consultant that if we  
6 continued to get the same average level of rainfall that  
7 this system could operate indefinitely, presumably in  
8 the dry season six months, which I was a little curious  
9 about because it seemed different than the no more than  
10 two six month dry seasons in a row, and then I'm hearing  
11 from you that the plant is to operate it -- probably the  
12 anticipation is to operate it probably 10 years off and  
13 on before pulling out the slurry, so can you help me to  
14 make those things talk to each other?

15 MR. LODGE: Sure. I'm not sure what the consultant  
16 was referring to when she indicated it would go  
17 indefinitely. The impoundment itself, if the  
18 assumptions on the blowers are correct in terms of how  
19 much brine will evaporate, they can operate for two  
20 years in terms of the amount of brine they can put into  
21 the impoundment. The 10-year number is based on when  
22 they would want to remove the slurry, or the brine, if  
23 it gets concentrated down to a certain point, if it hits  
24 that -- what they want to avoid is having solids build  
25 up in the bottom of the brine impoundment, so that will

1 take after that second year to evaporate it down to get  
2 to a another full year. We didn't look at that. What  
3 we are looking at is, from our perspective, they need to  
4 maintain a two-foot freeboard and the volume to hold a  
5 thousand-year storm event.

6 MR. JOHNSTON: In two six-month seasons?

7 MR. LODGE: Correct. I don't know how long it  
8 would take to get down from that to allow for another  
9 season.

10 MR. JOHNSTON: Right.

11 MR. LODGE: It's heavily weather dependent, and  
12 again on the assumption that the mechanical evaporators  
13 have a certain efficiency.

14 MS. TRYON: Due to the numerous possible operating  
15 plans that could occur, if it rains, they would shut it  
16 down. That's why we kept it general to say you can't go  
17 beyond filling it up to this level. So they can operate  
18 it however long they want intermittently, but they can't  
19 exceed that level.

20 MR. JOHNSTON: So the functional limit on operation  
21 really isn't a permitted limit, the functional limit on  
22 operation is that two-foot freeboard.

23 MS. TRYON: Plus the thousand-year 24-hour storm  
24 capacity, which is ten inches.

25 MR. JOHNSTON: So two foot ten inches' freeboard is

1 depend on how many years they operate it.

2 MR. JOHNSTON: I would assume the evaporation rate  
3 slows down year to year because if you're evaporating  
4 out the water and salts are, if all goes according to  
5 plan and everything stays over the pond, are dropping  
6 back into the pond, so the pond is going to become  
7 saltier, it's going to have a higher and higher level of  
8 total dissolved solids, over the years, right?

9 MR. LODGE: Correct.

10 MR. JOHNSTON: So I would assume that their  
11 efficiencies go down in terms of being able to  
12 evaporate.

13 MR. LODGE: I believe it does. They ran a model on  
14 it. I don't know the numbers on the top of my head,  
15 what the efficiency is after each year and what the  
16 concentrations are.

17 MR. JOHNSTON: But what you're saying, then, is  
18 your understanding is that it could run for two years,  
19 and I assume that means two six-month dry seasons, and  
20 then it would need a down year to evaporate down to the  
21 point -- unless they were really going to pump out a lot  
22 of stuff that wasn't slurry, a lot of tank trucks -- it  
23 would need a down year to dry down enough to be able to  
24 operate it for another dry season, is that correct?

25 MR. LODGE: I don't know how much time it would

1 really the functional limit on operation?

2 MS. TRYON: Right. And the testing of the brine to  
3 make sure it's non-hazardous, and then making sure that  
4 there's no leakage. So if they see a leakage, they'd  
5 have to remove the brine and fix the leak before they  
6 could use it again. So there's different scenarios they  
7 can use. That's why we kept to that level.

8 MR. HARRIS: Mr. Johnston, there's another option  
9 that we have discussed with the CSD but didn't pursue it  
10 because of timing, and that is a brine line to the San  
11 Simeon wastewater treatment plant, because San Simeon  
12 has -- they have an outfall and the brine that's being  
13 generated is only about half of what seawater is, so  
14 there's another option for disposal in the long term.

15 MR. JOHNSTON: Which could potentially allow this  
16 thing to operate -- remove that operating limit, then,  
17 of something like two years before you've got to start  
18 drying it down.

19 MR. LODGE: And just to clarify, the two-foot  
20 freeboard and the thousand-year storm event is a  
21 requirement in the order.

22 MR. JOHNSTON: Correct.

23 And finally, I understand that they are putting in  
24 a double-walled pipe to carry the brine from the  
25 advanced water treatment system to the pond, and I'm

1 assuming there's some -- I don't know anything about  
2 double-walled pipes, but I'm assuming there's some  
3 system that monitors between the walls so if the inside  
4 wall is leaking, you know, right?

5 MR. LODGE: That's something that we're going to  
6 have to look into. It hasn't been discussed at this  
7 point. The pace of this project has progressed, we've  
8 required that they do double-wall piping, but honestly  
9 we don't have the measures to check whether there's a  
10 leak in the primary pipeline.

11 MR. JOHNSTON: Thank you.

12 BOARD CHAIR: Thank you, Mr. Johnston.

13 Dr. Hunter?

14 DR. HUNTER: Thank you, Ryan.

15 And Thea, when you spoke up, had you identified  
16 yourself for the record?

17 MS. TRYON: Thea Tryon.

18 DR. HUNTER: Thank you.

19 So again to the pond, I am not familiar at all with  
20 the process for removing slurry from a pond that's lined  
21 with materials that have a potential to leak or to be  
22 damaged in some way. So can you give me an idea of what  
23 is entailed in removing the slurry?

24 MR. LODGE: Well, they have submersible pumps for  
25 the blowers. They can put in a submersible pump onto

1 this type of holding pond?

2 MR. LODGE: Yes, there are other facilities in  
3 California that have that design.

4 DR. HUNTER: And in our region?

5 MR. LODGE: We don't have similar design in our  
6 region. We do have a another surface impoundment. It  
7 has three layers of the HDPE material.

8 DR. HUNTER: Is that because the design criteria  
9 has changed with adding additional safety into the  
10 potential for leakage occurring by increasing quality of  
11 materials and lifespan and so forth?

12 MR. LODGE: It's just a different design. The  
13 other facility had a different subgrade material, so  
14 they used just the -- the geocomposite clay liner is a  
15 more forgiving material if there was to be a puncture  
16 through. It essentially self-heals; if something stays  
17 in there, it will stick to that, and if something goes  
18 into it and comes out, it basically heals back together,  
19 so there is an advantage to that material.

20 DR. HUNTER: Has there been any experience of these  
21 other pond -- has there been any point at which the  
22 entire thing has to be reconstructed because it degraded  
23 or the leakage is so massive that it just has to be  
24 started over?

25 MR. LODGE: We only had one other impoundment in

1 the liner material to remove -- pump that out, the brine  
2 out, the slurry.

3 DR. HUNTER: And what is the lifespan of the liner  
4 materials, all layers?

5 MR. LODGE: The liner materials, exposed,  
6 high-density polyethylene liner is at least 30 years'  
7 life. There are studies out there that are actually  
8 ongoing. It could be longer than that. Covered,  
9 high-density polyethylene liner, the lifespan is a lot  
10 greater than that. I think hundreds of years.

11 DR. HUNTER: So covered means filled?

12 MR. LODGE: Well, because there's a primary  
13 high-density polyethylene liner, the one below that  
14 isn't exposed to UV radiation so it does not degrade,  
15 really, and it's not exposed to any waste, either.

16 DR. HUNTER: The white liner, what you're saying is  
17 hundreds of years?

18 MR. LODGE: There are two black layers, so the  
19 second black layer is not exposed. Similarly, the  
20 geosynthetic clay liner is essentially a clay material.  
21 I don't know that it has a lifespan.

22 DR. HUNTER: But it's artificial?

23 MR. LODGE: It's sodium bentonite in between,  
24 basically, fabric, it's sandwiched in between that.

25 DR. HUNTER: Okay. Is this a typical design for

1 our region so we haven't had that experience. But if  
2 there was a leak --

3 DR. HUNTER: You're not aware of it in the state?

4 MR. LODGE: Not that I'm aware of, but because it's  
5 an impoundment rather than a land disposal facility it's  
6 relatively easy to get to the liner and remove it, where  
7 normally we work in the landfill arena where you're  
8 putting tons and tons of waste on these liners and  
9 they're buried and it's very difficult to go back in and  
10 correct any issues. Here, if there's a leak, it's  
11 relatively easy to get in there and try to find that  
12 leak and repair it.

13 DR. HUNTER: And then I heard Mr. Harris say there  
14 was an option to remove the brine slurry, and  
15 potentially, transport it to the San Simeon wastewater  
16 system plant for treatment. Is that an agreement that's  
17 already occurred?

18 MR. LODGE: As far as I know, they do not have an  
19 agreement with San Simeon Community Services District to  
20 do that.

21 DR. HUNTER: Do you know if they plan to add that  
22 to the complete plan for this option to occur in the  
23 process of considering?

24 MR. LODGE: I don't know. I don't know the answer  
25 to that question.

109

1 DR. HUNTER: Maybe the District can answer that for  
2 us. Would that be the best option, if they were faced  
3 with having to remove that slurry under circumstances of  
4 detecting a leak?  
5 MR. LODGE: I guess I'm not sure what you mean by  
6 best option. It is an option, potentially, if the San  
7 Simeon Community Services District agrees to take that  
8 and as long as it doesn't impact the effluent quality  
9 going out to the ocean.  
10 DR. HUNTER: Are there other facilities that do  
11 take brine slurry in our region?  
12 MR. LODGE: I believe the South San Luis Obispo  
13 Sanitation District receives brine waste, and I believe  
14 maybe Watsonville, but again they do not have agreements  
15 in place at this time to take it to any of those  
16 facilities.  
17 DR. HUNTER: See the District.  
18 MR. GRESENS: I can try to answer the question  
19 pertaining to us, if you like.  
20 DR. HUNTER: Yes, please.  
21 MR. GRESENS: As far as the long-term plans of the  
22 District in looking at this issue of something with the  
23 San Simeon CSD, we're working on that long-term project  
24 with the Army Corps, so it won't be part of this regular  
25 coastal permit that we talked about earlier, but it

110

1 might be worked into the scope of work with the Army  
2 Corps project which is a more longer term. I know I've  
3 had some discussions with Mr. Harris about possible  
4 options early on in this project, and that's one that we  
5 would like them to look at. We don't know what's going  
6 to come of it at this point, but we can definitely try  
7 to work that into that scope of work.  
8 DR. HUNTER: Can you remind me, when do you expect  
9 the Army Corps of Engineers project to -- I heard you  
10 say there were delays and funding issues. Are you back  
11 in the pipeline for money, is that a steady, actively  
12 moving forward or where are you in that process?  
13 MR. GRESENS: Yes, it's moving forward slowly, it's  
14 an annual appropriation process. It depends on whether  
15 it funds and that's never known for certain each year.  
16 They do have a consultant under contract to finish an  
17 EIS per the NEPA requirements, and related to that they  
18 have to work on a change of scope as far as how they  
19 look at this particular alternative, and that still  
20 hasn't been finalized yet.  
21 DR. HUNTER: So just assume that funding continues  
22 and the progress is on track, when would you anticipate  
23 seeing the project design come out of that process?  
24 MR. GRESENS: Again, it's very difficult to predict  
25 their timing because of the funding unknowns each year.

111

1 I would say in a couple of years, you know, get through  
2 the NEPA process within the next year and then probably  
3 a year after that, you know, assuming funding all falls  
4 in place.  
5 DR. HUNTER: So without those constraints, it looks  
6 like another two years before the process itself,  
7 getting the work done?  
8 MR. GRESENS: That would be my best estimate at  
9 this point in time, again subject to funding.  
10 DR. HUNTER: Okay, thank you.  
11 MS. OKUN: I have a follow-up question. Does the  
12 District have the capacity or contingency plan for  
13 disposing of the waste in the Title 27 impoundment  
14 should the liner fail and the District has to remove  
15 that waste in order to repair the liner?  
16 MR. GRESENS: Basically, it's hauling the waste off  
17 to a landfill that would accept it.  
18 MS. OKUN: And there are landfills that would  
19 accept that type of designated waste, class of waste?  
20 MR. GRESENS: I'll turn to my project team just to  
21 make sure I'm not misspeaking, but yes.  
22 MS. OKUN: Thank you.  
23 BOARD CHAIR: Mr. Jeffries?  
24 MR. JEFFRIES: No questions.  
25 BOARD CHAIR: Mayor Delgado?

112

1 MR. DELGADO: I have a question, and if there's a  
2 better time to ask it, I'll ask it later, but it's both  
3 to the project components and to staff. We've got  
4 California Coastal Commission and State Parks concerns,  
5 which are fairly consistent with one another, and it  
6 seems that one of the best backstops to address those  
7 would be to have the permits be of a limited or  
8 specified term, not the five-year term that may be  
9 normal, and so my question to both the permittee and our  
10 staff is, and this could be answered later if this is  
11 not the right time, is there any problem in having a  
12 reopener for a year time frame before we reassess this,  
13 let's say, after the CEQA is fully completed?  
14 MS. OKUN: I can address that in part. There would  
15 be a problem in including something like a one-year  
16 limitation on the permits because the drought may not be  
17 over in a year and in that case, the orders wouldn't be  
18 adequate to address the drought proclamation, the  
19 drought emergency that's addressed in the proclamation.  
20 There are other limitations that the Board could  
21 impose, either requiring a reportable discharge after  
22 the coastal development permit process is completed or  
23 including a limitation similar to this what the County  
24 has imposed so that the District can only operate the  
25 facility during a stage 3 emergency until the Board at a

113

1 later date reopened the orders to remove that  
 2 limitation, if that was what the District needed for  
 3 their long-term water supply.  
 4 MR. DELGADO: Okay. So you've mentioned a couple  
 5 of options and I think this is the general manager of  
 6 the District, so maybe he can give his perspective on  
 7 whatever he wants, but in addition to his preference  
 8 between those two options.  
 9 MS. OKUN: One further point in terms of the  
 10 reopener, since these are waste discharge requirements  
 11 that are not MPDS permits, the Board has the authority  
 12 to reopen them at any time even without a reported waste  
 13 discharge if there's new information or it turns out  
 14 that the actual monitoring data shows something that  
 15 wasn't indicated in the modeling data and there's a need  
 16 to change the requirements. So that can be done at any  
 17 time whether there's specific language in there or not.  
 18 MR. DELGADO: Thank you.  
 19 MR. GRUBER: Chairman Wolff and Regional Board  
 20 Members, I'm Jerry Gruber, the general manager for the  
 21 Cambria Community Services District. We would  
 22 respectfully request that the Board would consider the  
 23 recommendation from your staff regarding the duration of  
 24 the permits for just a plethora of reasons. I know the  
 25 Coastal Commission and Tom Luster's letter that we

114

1 received yesterday indicated a year time span. We feel  
 2 that's just unrealistic for a number of reasons. We are  
 3 bringing the EIR process to our Board on November 20, as  
 4 previously indicated, and I anticipate they will approve  
 5 that process, and so although I understand Mr. Luster's  
 6 concerns regarding this, I think that what's in front of  
 7 you today would be the request to authorize the permits  
 8 to be issued for the duration which the staff has  
 9 recommended.  
 10 In parallel to that, it was a good point raised  
 11 about the drought. We don't know when the drought is  
 12 going to end. And your staff and our staff on this  
 13 project and probably for six to eight months' work  
 14 already into it, and so a year we'd be right back --  
 15 literally, when this meeting would end, we'd be right  
 16 back starting the process all over again and that's just  
 17 not feasible for us. We also want to be able to have  
 18 flexibility from an operational standpoint. There's  
 19 been a lot of questions today about the operation of  
 20 this facility. As you know, it's one of only -- one in  
 21 this area, so we want to be able to establish and work  
 22 out the bugs, work out all the things that may occur and  
 23 we would need the recommended time frame that was  
 24 recommended by your staff.  
 25 Thank you so much.

115

1 BOARD CHAIR: Thank you.  
 2 MR. HARRIS: Just a clarification. Ryan can  
 3 correct me, but there's not a per se time limit in the  
 4 permits. These are DEIRs, so they don't expire. There  
 5 are requirements for reopeners or review, but they are  
 6 not necessarily mandatory.  
 7 BOARD CHAIR: Thank you, Mr. Harris.  
 8 So Mike, if you can hold on I'd like to ask a  
 9 question.  
 10 Then we'll take a break after this, by the way.  
 11 You know, a lot of my colleagues asked a lot of  
 12 very detailed questions, but I'd like to move at 10,000  
 13 feet level for a moment. What we're looking at here  
 14 with these brine ponds, we agree that from the physics  
 15 standpoint it's very, very similar to saltwater. I mean  
 16 sea salt evaporation pond projects where you have the  
 17 evaporation, you concentrate the salts, and in fact the  
 18 San Francisco Bay Area had ponds like these for many,  
 19 many years, still may have some operations, so when we  
 20 think about environmental impacts, et cetera, of drifts,  
 21 you can say, yeah, there is a similarity. Of course, I  
 22 realize it's slightly different, maybe it's comparing  
 23 two different citrus fruits, they are not identical but  
 24 same concept.  
 25 MR. LODGE: I don't mean to dodge the question, but

116

1 I'm not familiar with those other impoundments in the  
 2 Bay Area and the processes that they go through.  
 3 Initially, the brine in the impoundment will be less  
 4 concentrated than seawater in the ocean, but as it  
 5 concentrates it will get more, I guess, salty as you  
 6 would say, than the ocean water.  
 7 BOARD CHAIR: Okay. I don't have any further  
 8 questions.  
 9 I think we have one last question from Mr. Jordan.  
 10 MR. JORDAN: Thank you, Mr. Chair.  
 11 Lori, I think this is for you. So I keep hearing  
 12 throughout the whole thread that we'll collectively get  
 13 more information when they go through this EIR process  
 14 that the County is going to require them to do, but I  
 15 don't think I'm clear in my mind that if they are exempt  
 16 from entering into an EIR process with us, can't they  
 17 also claim an exemption with the County CDP process?  
 18 MS. OKUN: I'll leave that to the District to  
 19 address. The County did issue the coastal development  
 20 permit before all the contingencies were met so that the  
 21 drought proclamation CEQA suspension applied to this  
 22 project.  
 23 I don't know why because I couldn't tell from  
 24 reading the County's permit, but for whatever reason the  
 25 County did require the District to obtain a regular,

117

1 nonemergency coastal development permit to continue  
2 operating this facility after the stage 3 emergency and  
3 required the District to prepare a CEQA document in  
4 order to support that.  
5 MR. JORDAN: The answer I think I got earlier was  
6 that I think they intend to do that. People say they  
7 intend to do things all the time. Is there an avenue in  
8 the approval of one of the orders today that would  
9 facilitate requiring them to do that at the County level  
10 as part of our approval?  
11 MS. OKUN: No, and I don't think that the Board has  
12 the authority to require them to undertake any  
13 particular CEQA process either. However, if they elect  
14 not to do that the County is not going to issue then a  
15 regular coastal development permit and they will remain  
16 subject to the limitation that they only operate during  
17 the stage 3 emergency. The coastal development permit  
18 did require the District to apply for the regular CDP  
19 within 30 days, and they did that, so their application  
20 is pending and they've said they have authorized the  
21 CEQA process so they could shut all that down and  
22 operate under the current permit.  
23 MR. JORDAN: Both of those, I realize, are at  
24 interplay with each other, but they're both just as  
25 equally gray because there's also a CDP permit

118

1 apparently active with the County right now and nobody  
2 in the room seems to be able to tell me if that CDP  
3 permit asked for just operation or if it's just for  
4 operation during a drought.  
5 MS. OKUN: I can't answer the question in terms of  
6 what they applied for long term, but I can answer the  
7 question about what the current permit allows, and it  
8 only allows operations during a stage 3 emergency.  
9 MR. JORDAN: Thank you.  
10 BOARD CHAIR: Okay. So we'll take a break, and to  
11 make it a round number for everybody, we'll reconvene at  
12 1:30. For folks who are not familiar with this area, if  
13 you go down the street there's a little shopping center  
14 called the Marigold Shopping Center and they have a few  
15 places.  
16 What we'll do after the lunch is we'll provide the  
17 opportunity for all of you who have submitted speaker  
18 cards to give presentation of three minutes each. The  
19 public comment period for this item will take about an  
20 hour, based on the 20 speaker cards that I have. I  
21 wanted to share this with you so you do have some idea  
22 of where we're going with this meeting, and I believe we  
23 have one more staff presentation.  
24 MR. HARRIS: Right, before the public  
25 presentation --

119

1 BOARD CHAIR: Right, maybe a 15-minute  
2 presentation.  
3 MR. HARRIS: I would recommend we come back at, to  
4 make sure -- I'm concerned about all these people  
5 getting out -- maybe a quarter to 2:00, give everybody  
6 at least a full hour.  
7 BOARD CHAIR: I see folks that say let's keep this  
8 moving, so I'm going to stick with 1:30.  
9 (The lunch recess was taken)  
10 BOARD CHAIR: All right, folks, we're convening.  
11 It is now 1:35, for the record, and we will have the  
12 District an opportunity to wrap up your inputs for the  
13 Board.  
14 MS. GARZA-BIRD: Good afternoon. My name is Mari  
15 Garcia-Bird, with CDM Smith. I will be very brief in  
16 this presentation to talk a little bit about the project  
17 need. I don't think I need to spend a lot of time on  
18 the slide. I think everybody understand that Cambria is  
19 an exceptionally dry area of the drought in California.  
20 And as Bob mentioned earlier, Cambria has a very  
21 low water consumption. The District has maintained an  
22 inventory of water supplies of less than six months for  
23 the past two years. This is has been an emergency  
24 that's been going for a while, and they have been  
25 waiting to come out of this drought, and there does not

120

1 seem to be any sign of coming out of the drought.  
2 The Governor declared a drought emergency, which  
3 allowed CEQA to be bypassed. It has resulted in  
4 entering into a new gray area of territory in the state  
5 as to how to still address those issues and measures  
6 while still providing safe drinking water to the public.  
7 You've heard about to the extreme measures Cambrians  
8 have taken to reduce their water consumption. Without  
9 this emergency project, Cambria will run out of water.  
10 Without a sustainable supply of water, there are  
11 four fundamental things that water provides in a  
12 community, and it is protection of public health, first  
13 and foremost. Fire protection will be threatened. Loss  
14 of economic viability. You'll hear about some of that  
15 today. There are already restaurants that are closed  
16 one day a week due to the drought in Cambria. And then,  
17 of course, there's known to be impacts to the  
18 environment and the quality of life in the basin, as we  
19 presented earlier.  
20 You've seen this, the whole project site. You've  
21 seen this slide, too. Forty-eight percent of the water  
22 that is pumped will remain in the basin, ultimately,  
23 when you look at the whole balance, so it really is  
24 great as a project that optimizes the resources within  
25 the area while helping to protect habitat in the area.

121

1 We talked a lot about the balance and what's  
2 happening with the water. I don't think I need to spend  
3 any more time on this.  
4 Some of the operations parameters, there's been a  
5 lot of questions and dialog about operational parameters  
6 at the facility, and the emergency permit only allows  
7 this facility to operate while they're in a stage 3  
8 drought. This is the governor of the project until that  
9 regular coastal development permit is in place. You  
10 have to be in a stage 3 drought, which is extreme  
11 measures for conservation. This is not a growth  
12 project.  
13 The facility will operate at a maximum of six  
14 months per year. Let me clarify this. As engineers, we  
15 have to define -- we have to design these facilities  
16 around some sort of absolutes, and so we sometimes  
17 respond to questions in absolutes. This facility is  
18 designed to work up to, we think, six months a year for  
19 several years, for a couple of years, but the likelihood  
20 of it working 24 hours a day, seven days a week, six  
21 months a year for two years in a row, we think that's a  
22 very highly unlikely situation. This is expensive  
23 water; the District's going to be very frugal with this  
24 facility.  
25 The mitigation water going to the lagoon, we are

122

1 making an adjustment where we are going to be blending  
2 that microfiltered water with some of the reverse  
3 osmosis treated water in the event there are some water  
4 quality issues with that water, so that way we protect  
5 the quality of the lagoon water.  
6 The treatment process does provide three barriers  
7 of protection because of those percolation ponds. It is  
8 very advanced treatment process. The evaporation pond,  
9 the surface impoundment, the mechanical blowers will  
10 only operate when the wind speeds are less than six  
11 miles per hour, when the wind direction is from the west  
12 to the east. If for some reason all the water were to  
13 evaporate and you had 100 percent dry solids in there,  
14 none of those constituents in those solids come anywhere  
15 close to reaching the EPA hazardous levels. There was  
16 no selenium or mercury detected in the supply water that  
17 we will be treating, and there's going to be a  
18 monitoring program in place for the air quality to  
19 ensure that nothing leaves the confines of that surface  
20 impoundment.  
21 Let's talk a little bit about what happens without  
22 the project. The San Simeon wells will no longer be  
23 able to operate in an extended drought. The lagoons  
24 will cease to exist, saltwater intrusion will begin.  
25 The percolation pond water will reverse its gradient and

123

1 start to head to the San Simeon wells. The impacts are  
2 pretty dramatic without the project.  
3 It is a great project that optimizes the resources  
4 in the area. This project, it does provide a  
5 sustainable supply of water during droughts. It is a  
6 drought facility. It provides 65 gallons per Cambrian  
7 per day. That's not a growth facility. It has  
8 beneficial impacts to the environment through the  
9 protection of the lagoons, protects from saltwater  
10 intrusion, and saltwater intrusion will be monitored  
11 much more aggressively than it has been in the past in  
12 the area. It balances the requirements of the area to  
13 the protection of public health with a sustainable  
14 supply of water, provides a supply of water for fire  
15 protection, which is absolutely critical, and it  
16 provides the environment.  
17 Please award the permits today as proposed by staff  
18 so that this emergency facility can operate and provide  
19 a sustainable supply of water for Cambria.  
20 Thank you.  
21 BOARD CHAIR: Thank you.  
22 Board members, I'll start on my left.  
23 Mr. Young?  
24 MR. YOUNG: The 65 gallons per day per Cambrian,  
25 what about for your tourists that are coming in to

124

1 Cambria, how do you factor that usage in?  
2 MS. GARZA-BIRD: It's a simple calculation. The  
3 300 gallons per minute, break it into per day, divide it  
4 by the population. It's an oversimplified calculation  
5 to show that this is not a lot of water, it doesn't  
6 allow them to go crazy with growth, you know, it is a  
7 minimal amount of water to provide additional water for  
8 their tourism as well as the residents.  
9 MR. YOUNG: Are people in Cambria, people that want  
10 to develop their land, allowed to do it, allowed to get  
11 hookups to the water supply?  
12 MS. GARZA-BIRD: As the District engineer explained  
13 earlier, they have to do that through credits showing  
14 reduction of water.  
15 MR. GRESSENS: Our practice there has been to  
16 require conservation offsets for any new demand and, as  
17 I explained earlier -- I won't go into the details  
18 unless you want me to.  
19 MR. YOUNG: The points that were discussed, okay.  
20 BOARD CHAIR: Please state your name again for the  
21 record.  
22 MR. GRESSENS: Oh, I'm sorry. Bob Gresens, District  
23 engineer for Cambria CSD.  
24 MR. YOUNG: No further questions from me.  
25 BOARD CHAIR: Mr. Delgado?

1 MR. DELGADO: What's the per-capita gallons per day  
2 usage in Cambria?

3 MS. GARZA-BIRD: The current per-capita usage is 50  
4 gallons per capita per day.

5 MR. DELGADO: That's today. So that's pretty low,  
6 one of the lowest in the state.

7 MS. GARZA-BIRD: Correct.

8 MR. DELGADO: Are you the right person to ask what  
9 difficulties it might cause if there was some time frame  
10 to this permit granted today or is that not your  
11 bailiwick?

12 MS. GARZA-BIRD: I can answer. This facility right  
13 now can only operate in stage 3 drought. It can't  
14 operate if they move out of stage 3. So that, as I  
15 said, is the governor for the operation of the facility  
16 as it sits here today.

17 We don't know how long this drought will last.  
18 This drought could last another three or four years and  
19 they would remain in stage 3 so that if they needed this  
20 facility they could use it, if necessary. So limiting  
21 the time frame on the permits, to me, becomes a moot  
22 point because of the requirements of the emergency  
23 consideration of the permit. And as far as a hardship,  
24 renewing the permits, I'll let Bob speak to that.

25 MR. GRESENS: Well, the sizable investment that we

1 two, at least, after that review period to actually get  
2 to that adoption hearing on that document.

3 MR. DELGADO: So adoption hearing, is that,  
4 ballpark, one year out?

5 MR. GRESENS: We're definitely trying to do better  
6 than that. You know, I may be overly optimistic because  
7 I tend to be overly optimistic at times, but I would  
8 think a four- to six-month period is probably the best  
9 we'd be able to do.

10 MR. DELGADO: Thank you.

11 BOARD CHAIR: Mr. Jeffries?

12 MR. JORDAN: No questions.

13 BOARD CHAIR: Dr. Hunter, Mr. Johnston, Mr. Jordan?  
14 I do not have any questions either.

15 Thank you very much.

16 Next we will proceed with the speaker cards that I  
17 have. We will allocate three minutes for each of you,  
18 and you'll get a little warning light that tells you  
19 when you are close to your three minutes. Some of you  
20 on your speaker cards identified agenda Item 20 and 21.  
21 It doesn't mean you get six minutes. I want to be sure  
22 we get our math right. So first card, when you come to  
23 the podium, you've got three minutes.

24 In order to facility the process, because assuming  
25 we move right along there's about an hour's worth of

1 had to finance is one thing to consider as well, but,  
2 yes, I believe it would create a hardship to have a  
3 limit on these permits. We have again the regular  
4 coastal development permit process to go through. That  
5 could be a smooth process, it could be a very arduous  
6 process, depending on whether it gets appealed and so  
7 forth, and the same could be said of the environmental  
8 EIR process, so these can all hit iterations, if you  
9 will, so our preference and, as our general manager,  
10 Mr. Gruber, stated, is not to have that, so we would  
11 like to see the permits get approved as written, as they  
12 are currently in front of you.

13 MR. DELGADO: Do you have an internal estimate when  
14 you hope to be complete with the regular coastal  
15 development permit and the regular EIR, not the  
16 emergency one, but the --

17 MR. GRESENS: Yes. Our Board is meeting on the  
18 20th. Assuming they approve the contract for the  
19 regular EIR, it will probably take at least three months  
20 to produce that document, and then it will go out for  
21 public review at that point. So that public review  
22 period will probably be a 45-day period, and there'll be  
23 a collection of comments, the response to comments  
24 developed, and after that the Board would adopt it  
25 eventually, so there's probably going to be a month or

1 public comments coming, we will announce three names at  
2 a time and I would like you to queue in, you know,  
3 behind the podium. That way we can accelerate a little  
4 bit, at least, that part of the process.

5 So I will call first Ted Siegler, then Tina  
6 Dickanson, and then Elizabeth Bettenhausen.

7 MR. SIEGLER: Good afternoon. I'm Ted Siegler.  
8 I'm a full-time resident of Cambria.

9 For the most of my life I've taken safe reliable  
10 water for granted. Indeed, most Californians feel that  
11 way, despite the historic drought. The severity of the  
12 local emergency, exacerbated by the fact that Cambria is  
13 isolated from any secondary course source of water, has  
14 brought concerns about safety and reliability into sharp  
15 focus. Cambrians have been severely challenged. With  
16 completion and operation of the advanced water treatment  
17 plant, we'll have a measure of relief.

18 At the last Community Services District Board  
19 meeting, the District staff reported that our community  
20 reduced water consumption in July and August by 41  
21 percent, compared to the same period in 2013.  
22 Commercial users conserved 35 percent, while residential  
23 users conserved an amazing 57 percent. While we were  
24 allowed 50 gallons of water per person per day, most of  
25 us used significantly less.

129

1 The actions taken by our community include: The  
 2 fire department did not flush or test hydrant feeds,  
 3 State Parks closed showers and bathrooms, our town  
 4 closed its public restrooms, the VIN promoters trucked  
 5 in water for use at events, CCSD installed an extensive  
 6 signage promoting conservation, restaurants stopped  
 7 serving tap water and began selling bottled water in  
 8 compostable plastic cups to reduce washing, restaurants  
 9 closed and limited access to restroom.

10 Where restrooms were closed, porta-potties have  
 11 been employed. Residents were prohibited from using  
 12 potable water for outdoor uses. They've employed  
 13 strategies such as storage tanks or gardening services  
 14 to make nonpotable water available for landscape  
 15 maintenance. In many cases we've modified our  
 16 landscapes as well. Indoors, residents flush toilets  
 17 less often, take fewer showers, haul water from sinks  
 18 and showers for reuse and generally stop and think  
 19 before turning on any tap.

20 Measures such as these take a toll on public  
 21 safety, health and hygiene, and our tourist-based  
 22 economy. These things are things that can be done  
 23 during a crisis, but they would severely impair our  
 24 community if we don't resolve our water problems in the  
 25 longer term.

130

1 Since we have no idea how long the drought will  
 2 persist or when or whether it will recur, we're looking  
 3 to the water treatment plant to supplement our water  
 4 supply without being able to predict the exact timing.  
 5 This solution requires the Regional Water Quality  
 6 Control Board permits, permits for a full five-year term  
 7 to provide for emergency operations whenever they occur.

8 Today we are very pleased that the construction of  
 9 our advanced water treatment plant is coming to a close  
 10 and that the Regional Water Quality Control Board is  
 11 poised to issue permits that will allow operation.

12 Cambrians thank you.

13 BOARD CHAIR: Thank you for your comment.  
 14 Tina Dickanson next.

15 MS. DICKANSON: Good afternoon, Tina Dickanson,  
 16 Cambria. I have so much more. I had three speaker  
 17 slips in but apparently I'm limited to one. My concerns  
 18 are many. I would urge you not to issue a five-year  
 19 permit. I think would be a gigantic mistake.

20 I think permitting the project is premature and  
 21 from what I have both read in the reports and heard from  
 22 you today, as well as staff, it is apparent there are  
 23 many issues to be addressed. The fast tracking of this  
 24 project, the evaporation pond in close proximity to not  
 25 only State Parks and a campground, but also through

131

1 homes that are even closer to the borderline there, and  
 2 who knows what illnesses may occur from the evaporation  
 3 of the effluent pond.

4 On the issue of the five-year, I would ask that  
 5 there be a reopener here, that you have a lot before you  
 6 to decide on this project. This was not an emergency,  
 7 as it was described in the fall of 2010. The Board  
 8 actually issued a -- a moratorium was lifted in March of  
 9 2013, even though we know we were in the second year of  
 10 drought. On August 22 there was an ordinance passed to  
 11 issue 20 intent to serves in September, but we learned  
 12 then, 10 days after that, that we were in this dire  
 13 crisis.

14 Somehow we've gotten through that to November now,  
 15 the middle of November. I'm asking and I have very  
 16 little time, but I'm asking you to think through this  
 17 and delay this until -- I went there yesterday, the  
 18 project is not complete. The liner was not even  
 19 complete. I have pictures for you if you would like to  
 20 see them. This project is not completely built, and no  
 21 way should it receive a permit today and if -- I would  
 22 ask that it be reopened. Thank you very much.

23 BOARD CHAIR: Thank you for your comment.  
 24 Next, Elizabeth Bettenhausen, and again three  
 25 minutes total.

132

1 MS. BETTENHAUSEN: Thank you very much,  
 2 Mr. President, and I do want to say at the very  
 3 beginning that I am exceedingly -- and I'm not just  
 4 trying to bribe you, I'm exceedingly impressed with the  
 5 questions that this Board has posed. When I used to  
 6 serve on Boards, I never ever achieved that standard,  
 7 and I seriously mean it.

8 The first thing I want to say is that when I moved  
 9 to Cambria 12 years ago, I took this photograph of a  
 10 pocket gopher. The pocket gopher, and my sister and my  
 11 mother, we have become -- I hate to say it -- enemies.  
 12 That's the only living thing I kill apart from cucumber  
 13 beetles.

14 And it's not just in our yard, it is out there by  
 15 that. I would like to read to you this sentence from  
 16 the Wildlife Damage Management. It's let's be nice to  
 17 wildlife, but in my book right now, let's kill them, but  
 18 I don't want to sound too anti-CEQA at the moment.

19 "Damage caused by gophers include destruction of  
 20 underground utility cables and irrigation pipe, direct  
 21 consumption and smothering of forage and earthen mounds  
 22 and change in species composition. It can also erode  
 23 large hills and make them flow away. Pocket gophers  
 24 also invade yards, fences, et cetera. A single gopher  
 25 moving down a garden row can inflict considerable damage

1 in a very short time. They also gnaw on and damage  
 2 plastic water lines and lawn sprinkler systems."  
 3 You all know this. I'm not giving you new  
 4 information. What I'm saying is we have heard nothing  
 5 about that we're going to make a four-foot trench, which  
 6 probably has the pocket gophers out there clapping, to  
 7 try to protect that evaporation pond. They can chew  
 8 that fancy lining in approximately a half an hour, and I  
 9 can leave these copies if you'd like to see what may be  
 10 a mediocre picture, but excellent scientific analysis of  
 11 pocket gophers.  
 12 The other thing I certainly want to say is that you  
 13 have not heard anything about how come the tracer test  
 14 went so quickly in those 58 days. Why, did that soak  
 15 over there so quickly. It turned out that the ground  
 16 was much more permeable than they had thought in their  
 17 hydrogeological modeling, and this is one instance where  
 18 reality put the numbers down.  
 19 Again and again in this project, since we've been  
 20 reviewing it in the mid-summer, we have found numerical  
 21 modeling claiming to be reality. I am not saying that  
 22 numerical models don't have anything to do with reality,  
 23 I'm saying that numerical models must be tested by  
 24 reality and the monitoring so far in this project is far  
 25 too iffy.

1 perpetrated on this Board and many regulatory agencies  
 2 by hiding under the veil of the Governor's declaration  
 3 of emergency. They pushed this project through that big  
 4 loophole, and it really makes me mad.  
 5 I'm an environmentalist, and I hear all these scare  
 6 tactics, we're going to run out of water. The District  
 7 has said we were going to have sand coming out of our  
 8 taps if we don't go to a stage 3 emergency, and then all  
 9 of a sudden we have six months' worth of water. And if  
 10 you would put up those graphs that we were talking about  
 11 earlier about the water production, you would see that  
 12 both San Simeon and Santa Rosa Creek are above average.  
 13 But it's not by accident, it's because we do conserve a  
 14 lot of water. I personally use 25 gallons a day, always  
 15 have. Not a big problem for me, but I can understand  
 16 other people's issues.  
 17 So I am definitely for water reuse. I think it's a  
 18 California's future, but I think we've been deceived  
 19 here, and that really makes me angry and it ought to  
 20 make you angry.  
 21 Some of the constituents in our natural geology,  
 22 San Simeon Creek has mercury, which is methylizing now,  
 23 but it also has chromium, hexavalent chromium and  
 24 asbestos and these were excluded in the analysis of what  
 25 goes into that brine pond, and I'd like to know why that

1 The one big issue I have about the speed at which  
 2 we're going is that I use approximately -- here's  
 3 bragging, listen to it -- 15 gallons per day. Fifteen,  
 4 one-five. I didn't start doing that when the drought  
 5 hit, I started doing that when I was taught by my  
 6 parents who grew up in North Dakota.  
 7 And, friends, if you think we've got an emergency,  
 8 you aren't listening to the real numbers that CCSD puts  
 9 out, which I'd love to give you, because we don't have a  
 10 water emergency, we have a definition of quality of life  
 11 emergency in Cambria.  
 12 Thank you.  
 13 BOARD CHAIR: Thank you for your comment.  
 14 The next I will call three speakers, Richard Holly,  
 15 we have Mary Webb and Lynn Harkins, please.  
 16 MR. HOLLY: Good afternoon, Board. My name is  
 17 Richard Holly, and I'm a 40-year resident of Cambria.  
 18 If this hasn't become really clear to you people up  
 19 here and to many in the audience, this is not an  
 20 emergency project, this is a full-blown public works  
 21 project. I think some of you alluded to that in some of  
 22 your questions.  
 23 Now, I think the whole idea that's being put forth  
 24 here about reuse of water is a good idea. What's wrong  
 25 with it is that the deception that the CCSD has

1 was, because they certainly will be highly concentrated  
 2 over time, too.  
 3 Your staff has questioned the tracer test, and for  
 4 good reason, and I hope they actually do conduct another  
 5 tracer test. I think we ought to do that now instead of  
 6 later.  
 7 The droplet size of the undisinfected wastewater  
 8 created by the five aerators is really worrisome to me.  
 9 You know, I think you can see how close the campground  
 10 is to the pond, you can see there's residences around  
 11 there, and I hope you -- there's so much to talk about  
 12 here. I hope you really consider putting some serious  
 13 constraints on this.  
 14 Thank you.  
 15 BOARD CHAIR: Thank you for your comment.  
 16 Next, Mary Webb, please, and could Lynn Harkins  
 17 also come behind the podium. That way we save a little  
 18 bit of time in between speakers. Thank you.  
 19 MS. WEBB: I'm Mary Webb, vice president of  
 20 Greenspace. Greenspace is supporting recycled water, of  
 21 course. I mean we've done that for years. But as Rick  
 22 just said, this is not a temporary, portable emergency  
 23 water supply project, it's not going to provide water,  
 24 it's -- they're extending the permit already for a year.  
 25 What was described at the beginning of this year was

137

1 \$1.5 to \$4 million potable desalination machine that  
2 would be turned on by July 1.  
3 Obviously, this is a permanent Public Works  
4 project. The District engineer is already talking about  
5 phasing, looking into future with where he wants to go  
6 with the brine outfall, so the way he filled out his  
7 application to the County is erroneous. The County  
8 emergency permit -- basically, the coastal development  
9 permit should have been completed within 30 days of that  
10 emergency permit.  
11 There is no coastal development application. I  
12 just have to tell you, it's not complete. I just talked  
13 to Aaron today. The emergency permit expires in 180  
14 days, it expired today, and Aaron just told me that the  
15 County reextended the CSDs 180-day emergency permit for  
16 another 180 days and they still don't have a coastal  
17 development permit application. So basically the  
18 District intends to run this as a permanent stage 3  
19 emergency project forever. I guess we're always just  
20 going to be in a stage 3 emergency crisis.  
21 There was no supporting evidence that we're in the  
22 emergency. I gave you the well levels yesterday.  
23 August, of Emergency Services, Department of Drinking  
24 Water and DPH did not provide an analysis of our water  
25 situation when they declared that we're in an emergency

138

1 condition. There's no record that shows what the  
2 emergency is. All we do know is that Cambrians are  
3 suffering because they're limited on outdoor watering  
4 and are limited to 50 gallons per person per day.  
5 The project has already caused damage. There was  
6 unpermitted grading that was not allowed in the  
7 emergency permit, trenching, they built roads that were  
8 not permitted. I just found out today that construction  
9 occurred underneath the creek to install some kind of  
10 pipelines into the creek channels, pipelines were buried  
11 instead of temporary and above ground and/or not looking  
12 at the whole picture of the project, so cumulative  
13 impacts are heading our way.  
14 I would request that if you're going to approve  
15 this permit, you approve it with conditions that you  
16 require temporary operation and during dry season only,  
17 and specify what does "dry season" mean because this  
18 language is really slippery.  
19 We need to define a stage 1 and 2 and 3 emergency.  
20 If we're in a stage 3 emergency for the project, then  
21 we're in stage 3 emergency for people who live there and  
22 we're in stage 3 emergency for tourism. That means no  
23 increased amount of water should come out of this  
24 project for residents or tourists. We should stay with  
25 portable potties, all of that. We need to condition the

139

1 permit for just one year, instead of five.  
2 BOARD CHAIR: Please wrap up.  
3 MS. WEBB: Require the second tracer test should be  
4 done in the dry season as the first --  
5 BOARD CHAIR: Thank you.  
6 MS. WEBB: -- tracer test was done.  
7 BOARD CHAIR: Thank you very much.  
8 MS. WEBB: No growth should be allowed on this  
9 permit.  
10 BOARD CHAIR: Thank you.  
11 Lynn Harkins.  
12 MS. HARKINS: Good afternoon, members of the Board.  
13 My name is Lynn Harkins. I'm a resident of Cambria. In  
14 your packet at the end of the numbered pages, on page 71  
15 of the 98 pages that are stapled together there, item 2  
16 from the questions that came out of the multi-agency  
17 meeting where Fish and Wildlife, your people, the  
18 Coastal Commission, their item 2 was property ownership.  
19 "Has the District resolved the parcel boundary issue  
20 with State Parks? If not, what is the status of that  
21 issue and is the District proposing any changes to the  
22 project location or layout?"  
23 Now, as public trust agency, if public trust  
24 land -- the State Park's land over there which I will  
25 just go point out to you -- is being degraded by the

140

1 dumping of District wastewater, which it is, it says in  
2 your -- earlier in this document as well that San Simeon  
3 Creek is being degraded by wastewater discharge to land.  
4 Now, that land I'm going to show you up there where  
5 roughly the State Parks lot is, and State Parks wrote a  
6 letter to me and told me they would be serving to  
7 reaffirm their boundaries and that no wastewater  
8 percolation ponds would be allowed on their land. Now,  
9 that survey has not occurred and in the meantime the  
10 State parks acknowledged that its CCSD, the burden of  
11 proof is on them to show that they own that land and  
12 they have not shown that they own it.  
13 May I go give you a rough idea where it is?  
14 Because it takes up about half of the percolation pond  
15 area.  
16 This the quarter, this is the top of the  
17 campground, the upper campground. Their line goes all  
18 the way across here, and all the below here is  
19 unquestionably State Parks land, and that includes San  
20 Simeon Creek here. Then they have a lot that roughly  
21 goes up the line of Van Gordon Creek and cuts across  
22 here and front of 9P7. It takes out all of these  
23 percolation ponds that belongs to State Parks,  
24 California State Parks. The lot number is 013061024, I  
25 think, or maybe that's the District one.

141

1 So the north boundary of State Parks comes up  
2 against the south boundary of CCSD's, and CCSD wants the  
3 property line to be the line of San Simeon Creek and it  
4 is not. Originally when the lot line was drawn, San  
5 Simeon Creek was much further north, but the property --  
6 when CCSD acquired this property in 1988 -- they were  
7 created in 1976, and in 1988, by a special interagency  
8 action, their lot was created as of this. I can't get  
9 that document because it has an "I" in it so it's in the  
10 interagency somewhere but this is not --  
11 BOARD CHAIR: Please wrap up your comment.  
12 MS. HARKINS: Your staff told me you would not  
13 issue a waste discharge --  
14 BOARD CHAIR: Miss, your three minutes are over.  
15 Thank you very much for your comments. Thank you.  
16 The next speaker, and I will call three names, it  
17 will be Gordon Hensley, Barbara Brouson-Grey, and Greg  
18 Bates, please. Thank you very much.  
19 UNIDENTIFIED SPEAKER: And we're handling both 20  
20 and 21 at once?  
21 BOARD CHAIR: Yes, three minutes.  
22 MR. HENSLEY: Mr. Chairman, for expedition  
23 purposes, Mr. Bates had to leave and so if you could  
24 call another name, it would speed it up.  
25 BOARD CHAIR: Thank you for pointing this out.

142

1 So Mr. Paul Carlson, please.  
2 MR. HENSLEY: Chairman Wolff, honorable Board, I'm  
3 Gordon Hensley. I'm the San Luis Obispo Coastkeeper.  
4 Our focus is on protecting the swimmable, fishable,  
5 drinkable water. Seems like an appropriate topic for  
6 today.  
7 The focus of the what's going on today is really an  
8 emergency permit, and it seems improper for you to be  
9 pressured and staff to be pressured into thinking about  
10 a long-term project to resolve Cambria's problems. This  
11 is an emergency permit that we're talking about.  
12 We share the concerns that Fish and Wildlife, the  
13 agency formerly known as Fish and Game, the State parks  
14 and the Coastal Commission have expressed to you as  
15 well. We are concerned that there are direct and  
16 cumulative impacts of this project that will adversely  
17 impact sensitive coastal habitats, and there's potential  
18 harm in that to four rare and endangered species.  
19 I'm also a little unclear about the water that's  
20 supposed to go to San Simeon Creek. You've been  
21 informed that the system is all in balance and all  
22 working perfectly. As I understand it, there was  
23 144,000 gallons per day that was supposed to be going to  
24 the creek that is now out of that system that was  
25 balanced. So where is that water now going to go and

143

1 how long is that going to take to fill up that pond?  
2 I would also ask that you investigate the options  
3 that you have to limit this permit. As it's currently  
4 written it is governed by a stage 3 drought condition,  
5 and you've been told by the consultants and the District  
6 that that's at their direction. They are the ones who  
7 determine that stage 3 alert.  
8 Thank you.  
9 BOARD CHAIR: Thank you for your comment.  
10 MS. BROUSON-GREY: Good afternoon. I'm Barbara  
11 Brouson-Grey, and I am a trustee of the Cambria  
12 Community Health Care District. I'm also a registered  
13 nurse and a member of the State's medical reserve corps.  
14 I mention that because it will be germane to what I am  
15 going to tell you.  
16 We voted, the Cambria Community Health Care  
17 District voted unanimously just a few weeks ago to  
18 support a regular coastal development permit for the  
19 CCSD emergency project to provide a stable and long-term  
20 supplemental supply of clean, fresh drinking water, and  
21 that's one of the few times we have voted unanimously.  
22 We've heard a lot about what isn't the case and  
23 because I consider myself a bit of a health expert, I  
24 would like to lay out the groundwork for you to fully  
25 understand the risks that Cambria takes every day while

144

1 we try to reduce our water consumption, and please  
2 excuse me for being a bit frank at first here because  
3 I'm going to talk about toxic toilets, not something I  
4 normally talk about in public.  
5 But if you go into most of our homes, you'll find a  
6 toilet that has not been flushed most of the day unless  
7 there's been a deposit of significance. Urine is not  
8 sterile, contrary to what some people think. It's full  
9 of small bacteria, and stagnant urine grows bacteria,  
10 and splatters can cause disease and infection.  
11 If you have come into one of our homes and you need  
12 to use the restroom, most of us will say "Oh, hold on a  
13 minute" and we'll run in and flush the toilet.  
14 When it comes to public toilets we have a different  
15 issue and that is that there is no running water in the  
16 public toilets now because we've been forced to close  
17 down the Cambria official toilets, as you've heard. So  
18 the porta-potties, or outhouses, sometimes have some  
19 hand cleanser in them and sometimes do not. Many of the  
20 restaurants have closed their own bathrooms to the users  
21 of the restaurants and so people who are dining need to  
22 actually use toilets of this nature. Imagine here in  
23 this office if you were using porta-potties for months  
24 and months and months without running water.  
25 In addition, we have cold and flu season now, and

145

1 you may not realize it, but to properly wash your hands  
2 you need at least two quarts of water over at least 30  
3 seconds, running so that you can actually get between  
4 your digits and get both sides of your palms and all of  
5 that.  
6 People who are so uptight that they brag about how  
7 many units they use may not be properly washing their  
8 hands, and this is causing health issues in our schools,  
9 it's causing issues in our restaurants, and as the flu  
10 season hits it will probably affect people  
11 deleteriously.  
12 Fire. We heard a quick reference to fire. We  
13 probably will hear more soon, but not having enough  
14 water makes it different.  
15 In conclusion, we shouldn't have to live like an  
16 underdeveloped country, and I ask that you please  
17 approve the permits for a full five years.  
18 BOARD CHAIR: Thank you for your comment.  
19 MR. CARLSON: Good afternoon, and thank you for  
20 listening to my comments.  
21 My name is Paul Carlson, and I, first of all, would  
22 like to thank the Water Board staff for its review and  
23 recommendation for approval of the CCSD permits. I urge  
24 the Water Board to follow their recommendation and  
25 approve the permits for a full five-year period to allow

146

1 Cambria to have use under emergency conditions without  
2 further delays and expense in the future.  
3 While I have been a resident of Cambria since 2005,  
4 I have first enjoyed the tourist atmosphere of Cambria's  
5 motels, restaurants and unique shops in the early 1980s.  
6 At that time the restaurants I remember were the Gray  
7 Fox Inn and Brambles. The Gray Fox Inn is now Robin's,  
8 and Brambles has been closed for some time but hopefully  
9 will be reopening in the future, given an adequate water  
10 supplied made possible by regular permitting for CCSD  
11 emergency water supply project. I'd like to point out  
12 that a restaurant like Brambles would possibly employ 30  
13 to 40, 50 people, part time and full time.  
14 On the Central Coast of California, the Cambria  
15 economy is an economy of tourism, and an adequate water  
16 supply is necessary for that industry to succeed. Some  
17 Cambrians depend on the motels, restaurants and shops  
18 for employment and income. One Cambria business, the  
19 Moonstone Beach Bar & Grill has been seriously impacted  
20 by the Cambria water crisis. Initially, the owners of  
21 the restaurant said they have to reduce their hours to  
22 dinnertime only due to the water crisis. As it is,  
23 where the restaurant used to be open all afternoon, it  
24 is now closing from 3:00 to 5:00 p.m. daily. This  
25 landmark restaurant has a wonderful outdoor patio with

147

1 an incredible view of Moonstone Beach, and it is  
2 important to Cambrians that it continue in business.  
3 The importance of tourism to Cambria and its  
4 visitors is reflected in the 1 million visitors annually  
5 to Cambria and the Hearst Castle. There was \$27 million  
6 of total revenue received by hotel and motel, vacation  
7 rental, and bed and breakfast in the year 2011. This  
8 revenue is an indication of the importance of the  
9 tourism provided by the Cambria businesses.  
10 In closing, the need for this water supply project  
11 on an ongoing and regular basis is paramount. To deny  
12 these permits and thus to deny Cambria a stable  
13 supplemental water source would harm our community's  
14 health, safety and well-being as well as our economy.  
15 I again ask for the approval of these permits for  
16 the full five-year period as recommended by your staff.  
17 Thank you.  
18 BOARD CHAIR: Thank you for your comment.  
19 The last three speaker cards will be Jim Crescenzi,  
20 Jerry Gruber, and Mark Rochefort.  
21 MR. ROCHEFORT: Again, this is Mark Rochefort.  
22 Mr. Crescenzi had to leave so he will not be able to  
23 present, and with that we'll let Mr. Gruber go forward.  
24 MR. GRUBER: Good afternoon, Chairman Wolff and  
25 Board members.

148

1 80 percent of Cambrians support this project.  
2 There was a Prop 218 passed to fund this project and to  
3 get the money to borrow for this project. We've fronted  
4 out of our limited reserves \$2 million for this project,  
5 and we're hoping that the money comes through here so we  
6 can get that paid back to our general fund.  
7 As I said, Cambrians have saved 40 percent of water  
8 over the last several months. Many of the people here  
9 represent that savings in water. Please don't take this  
10 wrong because I'm middle-aged but I will be elderly one  
11 day, and many of the elderly people in this audience  
12 have contributed to that 40 percent savings, and they  
13 are literally hauling buckets up and down and there's  
14 real health concerns associated with that. I'm not  
15 trying to overdramatize the situation, but that's the  
16 reality of it.  
17 I also wanted to thank your staff here. They have  
18 worked diligently over the last several months. They  
19 have not rubberstamped this project by any stretch or  
20 means. They took a very proactive and conservative  
21 approach to this project that resulted in the numerous  
22 safeguards that we talked about earlier regarding the  
23 brine pond and gopher mitigation and things like that.  
24 They were firm but they were fair.  
25 I remember an early email from me to Ken Harris

149

1 because I was a little frustrated, to be honest with  
 2 you, and I thought they were taking a too-conservative  
 3 approach, and I commented that when this pond is done it  
 4 will also act as a fallout shelter for the residents of  
 5 Cambria, it'll take a direct hit from a meteor and will  
 6 repel any ISIS attacks, so we feel confident that this  
 7 pond is built adequately to address any concerns that  
 8 you may have.

9 I found it a little troubling to receive letters on  
 10 the 11th hour from Coastal Commission and from Nick  
 11 Franco at State Parks. I think we have a pretty good  
 12 working relationship with both of them, we reached out  
 13 to both of those agencies. And one of the things I  
 14 helped Tom up at the Coastal Commission understand is  
 15 his role, and I think that's one of the things that's  
 16 important in this.

17 Although Tom has the right to say he recommends a  
 18 year, I don't think it's necessarily his role. His role  
 19 is to help our community obtain a regular coastal  
 20 development permit.

21 I'm thankful for CDM Smith and their team.

22 And just really quickly -- I have 10 minutes' worth  
 23 of stuff and only three minutes to talk about it -- but  
 24 everybody is entitled to their own opinions but  
 25 everybody is not entitled to your own facts. And as we

150

1 positioned myself with a group of some of the best in  
 2 the world, I think they have presented you with a lot of  
 3 good facts. This graph is factual to a certain extent,  
 4 but it does not tell the entire picture. It doesn't  
 5 tell the picture of the Santa Rosa Creek aquifer and so  
 6 it's only partial.

7 So thank you.

8 BOARD CHAIR: Thank you for your comment.

9 MR. ROCHEFORT: Mr. Chairman, Madam Vice Chair,  
 10 members of the Board, my name is Mark Rochefort. My  
 11 wife and I have owned a home in Cambria for 27 years.  
 12 We've been full-time residents for the last two and a  
 13 half years. I'm the co-founder of Cambrians for Water.  
 14 You've heard from some of our membership today. We're  
 15 all wearing the same shirts.

16 In any event, Cambrians for Water is a grassroots  
 17 organization. It was founded less than three months ago  
 18 in Cambria and it was founded for the purpose of  
 19 supporting the CCSD and in particular supporting the  
 20 emergency water supply project. We have grown to over  
 21 700 members in less than three months. That fact,  
 22 together with the recent election in which two of our  
 23 Board directors, incumbents who support the project,  
 24 were reelected by overwhelming majority, coupled with,  
 25 as well, the fact that only 20 percent of our community

151

1 protested the rate increase for the bond necessary to  
 2 fund this project, I believe, and I say this with  
 3 humility, indicates that I and my co-members of  
 4 Cambrians for Water speak for the majority of our  
 5 community, not those naysayers who would not have this  
 6 project.

7 In January and again in April, Governor Brown  
 8 issued two very extensive proclamations. He did so to  
 9 deal with the exceptional drought situation in this  
 10 state. He did it because it's affecting all  
 11 Californians, it's affecting all of America, much of the  
 12 world, because a great deal of the world's economy  
 13 depends on California's agriculture and California's  
 14 other industries. It is not a loophole, it was a  
 15 proclamation that did many things.

16 One thing it did most assuredly was that it  
 17 required agencies such as this act in a streamlined and  
 18 expeditious fashion while at the same time maintaining  
 19 the high standards and quality of drinking water as well  
 20 as the precious groundwater resources. With all due  
 21 respect to the Governor, I think it falls under the  
 22 cliché that's easier said than done.

23 Well, I am very pleased to say that your staff did  
 24 it. In just a few months, they pulled together a  
 25 terrific team and they cooperated and collaborated with

152

1 the CCSD, with the Division of Drinking Water within the  
 2 State, and they put together a permit and a project that  
 3 was better than when this process began. And I want to  
 4 thank your staff and in particular I'm going to call  
 5 them out. I apologize in advance for mispronunciation,  
 6 but Mr. Lodge, of course, beginning with Mr. Harris,  
 7 Mr. Souza, Mr. Lodge, Ms. Tryon, Mr. Robertson,  
 8 Mr. Packard, Mr. Cole, Sheila Soderberg, Jeff Densmore,  
 9 Randy Bernard, Brian Bernattos and Chris Dadayo. We're  
 10 so grateful.

11 BOARD CHAIR: Thank you.

12 MR. ROCHEFORT: We are grateful and we appreciate  
 13 it very much. We have written an article for the  
 14 Tribune and we hope to broadcast what great public  
 15 servants you are.

16 BOARD CHAIR: Thank you.

17 Mr. Harris, this would be an opportunity for staff  
 18 to comment.

19 MR. HARRIS: Yes, and if the Board has any  
 20 questions for staff, maybe Brian and Howard, could you  
 21 come back up to the table here in case we have some  
 22 questions, and then I'll make a couple comments.

23 BOARD CHAIR: All right, let's have any question  
 24 from Board to staff, and then staff can add any comments  
 25 that they have based on some of the input from the

153

1 public.  
2 So we'll start on my right. Mr. Jordan?  
3 MR. JORDAN: Thank you, Mr. Chair.  
4 I think just one quick question. Just to confirm  
5 on the issue of what we've heard today, what it actually  
6 may look like in the future, particularly with the WDRs.  
7 But I just want to confirm, WDRs, by their nature --  
8 well, any discharge, by nature, doesn't give you a  
9 vested right and the allowance also of a permit, a WDR  
10 permit also does not give the recipient a vested right.  
11 It remains a privilege, is that correct?  
12 MR. KOLB: Yes.  
13 MR. JORDAN: By the way, that quote, in almost four  
14 years, "would you like me to speculate?" I'm going to  
15 remember that one for a long time. You didn't get the  
16 answer you wanted.  
17 So if it remains a privilege and can be reviewed,  
18 are there thresholds or standards as the WDR goes  
19 forward that would reasonably have to be met or  
20 questioned to bring it back for reconsideration?  
21 MS. OKUN: Can I answer that question?  
22 MR. JORDAN: You certainly may.  
23 MS. OKUN: All of the orders before you have  
24 follow-up reports that are required because this is a  
25 new facility and it's based on some existing monitoring

154

1 data and some modeling data, but the District has to  
2 submit additional reports to confirm that the  
3 assumptions were valid and that the facility is  
4 performing as expected.  
5 In addition, by statute, if the District makes any  
6 changes to the facility as a result of a CEQA process or  
7 for any other reason that could materially affect the  
8 discharge, including the volume of the discharge or the  
9 location of the discharge or the quality, the discharger  
10 has to submit a report of waste discharge so that the  
11 staff and the Board can consider whether modifications  
12 to the WDRs are required.  
13 The Title 27 impoundment order currently includes a  
14 requirement that the District submit a report of waste  
15 discharge in about four and a half years, even if there  
16 aren't any material changes. But at any time that  
17 there's new information or for any reason, staff or the  
18 Board determine that it's necessary to reconsider the  
19 requirements and whether they're adequate to protect  
20 water quality, the Board can reopen the WDRs to make  
21 the --  
22 MR. JORDAN: For example, let's say an EIR is done  
23 as part of the process with the County and it happens to  
24 turn up four or five actual class 1 impacts that can't  
25 be mitigated and someone at the Board level thought that

155

1 those impacts had a direct relation to water quality,  
2 would that be an example of how it could come back for  
3 reconsideration?  
4 MS. OKUN: I don't know what a class 1 impact is.  
5 MR. JORDAN: A class 1 impact is an impact that  
6 cannot be mitigated, in an environmental report.  
7 There's no way to mitigate it, it is a known impact that  
8 there's no possible mitigation for.  
9 MS. OKUN: It's hard to answer that in a vacuum  
10 because I don't know what those impacts might be, but  
11 whether there's an impact that's mitigable or not  
12 mitigable or the Board needs to require additional  
13 requirement, needs to impose additional requirements to  
14 protect water quality, you can always do that.  
15 Once a permit is issued, you've complied with CEQA  
16 or you haven't, and 30 days or 35 days goes by. If  
17 another agency undertakes a CEQA study that reveals new  
18 impacts, the Board, for CEQA reasons or for water  
19 reasons, doesn't necessarily have to reopen its order,  
20 but if the Coastal Commission or the County requires  
21 changes to the projects to mitigate those impacts and  
22 those changes change the discharge or create new water  
23 quality impacts they would need a different permit  
24 because they --  
25 MR. JORDAN: Or the inability to mitigate.

156

1 MS. OKUN: Right.  
2 MR. JORDAN: So I guess what you're saying is  
3 there's broad latitude to look at it again if for some  
4 reason someone thinks it should be looked at again.  
5 MS. OKUN: Yes.  
6 MR. JORDAN: Thank you.  
7 Thank you, Mr. Chair.  
8 BOARD CHAIR: Mr. Johnston?  
9 MR. JOHNSTON: I have two concerns that I suspect,  
10 from listening to my fellow Board members through the  
11 day, a number of Board members share with me. One is  
12 the one that my colleague, Mr. Jordan, was just  
13 addressing. The fact that we are fast-tracking this and  
14 making sure that we don't miss stuff looking backwards  
15 in the future, and, two, it's a question of permitting  
16 on an emergency basis something that's potentially  
17 really just long-term infrastructure.  
18 I want to address those one at a time, and I don't  
19 want to pontificate much here because they do end up  
20 with questions.  
21 You folks weren't here yesterday, most of you, but  
22 as part of our drought report we got a report on the  
23 activities that this Board is not doing in order to  
24 focus all the staff time that we've focused on Cambria,  
25 and mostly it was around landfills. There's three

1 different landfills that are awaiting our final review  
 2 and approval so that they can open, and the operators  
 3 are going to have to open them -- either wait or open  
 4 them at their own risk without that. The normal  
 5 inspections we would do of landfills to ensure they're  
 6 ready for the winter season we're not doing, review of  
 7 the semi-annual groundwater monitoring and wet-weather  
 8 report for some high-priority landfills, a couple of  
 9 other pretty major questions regarding landfills, this  
 10 is important stuff that's part of our work. We're not  
 11 doing it and we haven't done it in order to do this  
 12 work, because this is a priority because we realize this  
 13 community is in difficult situation.

14 I'm reluctant to move, as the gentleman from the  
 15 Coastal Commission suggested, to a one-year permit  
 16 because I know what that means for our staff. There's a  
 17 tremendous amount of staff work that goes into bringing  
 18 this back to us, so I guess I want to hear on that  
 19 question, really, from you, Mr. Harris, as to how you  
 20 see dealing with this as we go forward, assuming that we  
 21 follow the staff recommendation and issue a five-year  
 22 permit, and understanding the answer that Mr. Jordan  
 23 just got that, really, all these permits, as well as the  
 24 operations of maintenance and management plan, we can  
 25 reopen at any time. And understanding we've got a CEQA

1 their consultants, this has been done very, very  
 2 quickly, but they have been very responsive. You've  
 3 heard from them that we asked them to do a number of  
 4 things to strengthen the project in terms of  
 5 environmental protection, and they turned around and did  
 6 it.

7 I mean, that gopher fence, that happened in about a  
 8 week and a half, we started seeing problems with  
 9 gophers, and we did not hesitate to call them on that.  
 10 We brought in an expert from California Fish and  
 11 Wildlife on a conference call to discuss the issue, and  
 12 within a day or two they had the wire ordered, they had  
 13 the trenchers out there and they were ready to make  
 14 those changes. So they have been a good partner to work  
 15 with and my expectation is that they will continue to be  
 16 a good partner as we go forward. So I have a high level  
 17 of confidence that this project has been properly  
 18 designed, I think there are adequate safeguards, and, as  
 19 been described in a number of other, like the County who  
 20 will be looking at it and make some decisions and we'll  
 21 be following those.

22 MR. JOHNSTON: I assume when the CEQA review comes  
 23 out that our staff will review that as well and see if  
 24 that raises questions we need to return to.

25 MR. HARRIS: Yes.

1 presumably coming down the road, what's your thought on,  
 2 assuming we issue these permits on a five-year basis,  
 3 kind of what we're going to be doing looking at it and  
 4 returning to it if necessary?

5 MR. HARRIS: I think the staff has done a good job  
 6 of outlining the additional steps. I mean, one, we're  
 7 still working with the District to finalize things.  
 8 There are a number of monitoring reports. You know, for  
 9 the most part it's not going to be any different than  
 10 many of the other projects that we monitor and follow,  
 11 except that this is a little unusual in terms of the  
 12 potential impacts and we certainly are going to be  
 13 following closely over the next year to make sure that  
 14 the data that comes in, the actual monitoring data  
 15 actually lines up with the modeled information.

16 So this is kind of a first for us. It's been a big  
 17 learning experience, been a good experience, so we're  
 18 going to keep track of it just a little closer, I think,  
 19 than most projects to make sure that what we thought  
 20 actually does occur. And certainly, if there's anything  
 21 that occurs that raises concern, we would not hesitate  
 22 to bring it back, I would not hesitate to bring it back  
 23 to the Board for further discussion, if we felt that was  
 24 necessary, if we couldn't work it out.

25 I will say that Cambria has been very good and

1 MR. JOHNSTON: Second question is having to do with  
 2 the fact that while the district has stated repeatedly  
 3 that they are restricted to operating in a stage 3  
 4 drought, they have also stated that they have applied  
 5 for a regular off operating permit, a coastal permit,  
 6 and it has, of course, been pointed out as well that  
 7 they are the ones who define the stage 3 drought.

8 I would be curious to hear from staff your thoughts  
 9 on what might be prudent for us to do to include any  
 10 provisions, since this emergency permit may go by the  
 11 wayside soon regarding when this system can be  
 12 operating.

13 MR. HARRIS: I don't know if we -- this is my  
 14 personal opinion. I don't think we need to micromanage  
 15 community service districts. That's not our business,  
 16 and I think given what we think is going to happen in  
 17 terms of future droughts, in terms of climate change,  
 18 we're going to see a lot more facilities like this. The  
 19 State Board, the Division of Drinking Water recently  
 20 adopted, as you know, the regulations that allow this.  
 21 The next thing on their to-do list, I think has to be  
 22 done in about two years is direct surface augmentation  
 23 of recycled water. The city of San Diego already  
 24 embarking on that project in coordination with the  
 25 Division of Drinking Water, and I suspect you will see

1 legislation in the coming years that will require each  
2 and every water District of a certain size recycle back  
3 into the potable system some amount of recycled water.  
4 I mean I think the writing for California is on the  
5 wall.

6 So now I've forgotten your question. Did I answer  
7 it?

8 MR. JOHNSTON: The question was your thoughts on  
9 whether it's prudent and what mechanisms might be to  
10 ensure this is operated only in a drought situation.

11 MR. HARRIS: I think we've got to leave that to  
12 them to manage. They know their water supply the best  
13 and I think that's up to them. And I think there are  
14 enough safeguards in place so if there are -- or there  
15 will be full CEQA and if there are environmental  
16 impacts, that those will be addressed one way or  
17 another.

18 BOARD CHAIR: Dr. Hunter?

19 DR. HUNTER: Thank you. I appreciate the comments  
20 from the community.

21 A couple questions that I heard that maybe we can  
22 come up with some answers. I heard the issue of  
23 boundary and property rights raised relative to State  
24 Parks. Did State Parks raise that in their comment  
25 letter? Was that an issue that they brought forward as

1 found a problem with that zig-zagging line. One of  
2 their survey notes said they were 200 feet above ground  
3 surface and, of course, the creek -- meaning they're up  
4 on a bluff somewhere looking down at the creek, so they  
5 thought there was a problem with that old metes and  
6 bounds description.

7 So there's a question there, is how would you go  
8 about to straighten out this old, historic, problematic  
9 survey. There's a couple of levels we can go to. It  
10 has not been an issue at least since 1993 or before  
11 then. We obtained the property, I think, in 1979 or the  
12 early seventies.

13 One simple solution would be just to sit down with  
14 State Parks and have the surveyors meet and do a  
15 property boundary agreement. That would settle it. It  
16 hasn't been a high priority. It hasn't been raised as  
17 an issue by State Parks in the past, to my knowledge.

18 DR. HUNTER: Have you engaged in any conversation  
19 relative to the emergency project over the issue of  
20 boundary?

21 MR. GRESENS: I have asked them if they were  
22 surveying it and I didn't get a response back, you know,  
23 in recent time, but it really hasn't been raised to us  
24 directly as this is a burning issue that we want to  
25 resolve.

1 a question as to whether or not those ponds -- I  
2 understand that they said that the ponds cannot be  
3 located on the State Parks land. Is there a question of  
4 where the boundaries are?

5 MR. KOLB: Yeah, I had read that about the property  
6 boundaries and I did have a discussion with Bob Gresens,  
7 from CCSD, and maybe Bob can respond to that.

8 In terms of whether or not it was raised in the  
9 State Parks letter, I don't believe so but I'd have to  
10 go back and double-read the letter because it just came  
11 last night.

12 MR. GRESENS: This is Bob Gresens, CCSD.

13 We have researched that since that was raised, I  
14 believe, by Ms. Hunter. We have had those ponds there  
15 since 1993 in operation, so it's never been raised as an  
16 issue until recently on this project by some of the  
17 public comments. We did some research, we looked at  
18 when the Rancho San Simeon was formed, and actually I  
19 think it was Abraham Lincoln that signed the document  
20 that referred to the creek as a southern boundary of  
21 that area. So our contention is it's the boundary.

22 There have been some erroneous surveys done over  
23 historical time that shows boundary lines zig-zagging  
24 across the creek in the wrong area. The State Parks did  
25 a survey, I think, in the early nineties on this. They

1 DR. HUNTER: Well, I'm aware that State Parks is  
2 pretty clear about allowing certain uses on their  
3 property and so I -- you know, if that had been raised,  
4 if there was a question about it, I would urge that you  
5 pursue that conversation, calling State Parks and  
6 finding out if they are doing a survey and see if that  
7 survey would be available to assure the community that  
8 there are no issues, that the investment of this  
9 project, the time and effort going into it, that you're  
10 actually installing this on CCSD property.

11 MR. GRESENS: Well, the facilities being installed  
12 as part of this project are not in that questionable  
13 area. What was pointed out were existing facilities  
14 that again, were installed back in the early nineties,  
15 but I want to let our general manager speak on it. He,  
16 obviously, has more information.

17 MR. GRUBER: I'm Jerry Gruber, general manager.

18 It is the District's position that this project in  
19 its entirety is on our property and the creek is the  
20 boundary. And I go back to Bob's comment about when it  
21 was first designated as that. My personal feelings on  
22 the matter is that it was brought up to -- like many  
23 other things, to slow the process of the project and to  
24 bring into question whether the land is actually ours or  
25 not. So our position, our Board's position, the CCSD's

1 position is that that project in its entirety is on our  
2 property and the boundary line is the creek.

3 DR. HUNTER: Yeah, I just wanted to clarify if you  
4 were indeed in dialog with State Parks, if there was any  
5 dispute that they were seriously engaging in resolving,  
6 and if you're telling me that you haven't had that  
7 conversation with State Parks, it wasn't in the letter  
8 that they wrote, then I'm satisfied that that's not an  
9 issue. I just wanted to be sure.

10 MR. GRUBER: Thank you. And we will reach out to  
11 them. It's been kind of hectic and chaotic lately, but  
12 it hasn't been something that Mitch brought to my  
13 attention and Nick and I have a relationship where he  
14 can pick up the phone and say, "Hey, Jerry," and then I  
15 won't say that his campground is on my property, so we  
16 can just -- we'll call it a day. So thank you.

17 DR. HUNTER: Thank you for bringing it up.

18 MS. OKUN: This is something that the Board doesn't  
19 really need to resolve, the District and the CCSD can  
20 work it out. But even it turned out that they were  
21 operating on Parks' property and Parks asserted  
22 ownership rights and tried to kick them off the  
23 property, that just means they can't operate the  
24 facility anymore.

25 DR. HUNTER: Yeah, I understand that, but I heard

1 creek and then there were permitting issues with that in  
2 terms of Army Corps and also 401 certification.

3 DR. HUNTER: Right.

4 MR. HARRIS: Horizontal drilling is done all the  
5 time, as you know, and it's the least disruptive unless  
6 they hit one of those gophers or something. You know, I  
7 don't think there was any environmental impact and I  
8 think that would be our preferred approach.

9 BOARD CHAIR: You notice that our executive officer  
10 does not like gophers.

11 DR. HUNTER: My last question is, when you first  
12 engaged with the District, was this the only project  
13 that came forward or were there other projects or other  
14 options that were involved in the early dialog with the  
15 District, the staff may have looked at and commented on?

16 MR. LODGE: In terms of the Title 27 surface  
17 impoundment, this was the only project they brought  
18 forward to us. There were discussions that disposal  
19 that Mr. Harris alluded to earlier, potentially going to  
20 an ocean outfall out of San Simeon Community Services  
21 District.

22 DR. HUNTER: I recall then about, I don't know,  
23 about a month and a half ago or so a letter was  
24 submitted from a community member with information about  
25 alternative water sources that would avoid the necessity

1 the question and seemed like something that we could  
2 clear up and so, you know, if somebody had information  
3 about it, I think what we heard is that there is no  
4 dialog and Parks is in communication, and that's all I'm  
5 trying to understand.

6 The other question I heard was regarding pipes  
7 being installed under the creek and can staff comment on  
8 that.

9 MR. LODGE: This is Ryan Lodge, Water Board staff.

10 There are two pipes. This is Van Gordon Creek that  
11 goes from north to south. There are two pipelines, one  
12 is the brine line that goes to the surface impoundment  
13 and the other pipe is the mitigation water to San Simeon  
14 Creek. The District did horizontal drilling and  
15 installed the pipes under the creek so that they  
16 wouldn't impact the creek itself or have impacts within  
17 the riparian corridor of the creek, so those are the  
18 pipes that they are referring to.

19 DR. HUNTER: So under normal conditions, not under  
20 emergency conditions, would that be the appropriate way  
21 to install pipes under a creek or was the design of that  
22 determined by the emergency status?

23 MR. LODGE: I believe the District would need to  
24 answer that question. There were permitting issues that  
25 I think originally they were going to trench through the

1 to build an emergency project, and I know that it was  
2 submitted to the staff to review. I never heard any  
3 comment about it so I'm just curious if that was  
4 something that was factored in to any of the discussions  
5 or if any staff responded to that letter.

6 MR. KOLB: This is Howard Kolb, Water Board staff.  
7 Previous staff, David LeCaro did look at some  
8 alternative studies but as far as the permitting for  
9 this particular event, this was the project that was  
10 submitted. We didn't discuss the other alternatives.

11 DR. HUNTER: So it's too bad for us David is gone  
12 so we can't explore that.

13 Then the last thing I have is, you know, I  
14 understand, Mr. Harris, the view of standing back and  
15 not taking an approach of micromanaging but it does  
16 concern me a little bit that -- is there any definition  
17 of stage 3 that's kind of common to the County or to the  
18 region, do we understand how those things get defined?

19 MS. OKUN: Stage 3 emergency is a term from the  
20 District's municipal ordinance. The District declared a  
21 state of emergency under Water Code section 350, I think  
22 beginning in 2001, which allows water operators to  
23 declare a state of emergency if they have an inability  
24 or a threat of inability to meet current and future  
25 water supplies, and as part of that they can define

1 stages of emergencies, and I do have the definition that  
2 I need to pull up in one of these 40 documents I have  
3 open in my computer or if the District can rattle it off  
4 the top of their heads, but I do have the definition  
5 here if you'd like it.

6 DR. HUNTER: That would be helpful because I think  
7 there's an implication in a number of comments that this  
8 is kind of an arbitrary, kind of perpetual designation  
9 that's up to the Board without -- I just didn't hear any  
10 criteria from the Board on what that meant.

11 MS. OKUN: It is the Board that declares the stage  
12 3 emergency, but it's based on the definition in their  
13 ordinance, and --

14 DR. HUNTER: Okay.

15 MS. OKUN: The CCSD board.

16 DR. HUNTER: So there are specific criteria, then,  
17 that would characterize a stage 3 condition?

18 MS. OKUN: Yes.

19 MR. HARRIS: Bob, did you have a --

20 MR. GRESENS: I wasn't sure where the question was  
21 going. I can try to elaborate if you wish.

22 DR. HUNTER: No, no, I'm just trying to understand,  
23 if in any of the project descriptions or any of the  
24 permit language, if we understand how stage 3 is  
25 defined, how is it characterized.

1 consumers cannot be satisfied without depleting the  
2 water supply of the District to the extent there would  
3 be insufficient water for human consumption, sanitation  
4 and fire protection. So basically it's a water outage.

5 DR. HUNTER: Thank you very much.

6 BOARD CHAIR: Thank you.

7 On my left, Mr. Jeffries?

8 MR. JEFFRIES: I don't have any questions at this  
9 time, Mr. Chair, but I would like to reserve the right  
10 to ask a question after staff has made their final  
11 comments, if necessary.

12 BOARD CHAIR: Okay.

13 Mayor Delgado?

14 MR. DELGADO: Yes, very briefly. I do take  
15 seriously Tom Luster's, the Coastal Commission letter  
16 and State Parks letter, so my question to staff is how  
17 onerous would it be if our motion today included that in  
18 about a year we would have staff give a somewhat  
19 informal update -- you know, the environmental impact  
20 report has been completed, the project has been  
21 implemented, we haven't heard of any issues -- just to  
22 give the Board a chance to hear an update and decide at  
23 that time whether or not the Board wanted to do anything  
24 else.

25 MR. HARRIS: I don't think we have to put it in the

1 MR. GRESENS: I can speak in general terms about  
2 what our ordinances entail. Essentially we have three  
3 stages and roughly it depends on what the goal is to  
4 reduce the water consumption by in the community.

5 Stage 1, I think the goal is about a 6 to 9 percent  
6 reduction and it's largely voluntary, stage 2 is about a  
7 15 percent reduction, and stage 3 is an approximately 50  
8 percent reduction. Stage 2 and 3 are accompanied by  
9 penalties for overuse, where stage 1 is not. So that's  
10 the gist of my memory on our overall intent of our code.  
11 I'm sure we can look it up online and get you --

12 DR. HUNTER: That's very helpful. It gives me some  
13 specifics to understand what that actually means.

14 MS. OKUN: I found the code section. There are  
15 three circumstances in which the District can declare a  
16 stage 3 emergency. The first is if at any time results  
17 of the water supply and demand model indicate  
18 groundwater levels to be insufficient to provide water  
19 for human consumption, sanitation and fire protection;  
20 or if at any time water delivery capabilities are  
21 impaired such that the water supply or delivery system  
22 is in capable of providing sufficient water for human  
23 consumption, sanitation and fire protection; or if at  
24 any time the Board of directors finds and determines  
25 that the ordinary demands and requirements of water

1 order or anything. I think if that's the Board request  
2 I'll ask the clerk to the Board to put that on the  
3 calendar as a discussion item. You know, we have a  
4 one-year calendar, a running one-year calendar for Board  
5 items. She can put that on for November of next year.  
6 We'll put that down as a discussion item and we'll come  
7 back to you with just an update on the project. We can  
8 ask the District to come back and just give a brief  
9 update on how things are going, and if it hasn't rained  
10 by then we probably won't be here, but hopefully it does  
11 and we can come back and get an update.

12 MR. DELGADO: My only other follow-up to that is  
13 before that update happens, just want to confirm because  
14 I think we've heard a few times today that if the staff  
15 or the Board or the public finds anything of serious  
16 nature that they think needs to be reviewed, that can be  
17 done any time.

18 MR. HARRIS: Correct. So let me ask, is that  
19 something the Board would like me to agendaize for like  
20 next November as an update?

21 BOARD CHAIR: I suggest we make it an informational  
22 item for next year.

23 MR. HARRIS: All right.

24 Miss Olson, would you do that, please.

25 MR. JOHNSTON: As far as the November meeting, I

173

1 would think we would want to do it -- we don't want to  
2 do in Watsonville.

3 MR. HARRIS: I don't think November is in  
4 Watsonville. I think September is Watsonville.

5 BOARD CHAIR: It's here, based on my notes.  
6 Mr. Young, any question?

7 MR. YOUNG: Mr. Harris, under the worst-case  
8 scenario, we go down a year from now, two years from  
9 now, the environmental review has been completed, we  
10 have more testing, monitoring results, what would be the  
11 environmental impacts that you or staff would think  
12 might arise to be problematic, the ones we thought would  
13 be, you know, livable, anticipated, and then, you know,  
14 those that just turned out to be more negative and more  
15 intractable than we predicted?

16 MR. HARRIS: Using the famous phrase "Do you want  
17 me to speculate" --

18 MR. YOUNG: I'm going to rephrase that for you.

19 MR. HARRIS: Let me do one thing.

20 MR. YOUNG: I would like your best professional  
21 estimate.

22 MR. HARRIS: I'm getting punchy, you can tell.  
23 I'm going to ask staff to comment on this, too.  
24 I'm a very practical person and if the drought  
25 continues, you know, how do we weigh providing the

174

1 public with a source of drinking water and how do we  
2 weigh that against environmental impacts? That's a  
3 tough question. We may face that at some point, and I  
4 can't answer it.

5 I don't think, when push comes to shove, you can  
6 deny a community of 6,500 people water unless we park a  
7 nuclear-powered baby ship off the beach to provide  
8 drinking water. I mean, if people don't have water  
9 their houses get red tags, they have to move. How many  
10 are you going to house in Santa Barbara?

11 MR. YOUNG: My question really is, forgetting about  
12 the other side of this, what are the environmental  
13 impacts that you think might be problematic?

14 MR. HARRIS: I'm going to ask the staff and the two  
15 gentlemen here who are the experts to answer your  
16 question.

17 MR. YOUNG: So we have an injection well, we  
18 already anticipate -- estimate that we are going to have  
19 some elevated nitrates and some salt. Anything else,  
20 can you anticipate anything else going wrong with that  
21 injection?

22 MR. KOLB: Yes, this is Howard Kolb, staff.  
23 You have to consider a variety of issues and let's  
24 start with the injection. Right now, the plan is  
25 projected to three to six months per year and the

175

1 nitrates in the neighborhood of about 2.3, sodium is  
2 about 60, chlorides around 70, total dissolved solids,  
3 if my memory serves me, about 240, and sulfates around  
4 6. So total dissolved solids and sulfate associated  
5 with the injection water are lower than the existing  
6 groundwater, so that won't be a problem.

7 The nitrate is 2.3; in the groundwater right now  
8 it's .8. Sodium is around 60 in the injection; right  
9 now in the groundwater it's around 20. Chloride is  
10 around 65, 70, and in the groundwater it's around 20.  
11 So you will see some -- and again we're talking six  
12 months, hopefully there will be some influence during  
13 the winter so you would see degradation to those  
14 constituents during the time of operation, and that's at  
15 the water supply wells, but that water will be higher  
16 quality than what they are currently pulling from 9P7,  
17 so the part that goes down gradient will actually be  
18 contributing to better water quality, potentially.

19 Now, that said, you're going to be potentially  
20 drawing more brackish water in so you can see some  
21 elevated TDS, and I don't really know what all the  
22 constituents are associated with that brackish water.  
23 We do have a monitoring program for 9P7, which is the  
24 extraction well, so we'll be monitoring that so, and  
25 then potentially draw down on the lagoon even though

176

1 they're putting in 144,000 gallons a day, if you're in a  
2 real drought situation there would be a reduced base  
3 flow so you might see some dropping of the lagoon levels  
4 and things like that.

5 Also, you might see an increase in the percentage  
6 of the effluent that is contributing to the supply water  
7 in 9P7 because that's a steady source, it's -- yes, it's  
8 a half million gallons a day, it goes from the water  
9 supply wells, goes through the community, comes to the  
10 treatment plant and is re-discharged back into the  
11 percolation ponds, and if that becomes a more dominant  
12 source of supply for 9P7, the nitrate currently in that  
13 is running at about an average of 27 milligrams per  
14 liter, the total dissolved solids in that are running  
15 around 700 to 800, sodium and chloride are both  
16 elevated.

17 Now, in terms of long-term potential projects,  
18 Cambria is also looking at nitrogen reduction for the  
19 wastewater treatment plant so that will get at part of  
20 it. If we went through a protracted three, five, eight,  
21 ten years of drought, yeah, we'd be looking at some  
22 serious environmental issues, but I think we'd be  
23 looking at that across the entire region, not just  
24 Cambria.

25 MS. OKUN: Just to separate out the CEQA emergency

177

1 issues from these types of impacts, these are the  
2 things -- this is the kind of reporting we require  
3 anyway, the requirements we impose anyway, and the  
4 follow-up actions we would take even if there were no  
5 emergency and the EIR was already completed.  
6 I think there's been a lot of confusion among the  
7 public and for us, too, because this is not the way we  
8 usually do things. But the fact that there is not yet  
9 an EIR is a different issue and information that may  
10 come up through the CEQA process may be other  
11 information, but everything Howard is talking about  
12 would be exactly the same even if the EIR were already  
13 completed.  
14 MR. HARRIS: And not joking, we're in uncharted  
15 territory. We've never been here before. And look at  
16 the Central Valley, the subsidence is increasing again,  
17 and we've got some real severe impacts all over the  
18 state right now and look at the shape of the Delta as we  
19 try to balance water needs and environmental needs.  
20 MR. KOLB: And not to put myself on the spot, but  
21 we will be -- we're projected to bring the San Simeon  
22 Creek TMDL before the Board next spring, and that should  
23 discuss groundwater, surface water, environmental  
24 condition.  
25 BOARD CHAIR: I'd like to move this process along

178

1 and at this time I would like staff and Mr. Harris to  
2 bring your concluding remarks and then have a final  
3 deliberation from the Board and then, hopefully, we can  
4 make a decision on this item.  
5 MR. HARRIS: So Howard and Brian, do you have  
6 anything further to say? All right, stay up there for a  
7 second.  
8 I want to say that I really appreciate the Cambria  
9 community, the appreciation for the work that your staff  
10 has done. I think this has been a project that shows  
11 what a great staff you have working for you. It's been  
12 a pleasure working with Division of Drinking Water, it's  
13 a new thing for us in terms of the close relationship,  
14 but I think it's very positive and sets a good pattern  
15 for the future.  
16 And finally, the two gentlemen in the white shirts  
17 who kind of look alike, they deserve very special  
18 recognition and a very special thanks. Sacramento --  
19 because they could not get everything done during the  
20 workweek, Sacramento authorized overtime for them, which  
21 is not easy to do, and they literally have been working  
22 nights and weekends to get here today and literally  
23 write up -- you heard Howard say, "Well, it came at  
24 10:00 last night I couldn't look at it."  
25 But literally these guys have been working day and

179

1 night to make this happen, right up to the very end.  
2 They certainly deserve special recognition.  
3 BOARD CHAIR: Thank you.  
4 So in bringing this matter to deliberation and  
5 conclusion, you know, I reflect a little bit on  
6 everything that has been said, and when some of my  
7 colleagues expressed concerns over the definition of  
8 emergency, I think we got some clarification from the  
9 District.  
10 We need to remember that, really, we have  
11 emergencies on three levels. The Governor declared an  
12 emergency for the State of California, the County of San  
13 Luis Obispo Board of Supervisors declared an emergency,  
14 and Cambria, so, you know, we do have some solid  
15 triangulation there.  
16 In regard to the recycled water component, and I  
17 think Mr. Harris pointed to that earlier, it is actually  
18 becoming more of a mandate from the State Board, is to  
19 pursue recycled water projects, and the term  
20 "wastewater" is going to be a term of the past, you  
21 know, in years to come.  
22 I think what is very important for all of us to  
23 recognize and keep in mind is that I think there's  
24 flexibility to revisit these issues so this is not a  
25 final irreversible decision we make. At any time, and

180

1 correct me if I'm wrong, Mr. Harris, but if we do find  
2 issues, we can bring them forth and we certainly do not  
3 have to wait for the informational item of 2015,  
4 November, to address it, so I think we're in solid  
5 grounds there.  
6 I think also that when you said we are in uncharted  
7 territory, yes, with some of the recent legislation that  
8 passed, I think this is sort of the new world of water.  
9 I would say this project, both technically and from a  
10 regulatory standpoint, is leading edge, but I don't  
11 think at all we're into the bleeding edge on this  
12 project. It's well thought out.  
13 So that those are my observations and I certainly  
14 would now like my colleagues to bring forth to a  
15 conclusion this item.  
16 MR. DELGADO: I'd like to make a motion for No. 20  
17 that we adopt the revised waste discharge requirements  
18 order number 01-100 and we issue a waste discharge  
19 requirement and water recycling requirements ordered  
20 number R3-2014-0050 for the Cambria Community Services  
21 District.  
22 MR. JEFFRIES: Second.  
23 MS. OKUN: I have a couple of minor changes to two  
24 of the orders, not 01-001, and they are mostly technical  
25 changes but I need to read those in the record and if

181

1 you want to take a break I can have Tammy print them  
 2 out.  
 3 BOARD CHAIR: I would suggest you read them while  
 4 we're on a roll here.  
 5 MR. DELGADO: My motion is just about R2-2014-0050,  
 6 since you said that you didn't have any edits to 01-100.  
 7 MR. HARRIS: That brings up a good question.  
 8 Should they adopt each order individually or should she  
 9 adopt them as a group?  
 10 MS. OKUN: You can adopt them as a group. One of  
 11 the changes is to one of the CEQA findings that will  
 12 apply.  
 13 BOARD CHAIR: I like a package deal.  
 14 MR. DELGADO: So the package deal, is that  
 15 referring to Items 20 and 21, Chair, or just 20?  
 16 MR. HARRIS: I believe it's both. Can they vote  
 17 for all three orders at once?  
 18 MS. OKUN: Yes. Yes, and if there's some reason to  
 19 separate them, we can deal with that.  
 20 MR. DELGADO: So tell us your suggested edits and  
 21 then I'll modify my motion to include the third order.  
 22 BOARD CHAIR: I would like to include all three,  
 23 please. So when you second, that's encompassing all  
 24 three?  
 25 MR. JEFFRIES: Yes, absolutely.

182

1 BOARD CHAIR: Just want to make sure. All in  
 2 favor --  
 3 MR. JEFFRIES: Wait, wait.  
 4 MR. HARRIS: She has to read corrections into the  
 5 record.  
 6 MR. JORDAN: The looking seems to be going to the  
 7 left down there, that we are just offering a motion and  
 8 a second without discussion.  
 9 I also found it a bit odd that we started off the  
 10 process with an editorial from the chair as the first  
 11 set of comments after questions, that all was well and  
 12 we should just make these adoptions, so I would request  
 13 that we slow down a little bit and offer a chance for  
 14 discussion after the motion and second.  
 15 BOARD CHAIR: Okay. My apologies if it was viewed  
 16 that way. I certainly do welcome any comments, and I  
 17 was expecting when a motion was made that if there were  
 18 any comments to include those at that time, so I that  
 19 thought that was the due process. So certainly in an  
 20 abundance of fairness, please go ahead and include  
 21 your --  
 22 MS. OKUN: If I can just say, I can either read  
 23 these changes before or after the deliberations. I want  
 24 to make sure they are part of the ultimate motion that's  
 25 voted on, but I can do it all at once. If something

183

1 that comes up that requires additional changes --  
 2 BOARD CHAIR: I'd like this to be done before  
 3 deliberations.  
 4 MR. HARRIS: I agree. Let's allow Lori to do her  
 5 work and then the Board members may comment.  
 6 MS. OKUN: And the first one is on page 1800050.  
 7 It's paragraph 43, and rather than reading the red-line  
 8 strikeout, I'm just going to start reading the page.  
 9 The first sentence ends with the word -- the second  
 10 sentence ends with the word "basin," and then, from  
 11 there, the rest of the paragraph would read:  
 12 "This Order is consistent with Resolution No.  
 13 68-16 (Anti-degradation policy). Groundwater recharge  
 14 with recycled water for later extraction and use in  
 15 accordance with the Recycled Water Policy and State and  
 16 Federal water quality laws is to the benefit of the  
 17 people of the State of California. Nonetheless,  
 18 groundwater recharge projects using recycled water have  
 19 the potential to lower water quality within a basin.  
 20 This Order is in the maximum benefit to the people of  
 21 the State because it will assist the Discharger to  
 22 maintain drinking water service for existing development  
 23 by recharging the groundwater supplies, in part by using  
 24 recycled water, and thus ensuring adequate drinking  
 25 water supplies during times of drought. There is no

184

1 evidence that the project will result in costs to  
 2 affected users that outweigh the need for the project.  
 3 As described in the findings herein, the CCSD is  
 4 implementing the best practicable treatment or control  
 5 of the recycled water to be injected into the basin for  
 6 groundwater recharge. Compliance with this Order will  
 7 protect present and anticipated beneficial uses of the  
 8 groundwater, ensure attainment of water quality  
 9 prescribed in applicable policies, and avoid any  
 10 conditions of pollution or nuisance. Although this  
 11 Order may allow some degradation to water quality, it  
 12 will not cause exceedances of applicable water quality  
 13 objectives for the basin. Thus, the Regional Water  
 14 Board finds that, based on available information and  
 15 monitoring data, any change in the existing high quality  
 16 of the groundwater basin as a result of groundwater  
 17 recharge allowed by this Order will be consistent with  
 18 maximum benefit to the people of the State, will not  
 19 unreasonably affect beneficial uses, and will not cause  
 20 exceedances of applicable water quality objectives for  
 21 the basin."  
 22 Those are technical corrections that are consistent  
 23 with the discussions you had today.  
 24 The next change is to the CEQA findings based on  
 25 the CEQA emergency and this is for all three orders.

185

1 The current CEQA finding regarding the CEQA  
2 emergency exemption includes a reference to Title 14,  
3 California Code of Regulations, section 1526 (c), and  
4 then there's a closed bracket, and then I would modify  
5 the rest of that paragraph so it reads:  
6 "The basis for the exemption is that the  
7 Discharger's water situation is dire. The District  
8 currently has less than a six-month drinking water  
9 supply. The Emergency Water Supply Project will avoid  
10 potentially disastrous consequences from not having  
11 adequate water for health, safety, sanitation, and fire  
12 protection. These impacts are likely to occur in the  
13 very near future and continue as long as drought  
14 conditions persist. The project is necessary to prevent  
15 or mitigate a water shortage emergency, prevent seawater  
16 intrusion that could make current supplies unusable, and  
17 will otherwise mitigate the effects of the drought  
18 emergency declared by the Governor and emergencies that  
19 result from future critical water shortages."  
20 And there are two minor changes to order 0047, the  
21 Title 27 order. The first is in paragraph 10. It  
22 currently states that the executive officer finds that  
23 the performance of the alternative liner systems are  
24 equivalent. This is the Board's order so just strike  
25 the "executive order finds that" and start that sentence

186

1 with "The" and "it's the Board's finding that's required  
2 under Title 27."  
3 And similarly at the top of page 3, rather than  
4 having staff making findings it would say "Water Board  
5 staff has evaluated the proposed alternative period.  
6 The alternative meets the Title 27 requirements." And  
7 then it would continue, and I'll provide copies of these  
8 to staff so they can finalize, and to court reporter.  
9 BOARD CHAIR: The question that I have to the  
10 Board, would you like to see a hard copy of this or are  
11 you okay with the clarification provided by counsel?  
12 MR. DELGADO: I'd like to read my modified motion.  
13 MR. HARRIS: I think you wanted to allow Board  
14 members to comment before we move on, is that correct?  
15 MR. DELGADO: There's a motion on the floor and so  
16 I would like to modify that motion and then we can go to  
17 discussion.  
18 So as proposed by staff and verbally modified by  
19 legal counsel, I motion that we adopt the waste  
20 discharge requirement order number R3-2014-0047 with the  
21 monitoring and reporting program number R3-2014-0047,  
22 and that we adopt the revised waste discharge  
23 requirements order number 01-100 and issue the waste  
24 discharge requirements and water recycling requirements  
25 order number R3-2014-00550 for the Cambria Community

187

1 Services District.  
2 MS. OKUN: Staff also has some supplemental sheets  
3 that need to be included in that motion, and there is  
4 one additional change that staff would put up on the  
5 screen. There's been some discussion about endangered  
6 species. This Board doesn't have the authority to  
7 authorize a take and is not authorizing a take in these  
8 orders, so there's just a finding to make that clear  
9 which states "This order does not authorize any act that  
10 results in the taking of a threatened or endangered  
11 species or any act that is now prohibited or becomes  
12 prohibited in the future either under the California  
13 Endangered Species Act, Fish and Game section code 2050  
14 to 2097, or the Federal Endangered Species Act, 16 USCA,  
15 sections 1531 to 1544. This order requires compliance  
16 with requirements to protect the beneficial uses of  
17 waters of the state. The discharger is responsible for  
18 meeting all applicable requirements of the Endangered  
19 Species Act.  
20 I'll let staff specify which supplemental sheets  
21 they have that need to be included, and you don't need  
22 to reread your motion, Mr. Delgado, we can just say what  
23 you said.  
24 BOARD CHAIR: So discussion?  
25 MR. JEFFRIES: We have a motion and second on the

188

1 floor. There's been some modification to the first. I  
2 have not modified my second yet. So once we do that,  
3 then you can have comment.  
4 MR. DELGADO: I'm not going to modify it a third  
5 time until we hear the rest of --  
6 MR. HARRIS: The reason there's a little bit of  
7 confusion going on is recognizing we were doing this  
8 right up to 5:00 o'clock. I mean this stuff has been  
9 ongoing all the way to the end, so it's very unusual.  
10 So I apologize for that.  
11 MR. JEFFRIES: What supplemental sheets does the  
12 staff want?  
13 MR. KOLB: This is Howard Kolb. For Item No. 20  
14 there were two supplemental sheets included with your  
15 package and I just ask that both supplemental 1 and  
16 supplemental 2 be amended into the order.  
17 DR. HUNTER: You're referring to attachment with  
18 Table No. 3?  
19 MR. KOLB: Yes.  
20 DR. HUNTER: And you're referring to 01 -- order  
21 01-100, findings related to amendment to discharge  
22 specifications 8.5?  
23 MR. KOLB: Yes.  
24 DR. HUNTER: Yes.  
25 MR. LODGE: This is Ryan Lodge, one of our staff.

1 For Item 21, there's a supplemental sheet which  
2 should be included in the record without attachments 1  
3 and 2. Oh, sorry, attachment 1 is included, attachment  
4 2 is not included.

5 MR. JOHNSTON: That's just included in the record,  
6 not included in the motion?

7 MR. LODGE: Correct.

8 MS. OKUN: Yeah, we're just looking at anything  
9 that changes the language in any of the three orders.

10 MR. JOHNSTON: So those are already in the record.

11 MR. DELGADO: So I'll modify my recently modified  
12 motion to include on the screen what was verbally read  
13 by our legal counsel regarding Endangered Species Act  
14 and to include, for Item No. 20, which is order No.  
15 R3-2014-0050, Table 3, "Water Quality and Product Water  
16 and Water Waste Streams," and the "Findings Related for  
17 Discharge Specification" 8.5 added today for order No.  
18 281 R3-2014-0050, which is also Item 20.

19 I don't think there was anything more to add to  
20 that motion regarding item 21, was there? That's the  
21 modification to the motion.

22 MR. JEFFRIES: Second the changes.

23 BOARD CHAIR: Mr. Jordan?

24 MR. JORDAN: Thank you for the opportunity to put  
25 some words in before the call for a vote.

1 I'm going to support both the motions. It's not a  
2 question in my mind, but what is important to me is,  
3 based on the types of questions I asked and the answers  
4 that I was given or not given, was at least verbalizing  
5 why I can get to supporting the motions.

6 I still have extreme concerns about what this  
7 project actually entails, both the extent of sort of the  
8 cloud of the operations and the lack of an EIR.

9 I'm a little distressed that the City or the  
10 County, whichever is more appropriate, doesn't have a  
11 prohibition on new development at the same time, in  
12 their drought stage, as they are asking for these -- or  
13 getting or asking for these concessions in the process.

14 The correct answer to Dr. Hunter's question is that  
15 each community sets the consequences of their drought  
16 stages by that community. The City of Goleta, as an  
17 example, in their drought stage they actually use the  
18 "M" word, "moratorium." They will not now actually  
19 allow a new water hookup in the city of Goleta, and  
20 there was a threshold that had to do with deliveries  
21 from State Water or Lake Cachuma that actually drove  
22 that. That's how specific they were. So it concerns me  
23 a little bit that they're leveraging the drought,  
24 leveraging the emergency status, but there's no real  
25 prohibition on new development and net new water gain.

1 On the other hand, why I can get there is staff's  
2 response repeatedly -- or as I understood staff's  
3 response, that if the drought wasn't involved here that  
4 they would still site and operate -- approve the site  
5 and approve the operation regardless of the drought,  
6 that this would still meet our requirements, it would  
7 still meet our groundwater protection mission, and  
8 that's pretty convincing, along with the Division of  
9 Drinking Water's total buy-in on the injection process  
10 and the reuse. They seemed pretty adamant.

11 And I'm really confident in our staff's ability to  
12 follow this as we've talked about over the course of the  
13 next year and keep an eye on the progress or lack of  
14 progress and the results of any EIR that gets done, and  
15 I have a great amount of trust in staff and our  
16 executive team to bring this back to the Board if they  
17 see anything go awry, so I'll be happy to support the  
18 motions.

19 BOARD CHAIR: Thank you.

20 Mr. Johnston?

21 MR. JOHNSTON: I'm a little disturbed by how often  
22 I find myself agreeing with Mr. Jordan today. You try  
23 not to come into these kinds of issues with any sort of  
24 preconceptions about where you're going, but I would  
25 have frankly anticipated pushing for a shorter time on

1 the order and share Mr. Jordan's concerns about this  
2 being essentially infrastructure improvement made easier  
3 by a drought emergency.

4 My concerns about the first are, frankly, resolved  
5 by my confidence in our staff. I was satisfied by  
6 Mr. Harris's answer, and even were this not a question  
7 we had put so much work into, this is a new thing. This  
8 is something we're going to be paying attention to.

9 And, frankly, my concern about the second is  
10 mitigated by the fact that, as Mr. Harris stated, this  
11 is someplace that we're going in the state of  
12 California, where we're going towards figuring out how  
13 to take treated effluent and put it back into our  
14 potable water supply, and some of you folks are more  
15 thrilled than others about being the guinea pigs on  
16 this, and there are certainly going to be all sorts of  
17 consequences, some of them unintended to it, but, you  
18 know, this is something that's necessary for us to do,  
19 moving forward on a statewide basis, and so I'm going to  
20 support the motion.

21 BOARD CHAIR: Dr. Hunter?

22 DR. HUNTER: Thank you. I appreciate the comments  
23 from Mr. Jordan and Mr. Johnston, and, pretty much, that  
24 covered the issues, and I agree with their perspective  
25 on this. I do have confidence that staff will track on

1 this.  
 2 You know, I would only kind of reel back in on  
 3 guinea pigs. I don't think so. I think the Division of  
 4 Drinking Water in their analysis, they are bringing a  
 5 lot of effort and work that's been going on for a number  
 6 of years now by the State, so I think the issue of  
 7 recycled water and the safety of it is something that is  
 8 pretty well defined at this point.  
 9 I think what might be in question is, you know, the  
 10 actual design of the system itself, how it's going to  
 11 actually function as in terms of the way in which the  
 12 layout of the system and then the transport time and so  
 13 forth are things we're going to be looking at, as well  
 14 as any contaminants that might start to show up in  
 15 groundwater that we didn't anticipate the pace or the  
 16 rate of how those might accumulate, but I think those  
 17 are things that are covered by the monitoring program.  
 18 I would have liked to have seen a shorter time on  
 19 the order, frankly, because it is uncharted territory,  
 20 but I also recognize and in reviewing the materials and  
 21 taking into account of all the comments today that these  
 22 are not simple processes to undertake, and to see our  
 23 staff authorized for overtime is, as Mr. Harris put it,  
 24 very unusual, but not something we want to see as a  
 25 normal way of operating and handling the urgencies and

1 The last point I just want to reiterate, I would  
 2 sure like to see the City of Cambria entertain no  
 3 further hookups. I think the moratorium on building at  
 4 least until you get your Army Corps project underway and  
 5 on a path to a more permanent sustainable water supply,  
 6 that, to me, seems like a common sense. So that's my  
 7 view and I'll reiterate what Mr. Jordan said.  
 8 So with that I'm going to support the motion.  
 9 Clearly there's a need for a response to the emergency  
 10 situation for Cambria, and I'll watch for information  
 11 from the staff on how it's going.  
 12 BOARD CHAIR: Thank you, Dr. Hunter.  
 13 Mr. Jeffries?  
 14 MR. JEFFRIES: I really don't have any comments. I  
 15 had a lot of comments when I came this morning, on this  
 16 particular item, and I was really right on the fence,  
 17 fifty-fifty on the issue, but I appreciate the staff's  
 18 report and I appreciate the CSD's consultants and the  
 19 information they provided us.  
 20 This is something new for us. It's going to be a  
 21 pilot. This is not going to be the last one, and so  
 22 consequently, as I said, my job is to make sure you  
 23 folks have drinking water, good drinking water, and I  
 24 think this is one way of doing it and I stand by my  
 25 second.

1 priorities that we're trying to address on a daily  
 2 basis. So I really appreciate, I wasn't aware of how  
 3 much time. I think staff is really pulling hard to get  
 4 this done, but I didn't realize how much time you'd  
 5 given it and I recognize that that's not something we  
 6 can sustain, that's a once in a rare time kind of thing,  
 7 so I have to rethink that five-year period.  
 8 But I appreciate Mr. Delgado's raising the issue of  
 9 looking at it closely again in one year. We should have  
 10 some good data by then and we'll be able to have the  
 11 tracer study done, and if anything in the interim comes  
 12 up I know that we'll hear from the executive officer.  
 13 We have many ways in which the staff and the Board  
 14 communicate. Often it's through the EO's report. I  
 15 urge you all in the community to -- the staff reports  
 16 are available in advance of the hearings and often --  
 17 sometimes we get updated on important issues in the  
 18 executive officer's report, and I'll tell you right now  
 19 that typically by the time we get to it there's nobody  
 20 left in the room. So it's not easy to sit through the  
 21 whole meeting to get to the EO's report, and understand  
 22 what issues he's raising for us to be aware of and  
 23 consider. So that would be another way, another avenue,  
 24 another conduit of information that you might be  
 25 watching for.

1 BOARD CHAIR: Mayor Delgado? Mr. Young?  
 2 MR. YOUNG: I give the residents of Cambria a lot  
 3 of credit. I think having reduced your water  
 4 consumption to 50 gallons per person per day is  
 5 remarkable. I think if you came to me just because you  
 6 wanted to get some more water so that you could go up to  
 7 75 gallons a day, I'd say sure.  
 8 To me, let's not lose sight of the forest here.  
 9 They're using their own water. I think they have done a  
 10 good job in explaining how it's going to be treated,  
 11 recycled. I think it's exemplary.  
 12 Some of the comments that I heard that I just want  
 13 to address. Whether this promotes growth or not is not  
 14 our issue, it's not our purview. You can take that up  
 15 with the County, you can take it up with the Coastal  
 16 Commission, but it's just not for us. We focus on water  
 17 quality impacts and we defer to the health effects of  
 18 the drinking water at this point in time.  
 19 Drinking water weighed in unconditionally. That's  
 20 off my list. I'm not concerned about the drinking  
 21 water.  
 22 The groundwater impacts, there may be some, they  
 23 are going to be negligible. Worst-case scenario --  
 24 that's why I asked Mr. Harris to give me the worst case  
 25 if the shoe drops, and in which Mr. Kolb weighed in.

1 I'm not worried about the nitrate going up as little as  
 2 it might go up, and I'm not worried about the salts  
 3 going up. It's a trade-off. The water is getting  
 4 cleaned up to a great degree with other constituents and  
 5 so the water is being enhanced in that regard.

6 As to the evaporation ponds, the permit says the  
 7 mist is not supposed to leave the pond perimeter. Okay,  
 8 what if it does? Well, we have all of these what if  
 9 this happens or that happens. The permit is designed to  
 10 catch the consequences when they happen. We can open up  
 11 the permit again whenever we want it, it's a State  
 12 permit, not a Federal permit, and we've got lots of  
 13 people looking at to see what's going to happen who are  
 14 going to jump on it and we'll do something about it.  
 15 It's not supposed to occur. If it does, we'll act  
 16 appropriately.

17 You know, as to whether there is an emergency or  
 18 not, to me it's not that significant in my analysis of  
 19 everything. The Governor has made his proclamation and  
 20 he's essentially paved the way for this, but I think  
 21 there's enough of a demonstrated desire to have a more  
 22 reliable source of water in this community and I think  
 23 that that's the overriding issue for me. Any potential  
 24 environmental impacts are negligible and we can address  
 25 them when they arise, so I am voting for the motion.

1 So any question?  
 2 All in favor?  
 3 ALL BOARD MEMBERS: Aye.  
 4 BOARD CHAIR: Opposed? None. Motion passed.  
 5 Thank you very much for your patience.  
 6 We'll take a 15-minute recess, so we'll reconvene  
 7 at five minutes to 4:00.  
 8 (Proceedings concluded at 3:40 p.m.)  
 9  
 10  
 11  
 12  
 13  
 14  
 15  
 16  
 17  
 18  
 19  
 20  
 21  
 22  
 23  
 24  
 25

1 BOARD CHAIR: So as part of my fellow Board  
 2 members' input and comments, you know, mine is very  
 3 succinct to the fact that we do have flexibility in the  
 4 permit. So if we do see issues, I have full confidence  
 5 that staff will address it.

6 I do echo comments made earlier about the community  
 7 coming together, and I think although some of the  
 8 messages to the podium in some cases were different from  
 9 one to the other, but you were here at the podium and  
 10 you were here today because you care about your  
 11 community, so thank you. You certainly deserve a lot of  
 12 recognition for that.

13 Also, in terms of the various agencies, regulatory  
 14 agencies that have worked on this project, and staff, I  
 15 think this is a good example where we're having a  
 16 slightly different role from being regulators to  
 17 facilitators, so we have helped facilitate this project  
 18 which most likely would not have been able to be  
 19 achieved by the Community District without these  
 20 facilitations and help that we have provided.

21 So I think this is a bit of a significant moment  
 22 because often we are here as the regulators and that  
 23 sometimes translates into being regulators equal  
 24 troublemakers, but I think in this case we're  
 25 facilitators, so I will also support the motion.

<b>A</b>				
<b>\$1.5</b> 137:1	<b>accompanied</b> 170:8	60:18 87:12	181:8,9,10	<b>agent</b> 83:19
<b>\$2</b> 148:4	<b>account</b> 51:23	113:7 144:25	186:19,22	<b>aggressive</b> 18:21
<b>\$27</b> 147:5	193:21	154:5	<b>adopted</b> 20:8	35:17
<b>\$4</b> 137:1	<b>accumulate</b> 193:16	<b>additional</b> 6:3	43:15,16 63:2	<b>aggressively</b> 123:11
<b>a.m.</b> 2:19 5:2	<b>accurate</b> 41:22	6:18 18:13	63:8 79:6	<b>ago</b> 11:17 18:24
<b>Aaron</b> 137:13,14	<b>achieve</b> 23:8	66:9 73:22	80:12 160:20	36:17 45:14
<b>abiding</b> 20:20	<b>achieved</b> 132:6	75:7 76:18	<b>adoption</b> 127:2	83:13 132:9
44:20	198:19	78:2 79:11	127:3	143:17 150:17
<b>ability</b> 35:25	<b>acknowledged</b> 140:10	99:21 107:9	<b>adoptions</b> 182:12	167:23
39:21 60:12	<b>acquired</b> 141:6	124:7 154:2	<b>advance</b> 152:5	<b>agree</b> 115:14
80:13 191:11	<b>acre-feet</b> 16:9,15	155:12,13	194:16	183:4 192:24
<b>able</b> 33:4 39:6	<b>acres</b> 93:3	158:6 183:1	<b>advanced</b> 15:6	<b>agreed</b> 6:16
40:7 60:25	<b>act</b> 36:17 37:6	187:4	17:4,14,16	<b>agreeing</b> 191:22
67:16 80:10	149:4 151:17	<b>address</b> 8:18	18:8 23:6	<b>agreement</b> 108:16,19
84:11 88:23	187:9,11,13,14	10:7 33:20	63:23 72:19	163:15
102:11,23	187:19 189:13	51:25 54:11	84:12 92:20	<b>agreements</b> 109:14
114:17,21	197:15	73:8 76:4 78:8	104:25 122:8	<b>agrees</b> 109:7
118:2 122:23	<b>acting</b> 62:9	78:15 84:4	128:16 130:9	<b>agriculture</b> 151:13
127:9 130:4	<b>action</b> 7:12 10:5	112:6,14,18	<b>advantage</b> 107:19	<b>ahead</b> 18:13
147:22 194:10	43:17 73:1	116:19 120:5	<b>adversely</b> 142:16	182:20
198:18	97:13 141:8	149:7 156:18	<b>advised</b> 12:7	<b>aimed</b> 73:1
<b>above-grade</b> 14:25 25:24	<b>actions</b> 73:11	180:4 194:1	27:18 29:13	<b>air</b> 40:20 41:21
<b>aboveground</b> 21:5	129:1 177:4	196:13 197:24	<b>aerators</b> 136:8	41:21 99:14
<b>Abraham</b> 162:19	<b>active</b> 71:3	198:5	<b>Aerovista</b> 2:18	122:18
<b>absolutely</b> 27:6	118:1	<b>addressed</b> 35:23	<b>affect</b> 72:7	<b>alert</b> 143:7
34:12 123:15	<b>actively</b> 110:11	95:25 112:19	145:10 154:7	<b>alike</b> 178:17
181:25	<b>activities</b> 156:23	130:23 161:16	184:19	<b>allocate</b> 127:17
<b>absolutes</b> 121:16	<b>actual</b> 80:5 82:2	<b>addressing</b> 156:13	<b>afternoon</b> 92:12	<b>allow</b> 43:3 49:4
121:17	98:5 113:14	156:13	119:14 128:7	94:23 103:8
<b>abundance</b> 182:20	154:24 158:14	<b>adequate</b> 26:11	130:15 134:16	104:15 124:6
<b>accelerate</b> 128:3	193:10	31:22 35:7	139:12 143:10	130:11 145:25
<b>accelerates</b> 41:1	<b>adamant</b> 191:10	94:23 112:18	145:19 146:23	160:20 183:4
<b>accept</b> 7:9,11,22	<b>adaptive</b> 20:13	146:9,15	147:24	184:11 186:13
8:8 111:17,19	<b>add</b> 10:14 82:14	154:19 159:18	<b>agencies</b> 8:22	190:19
<b>acceptable</b> 75:3	108:21 152:24	183:24 185:11	135:1 149:13	<b>allowable</b> 75:9
75:4 82:15	189:19	<b>adequately</b> 149:7	151:17 198:13	<b>allowance</b> 5:10
<b>accepting</b> 8:3,12	<b>added</b> 18:20	<b>adjustment</b> 122:1	198:14	153:9
8:20 11:1	21:4,9,10	<b>administer</b> 36:20	<b>agency</b> 8:9 27:5	<b>allowed</b> 12:20
<b>access</b> 50:20	24:10 25:25	<b>administered</b> 36:18	68:25 139:23	29:9 42:15
52:25 129:9	63:25 88:19	<b>ado</b> 14:13	142:13 155:17	72:5 120:3
<b>accident</b> 135:13	189:17	<b>adopt</b> 5:18 25:9	<b>agenda</b> 5:6,14	124:10,10
	<b>adding</b> 21:5	74:5 97:22	7:4 19:23	128:24 138:6
	107:9	126:24 180:17	127:20	139:8 140:8
	<b>addition</b> 59:13		<b>agendize</b> 172:19	

184:17 <b>allowing</b> 78:9 164:2 <b>allows</b> 38:12 42:6 44:7 70:9 118:7,8 121:6 168:22 <b>alluded</b> 26:14 28:4 134:21 167:19 <b>alluvial</b> 56:22 57:24 59:8 69:20 78:20 <b>alternative</b> 37:10,11 64:20 110:19 167:25 168:8 185:23 186:5,6 <b>alternatives</b> 14:17,18 37:2 168:10 <b>amazing</b> 128:23 <b>amended</b> 188:16 <b>amendment</b> 188:21 <b>America</b> 151:11 <b>American</b> 20:17 <b>amount</b> 16:25 17:3,6,7 22:11 38:5 40:25 61:2,6 66:18 85:9 88:17 89:24 98:14 101:20 124:7 138:23 157:17 161:3 191:15 <b>amounts</b> 55:9 <b>analysis</b> 26:11 53:8 84:15 85:12 96:20 97:1,18,18,19 98:11 133:10 135:24 137:24 193:4 197:18 <b>analytical</b> 26:7 <b>analyze</b> 81:12 <b>analyzed</b> 23:25	98:13 <b>and/or</b> 138:11 <b>Angeles</b> 55:6 <b>angry</b> 135:19,20 <b>animals</b> 95:19 96:5 <b>announce</b> 128:1 <b>annoyance</b> 98:6 99:1,9 <b>annual</b> 48:11 64:4 110:14 <b>annually</b> 147:4 <b>answer</b> 26:10 42:18 43:12 44:3 48:19,25 54:15 61:1 84:3 87:22 89:2,5,7,8,18 90:2 108:24 109:1,18 117:5 118:5,6 125:12 153:16,21 155:9 157:22 161:6 166:24 174:4,15 190:14 192:6 <b>answered</b> 92:7,7 112:10 <b>answers</b> 161:22 190:3 <b>anti-CEQA</b> 132:18 <b>anti-degradati...</b> 72:1 90:22 91:3,5 183:13 <b>antibacterial</b> 83:19 <b>anticipate</b> 110:22 114:4 174:18,20 193:15 <b>anticipated</b> 173:13 184:7 191:25 <b>anticipation</b> 101:12 <b>anybody</b> 43:15	<b>anymore</b> 165:24 <b>anyway</b> 7:8 177:3,3 <b>apart</b> 132:12 <b>apologies</b> 182:15 <b>apologize</b> 73:20 152:5 188:10 <b>apparent</b> 130:22 <b>apparently</b> 118:1 130:17 <b>appealed</b> 126:6 <b>APPEARANC...</b> 3:1 <b>appeared</b> 10:22 <b>appears</b> 31:9 85:15 <b>applicable</b> 72:8 184:9,12,20 187:18 <b>application</b> 19:18 42:10 46:12,13,23,24 47:3,4,6,10,15 77:3,25 78:1 79:4,6,9 117:19 137:7 137:11,17 <b>applications</b> 6:9 <b>applied</b> 6:7,10 116:21 118:6 160:4 <b>apply</b> 47:9 90:22 91:3,5 117:18 181:12 <b>appreciate</b> 5:12 13:21 25:6 49:8 56:2 152:12 161:19 178:8 192:22 194:2,8 195:17 195:18 <b>appreciates</b> 65:22 <b>appreciation</b> 178:9 <b>approach</b> 5:10 42:19 55:12	148:21 149:3 167:8 168:15 <b>approaches</b> 95:7 <b>approaching</b> 97:11 <b>appropriate</b> 70:17 142:5 166:20 190:10 <b>appropriately</b> 197:16 <b>appropriation</b> 36:22 110:14 <b>approval</b> 43:7 67:10 117:8,10 145:23 147:15 157:2 <b>approve</b> 19:24 46:12 68:24 80:13 114:4 126:18 138:14 138:15 145:17 145:25 191:4,5 <b>approved</b> 46:22 68:7 94:7 126:11 <b>approximately</b> 11:17 16:7 35:3 56:16,24 57:7,15,16,18 58:2,25 70:7 95:13 133:8 134:2 170:7 <b>April</b> 6:12 151:7 <b>aquatic</b> 87:2,16 <b>aquifer</b> 28:3 29:5 30:6,8,18 30:23 49:18 51:22 56:13,15 56:17,23,23 57:3,9 59:15 59:21,24 60:5 60:11 69:20 78:21 81:24 82:5 150:5 <b>aquifers</b> 30:7,9 30:10,11 38:7 <b>arbitrary</b> 169:8	<b>archaeological</b> 20:17 <b>arduous</b> 126:5 <b>area</b> 6:6 30:12 41:1 44:6 59:9 60:2 61:5 70:14 71:5 83:20 95:4 98:24 99:3 100:3 114:21 115:18 116:2 118:12 119:19 120:4,25,25 123:4,12,12 140:15 162:21 162:24 164:13 <b>areas</b> 15:1 20:19 63:10 96:13 <b>arena</b> 108:7 <b>Army</b> 14:17 36:11,15,18 37:14 109:24 110:1,9 167:2 195:4 <b>arrows</b> 49:22 <b>article</b> 152:13 <b>artificial</b> 32:9 106:22 <b>artificially</b> 31:15 <b>asbestos</b> 135:24 <b>asked</b> 65:5,9 68:9 87:4 115:11 118:3 159:3 163:21 190:3 196:24 <b>asking</b> 74:24 83:3 85:5 131:15,16 190:12,13 <b>aspect</b> 35:22 <b>ASS'T</b> 3:8 <b>asserted</b> 165:21 <b>assessment</b> 65:23 <b>assist</b> 183:21 <b>assistance</b> 65:22 <b>associated</b> 49:5
---	--	--	---	--

72:12 73:12 148:14 175:4 175:22 <b>assume</b> 9:4 52:25 55:17 102:2,10,19 110:21 159:22 <b>assuming</b> 26:22 58:21 105:1,2 111:3 126:18 127:24 157:20 158:2 <b>assumption</b> 103:12 <b>assumptions</b> 51:2 96:20,22 101:18 154:3 <b>assurance</b> 93:25 94:5 <b>assure</b> 49:24 164:7 <b>assuredly</b> 151:16 <b>atmosphere</b> 146:4 <b>attached</b> 7:24 <b>attachment</b> 188:17 189:3,3 <b>attachments</b> 7:17,20 189:2 <b>attacks</b> 149:6 <b>attainment</b> 184:8 <b>attention</b> 20:3,9 20:19 165:13 192:8 <b>atypical</b> 55:3 <b>audience</b> 34:1 134:19 148:11 <b>audio</b> 9:11 <b>augmentation</b> 160:22 <b>August</b> 43:18 128:20 131:10 137:23 <b>Austin</b> 3:10 9:15 <b>authority</b> 49:7	63:4 82:20 83:8 113:11 117:12 187:6 <b>authorization</b> 36:16,21 <b>authorize</b> 26:22 76:25 114:7 187:7,9 <b>authorized</b> 77:5 117:20 178:20 193:23 <b>authorizing</b> 187:7 <b>available</b> 26:19 27:4 46:19 72:2 129:14 164:7 184:14 194:16 <b>avenue</b> 117:7 194:23 <b>average</b> 29:11 31:6,8,9,10,13 32:25 48:11,14 90:6 93:8 101:6 135:12 176:13 <b>average-looking</b> 32:7 <b>averages</b> 91:19 <b>avoid</b> 14:25 38:20 77:20 101:24 167:25 184:9 185:9 <b>avoiding</b> 34:6 39:5 41:18 <b>awaiting</b> 157:1 <b>award</b> 123:17 <b>aware</b> 108:3,4 164:1 194:2,22 <b>awry</b> 191:17 <b>Aye</b> 199:3 <hr/> <b>B</b> <hr/> <b>baby</b> 174:7 <b>back</b> 14:12 15:24 17:7 22:21,21 24:13	26:1 28:25 32:22 34:8 36:24 40:3 43:17 46:4 57:10,18,21 59:2 79:3,6,7 80:10,12,17 81:1,14 82:14 82:18 85:21 99:18 102:6 107:18 108:9 110:10 114:14 114:16 119:3 148:6 152:21 153:20 155:2 157:18 158:22 158:22 161:2 162:10 163:22 164:14,20 168:14 172:7,8 172:11 176:10 191:16 192:13 193:2 <b>backed</b> 20:7 <b>backflow</b> 22:15 58:25 59:11 <b>background</b> 14:3,14,16 22:23 24:3 91:15 <b>backstops</b> 112:6 <b>backwards</b> 52:11 156:14 <b>backwash</b> 17:1 57:16 69:21 70:15,21,23 77:6 78:19 <b>backwashed</b> 57:18 <b>bacteria</b> 17:23 144:9,9 <b>bad</b> 168:11 <b>badly</b> 74:12 <b>bailiwick</b> 125:11 <b>balance</b> 16:20 17:11,12 22:12 56:9 57:12	85:10 120:23 121:1 142:21 177:19 <b>balanced</b> 142:25 <b>balances</b> 123:12 <b>ballpark</b> 127:4 <b>ban</b> 32:5 <b>bank</b> 45:9,12,19 45:23 <b>Bar</b> 146:19 <b>Barbara</b> 4:17 62:11 141:17 143:10 174:10 <b>barrier</b> 17:20 18:2,8,12,13 21:4,5 22:10 55:3,10 58:10 58:22 59:17 64:23 85:20 <b>barriers</b> 17:15 17:17 60:8 122:6 <b>base</b> 54:6 56:22 57:3 176:2 <b>based</b> 6:9 21:11 21:13 28:2 60:1 63:6,15 66:16 67:3 72:2 78:4 79:14 80:14 88:21 98:15,16 100:20 101:21 118:20 152:25 153:25 169:12 173:5 184:14 184:24 190:3 <b>basically</b> 7:10 10:4 16:9 18:10 23:4 31:9 37:22 40:23 41:19 44:6 60:3 80:4 84:22 94:20 96:21 106:24 107:18 111:16 137:8,17 171:4 <b>basics</b> 20:6	<b>basin</b> 15:10 16:14 22:22 52:4,5,14 53:9 56:23 57:8 59:7,8 60:1 63:13 72:4,9 120:18,22 183:10,19 184:5,13,16,21 <b>basis</b> 27:9 30:2 39:14 51:10 83:8 84:15 147:11 156:16 158:2 185:6 192:19 194:2 <b>Bates</b> 141:18,23 <b>bathrooms</b> 129:3 144:20 <b>Bay</b> 115:18 116:2 <b>beach</b> 22:19 146:19 147:1 174:7 <b>bearings</b> 15:5 <b>becoming</b> 179:18 <b>bed</b> 147:7 <b>beetles</b> 132:13 <b>began</b> 129:7 152:3 <b>beginning</b> 132:3 136:25 152:6 168:22 <b>beginnings</b> 61:18 <b>behalf</b> 13:20 <b>believe</b> 6:24 10:6 43:2 48:7 50:6 50:13 81:1 85:23 88:10 90:23 100:16 102:13 109:12 109:13 118:22 126:2 151:2 162:9,14 166:23 181:16 <b>belongs</b> 140:23
--	---	---	---	--

<b>beneficial</b> 22:22 71:17 72:7 73:12 75:16 87:15 123:8 184:7,19 187:16	179:5 182:9,13 188:6 190:23 198:21 <b>black</b> 94:9 106:18,19 <b>Blanc</b> 7:16 10:21 <b>Blanc's</b> 7:22,25 <b>bleeding</b> 180:11 <b>blending</b> 122:1 <b>block</b> 16:21 <b>blocking</b> 60:15 <b>blow</b> 94:21 96:13 <b>blower</b> 99:19 <b>blowers</b> 23:9,10 23:17 95:1,3 96:15,21,23 98:12,19 99:6 99:12,21,25 100:1,23 101:18 105:25 122:9 <b>blows</b> 41:5 <b>blue-ribbon</b> 83:15 <b>bluff</b> 163:4 <b>board</b> 1:3 2:2,22 3:4,9,10,11 4:21 5:5,17,25 6:7,16,17,25 7:11,13 8:5,16 9:8,12 10:7,11 10:13,16 11:15 12:14,15,18,22 12:23 13:10,12 14:6,7 19:23 25:11 26:20 28:23 31:1 32:13 33:8,20 34:9,16,17 36:8 38:10,14 39:2 40:12 42:13 43:17 48:2,6,10,18 48:20,25 49:7 49:8,15 50:8 50:14,23 51:17	51:19 52:17 53:5 54:14 55:6,25 58:12 61:20 62:2 63:3,10 65:23 66:15,22 67:2 67:6,12,14,21 68:8,11,22 69:4,12 72:25 73:13 74:8 76:3 78:9 79:5 80:12 82:19,24 83:14,24 86:2 88:1 89:22 91:9 92:4,12 92:14 97:22 98:1 99:15 100:8 105:12 111:23,25 112:20,25 113:11,19,22 114:3 115:1,7 116:7 117:11 118:10 119:1,7 119:10,13 123:21,22 124:20,25 126:17,24 127:11,13 128:18 130:6 130:10,13 131:7,23 132:5 134:13,16 135:1 136:15 139:2,5,7,10 139:12 141:11 141:14,21,25 142:2 143:9 145:18,22,24 147:18,25 150:8,10,23 152:11,16,19 152:23,24 154:11,18,20 154:25 155:12 155:18 156:8 156:10,11,23	158:23 160:19 161:18 165:18 166:9 167:9 168:6 169:9,10 169:11,15 170:24 171:6 171:12,22,23 172:1,2,4,15 172:19,21 173:5 177:22 177:25 178:3 179:3,13,18 181:3,13,22 182:1,15 183:2 183:5 184:14 186:4,9,10,13 187:6,24 189:23 191:16 191:19 192:21 194:13 195:12 196:1 198:1,1 199:3,4 <b>Board's</b> 5:23 7:10 34:6 49:3 164:25 185:24 186:1 <b>Board-driven</b> 44:14 <b>Boards</b> 132:6 <b>Bob</b> 4:4 14:1 56:19 57:12 119:20 124:22 125:24 162:6,7 162:12 169:19 <b>Bob's</b> 164:20 <b>body</b> 6:5 <b>bond</b> 151:1 <b>book</b> 132:17 <b>borderline</b> 131:1 <b>boring</b> 60:1 <b>borrow</b> 148:3 <b>bottled</b> 129:7 <b>bottom</b> 24:12 101:25 <b>bound</b> 44:20 <b>boundaries</b> 140:7 162:4,6	<b>boundary</b> 139:19 141:1,2 161:23 162:20 162:21,23 163:15,20 164:20 165:2 <b>bounds</b> 163:6 <b>box</b> 10:22 <b>bracket</b> 185:4 <b>brackish</b> 76:19 175:20,22 <b>brag</b> 145:6 <b>bragging</b> 134:3 <b>Brambles</b> 146:7 146:8,12 <b>branch</b> 62:9 <b>break</b> 18:11 61:23 115:10 118:10 124:3 181:1 <b>breakfast</b> 147:7 <b>breathe</b> 88:16 <b>Brian</b> 152:9,20 178:5 <b>bribe</b> 132:4 <b>bridge</b> 50:13 51:7 56:21,21 57:5 <b>brief</b> 36:12 56:4 119:15 172:8 <b>briefly</b> 21:16 22:23 76:4 171:14 <b>bright</b> 71:3 <b>brine</b> 23:7,22,23 28:11 41:12 48:21 49:6 92:19 93:4 94:21 95:4,5,7 95:9 96:7,9,12 96:24 97:2,10 98:4 101:19,20 101:22,25 104:2,5,10,12 104:24 106:1 108:14 109:11 109:13 115:14
---	--	--	---	---

116:3 135:25 137:6 148:23 166:12 <b>bring</b> 153:20 158:22,22 164:24 177:21 178:2 180:2,14 191:16 <b>bringing</b> 114:3 157:17 165:17 179:4 193:4 <b>brings</b> 181:7 <b>broad</b> 156:3 <b>broadcast</b> 152:14 <b>bromide</b> 24:10 25:20 <b>brought</b> 128:14 159:10 161:25 164:22 165:12 167:17 <b>Brouson-Grey</b> 4:17 141:17 143:10,11 <b>Brown</b> 151:7 <b>Bruce</b> 3:4 <b>buckets</b> 148:13 <b>buffer</b> 74:18 <b>bugs</b> 114:22 <b>build</b> 55:18 57:24 78:6 101:24 168:1 <b>building</b> 42:7 58:6 59:16 195:3 <b>builds</b> 57:22 <b>built</b> 14:24 24:6 44:20 131:20 138:7 149:7 <b>burden</b> 140:10 <b>buried</b> 108:9 138:10 <b>burning</b> 163:24 <b>business</b> 78:5 146:18 147:2 160:15 <b>businesses</b> 34:25	147:9 <b>buy</b> 35:19 <b>buy-in</b> 191:9 <b>bypassed</b> 120:3 <hr/> <b>C</b> <hr/> <b>c</b> 185:3 <b>cables</b> 132:20 <b>Cachuma</b> 190:21 <b>caffeine</b> 83:17 83:22,25 <b>calcium</b> 18:20 <b>calculation</b> 124:2,4 <b>calendar</b> 172:3,4 172:4 <b>California</b> 1:2 1:20 2:1,19,21 2:25 5:1 8:6 37:25 55:4 62:9,16,20 74:14,23 92:23 92:25 100:10 107:3 112:4 119:19 140:24 146:14 159:10 161:4 179:12 183:17 185:3 187:12 192:12 <b>California's</b> 135:18 151:13 151:13 <b>Californians</b> 128:10 151:11 <b>call</b> 45:8 50:23 66:12 93:22 128:5 134:14 141:16,24 152:4 159:9,11 165:16 189:25 <b>called</b> 64:8 118:14 <b>calling</b> 164:5 <b>Cambria</b> 1:11 1:14 2:10,13 5:19 11:18,22	14:2 30:14 34:21 35:14 37:23 48:12,16 62:12 65:5,13 84:23 92:16 93:3 97:23 100:16 113:21 119:18,20 120:9,16 123:19 124:1,9 124:23 125:2 128:8,12 130:16 132:9 134:11,17 139:13 143:11 143:16,25 144:17 146:1,3 146:14,18,20 147:3,5,9,12 149:5 150:11 150:18 156:24 158:25 176:18 176:24 178:8 179:14 180:20 186:25 195:2 195:10 196:2 <b>Cambria's</b> 142:10 146:4 <b>Cambrian</b> 123:6 123:24 <b>Cambrians</b> 120:7 128:15 130:12 138:2 146:17 147:2 148:1,7 150:13 150:16 151:4 <b>campground</b> 41:6 50:12,17 50:19 51:6,12 52:23 56:21 130:25 136:9 140:17,17 165:15 <b>capabilities</b> 170:20 <b>capable</b> 27:20 170:22	<b>capacity</b> 93:7 94:18,23 103:24 111:12 <b>capita</b> 32:3 125:4 <b>capture</b> 16:5 <b>captured</b> 64:14 <b>card</b> 127:22 <b>cards</b> 118:18,20 127:16,20 147:19 <b>care</b> 18:5 88:23 143:12,16 198:10 <b>Carlson</b> 4:18 142:1 145:19 145:21 <b>Carpinteria</b> 13:23 <b>carry</b> 104:24 <b>cart</b> 84:22 <b>case</b> 63:23 65:8 67:16 112:17 143:22 152:21 196:24 198:24 <b>cases</b> 7:13 129:15 198:8 <b>Castle</b> 147:5 <b>catch</b> 40:4 197:10 <b>caught</b> 86:8 <b>cause</b> 49:6 72:8 85:11 90:21 91:11 125:9 144:10 184:12 184:19 <b>caused</b> 132:19 138:5 <b>causing</b> 91:10 145:8,9 <b>caustic</b> 18:20 <b>CCSD</b> 69:13 70:1 129:5 134:8,25 140:10 141:2,6 143:19 145:23 146:10 150:19	152:1 162:7,12 164:10 165:19 169:15 184:3 <b>CCSD's</b> 141:2 164:25 <b>CCSD-Board</b> 38:1 <b>CDM</b> 14:12 23:25 54:8 56:6 119:15 149:21 <b>CDP</b> 42:4 46:12 46:22,22 116:17 117:18 117:25 118:2 <b>cease</b> 122:24 <b>cell</b> 93:22 <b>census</b> 34:22 <b>center</b> 81:21 118:13,14 <b>Central</b> 1:4 2:3 2:22 92:14 146:14 177:16 <b>CEQA</b> 6:10,16 6:19 19:16,20 20:4,5 35:22 37:6 39:5 42:1 42:3,5,7,13,25 43:4,9,13 74:1 95:21,22,23 112:13 116:21 117:3,13,21 120:3 154:6 155:15,17,18 157:25 159:22 161:15 176:25 177:10 181:11 184:24,25 185:1,1 <b>certain</b> 16:25 22:11 23:18 27:25 28:14 36:2 41:4 55:23 95:3 98:12,14,16 101:23 103:13 110:15 150:3
---	--	--	---	--

161:2 164:2 <b>certainly</b> 39:3 51:15 133:12 136:1 153:22 158:12,20 179:2 180:2,13 182:16,19 192:16 198:11 <b>certification</b> 167:2 <b>certified</b> 2:24 43:15 <b>cetera</b> 115:20 132:24 <b>chair</b> 1:5 2:4 3:2 3:3 5:5 6:22 8:5 9:8,12 10:13,16 11:15 12:14,17,18,22 13:10 25:11,15 28:23,24 31:1 33:8 34:9,17 36:8 40:12,13 48:1,2,10,18 48:25 49:8,15 50:8,14,23 51:19 52:17 53:5 54:14 55:25 58:12 61:20 62:2 67:12,21 68:22 69:4 74:8 76:2 76:3 83:24 86:2 88:1,2 89:22 92:4 98:1,2 100:7,8 105:12 111:23 111:25 115:1,7 116:7,10 118:10 119:1,7 119:10 123:21 124:20,25 127:11,13 130:13 131:23 134:13 136:15 139:2,5,7,10 141:11,14,21	141:25 143:9 145:18 147:18 150:8,9 152:11 152:16,23 153:3 156:7,8 161:18 167:9 171:6,9,12 172:21 173:5 177:25 179:3 181:3,13,15,22 182:1,10,15 183:2 186:9 187:24 189:23 191:19 192:21 195:12 196:1 198:1 199:4 <b>Chairman</b> 10:18 34:5 69:11 84:2 113:19 141:22 142:2 147:24 150:9 <b>challenged</b> 128:15 <b>chance</b> 34:7,11 89:21 171:22 182:13 <b>change</b> 17:25 21:7 68:17 72:3 110:18 113:16 132:22 155:22 160:17 184:15,24 187:4 <b>changed</b> 29:5 68:9 107:9 <b>changes</b> 139:21 154:6,16 155:21,22 159:14 180:23 180:25 181:11 182:23 183:1 185:20 189:9 189:22 <b>channel</b> 26:2 <b>channels</b> 138:10 <b>chaotic</b> 165:11 <b>characteristics</b>	60:9 <b>characterize</b> 169:17 <b>characterized</b> 169:25 <b>charge</b> 62:17 <b>chart</b> 32:11 34:15 52:13 <b>charts</b> 33:9 34:6 34:10,13 52:2 <b>check</b> 105:9 <b>checking</b> 87:8 <b>chemical</b> 17:25 25:17,17,19 63:20 <b>chemically</b> 71:19 <b>chemicals</b> 17:25 83:7,11 <b>chew</b> 133:7 <b>chief</b> 62:9 <b>chloride</b> 71:20 72:18 73:10 175:9 176:15 <b>chlorides</b> 175:2 <b>chlorination</b> 18:18 <b>chose</b> 39:13 <b>Chris</b> 152:9 <b>chromium</b> 135:23,23 <b>circulate</b> 22:21 <b>circulated</b> 43:16 <b>circumstances</b> 109:3 170:15 <b>citrus</b> 115:23 <b>city</b> 160:23 190:9,16,19 195:2 <b>claim</b> 116:17 <b>claiming</b> 133:21 <b>clapping</b> 133:6 <b>clarification</b> 49:9 61:22 115:2 179:8 186:11 <b>clarified</b> 79:10	<b>clarify</b> 76:24 104:19 121:14 165:3 <b>class</b> 1:15 2:14 43:25 44:2 92:17,19,24 97:8,20,24 111:19 154:24 155:4,5 <b>clay</b> 93:18 94:8 106:20,20 107:14 <b>clean</b> 143:20 <b>cleaned</b> 70:19 197:4 <b>cleanser</b> 144:19 <b>clear</b> 34:3 41:11 42:22 47:21 116:15 134:18 164:2 166:2 187:8 <b>clearly</b> 73:9 74:21 195:9 <b>clerk</b> 3:9 172:2 <b>cliché</b> 151:22 <b>clients</b> 9:6 <b>climate</b> 160:17 <b>close</b> 20:3 23:24 65:2,3 122:15 127:19 130:9 130:24 136:9 144:16 178:13 <b>close-up</b> 15:25 <b>closed</b> 120:15 129:3,4,9,10 144:20 146:8 185:4 <b>closely</b> 31:6,13 158:13 194:9 <b>closer</b> 50:10 52:24 99:20 131:1 158:18 <b>closest</b> 24:16,25 51:5,9 53:15 53:17,19 <b>closing</b> 146:24 147:10	<b>cloud</b> 190:8 <b>clump</b> 70:2,4 <b>co-founder</b> 150:13 <b>co-members</b> 151:3 <b>coast</b> 1:4 2:3,22 23:9 44:17 92:14 146:14 <b>coastal</b> 8:14 19:9 19:13,15,17 20:1,22,23,25 26:17 35:15 36:5 38:23 42:9,11 44:5 44:17 95:24 109:25 112:4 112:22 113:25 116:19 117:1 117:15,17 121:9 126:4,14 137:8,11,16 139:18 142:14 142:17 143:18 149:10,14,19 155:20 157:15 160:5 171:15 196:15 <b>Coastkeeper</b> 142:3 <b>code</b> 62:20 92:23 168:21 170:10 170:14 185:3 187:13 <b>cold</b> 144:25 <b>Cole</b> 152:8 <b>collaborated</b> 151:25 <b>colleague</b> 156:12 <b>colleagues</b> 25:12 67:13 92:6 115:11 179:7 180:14 <b>collection</b> 93:20 126:23 <b>collectively</b> 116:12
--	---	---	---	--

<b>combination</b> 18:10 38:7 50:6 <b>come</b> 11:24 14:11,20 15:24 16:18 22:5 23:23 34:7 45:17,18,19 55:22 59:11 60:19 67:17 80:10,17 85:11 89:3,6,11 99:20 110:6,23 119:3,25 122:14 127:22 133:13 136:17 138:23 144:11 152:21 155:2 161:22 172:6,8 172:11 177:10 179:21 191:23 <b>comes</b> 16:10 33:19 35:18 41:2 48:15 60:3 61:8 97:10 107:18 141:1 144:14 148:5 158:14 159:22 174:5 176:9 183:1 194:11 <b>coming</b> 19:23 21:20 27:15 29:15,21 30:21 40:24 53:12 60:3 70:13 72:14 81:19 82:18 96:18 97:11 98:12 100:12 120:1 123:25 128:1 130:9 135:7 158:1 161:1 198:7 <b>commencing</b> 2:19 <b>comment</b> 6:3 7:3	7:5,16,19,21 8:21,25 9:3,6 9:17,23 10:6 13:4 21:12 33:21 58:9 67:8 73:18 78:3 88:7 95:13,14 100:9 118:19 130:13 131:23 134:13 136:15 141:11 143:9 145:18 147:18 150:8 152:18 161:24 164:20 166:7 168:3 173:23 183:5 186:14 188:3 <b>commented</b> 42:11 149:3 167:15 <b>commenters</b> 7:14 72:10 95:17 <b>commenting</b> 33:15 <b>comments</b> 6:24 7:6,8,11,15,23 8:9,19 9:6 12:4 12:12 22:17 63:5 66:23 74:25 95:16 96:6 97:14 126:23,23 128:1 141:15 145:20 152:22 152:24 161:19 162:17 169:7 171:11 182:11 182:16,18 192:22 193:21 195:14,15 196:12 198:2,6 <b>commercial</b> 32:4 35:4 45:2,15 128:22 <b>commingling</b>	81:22 <b>Commission</b> 8:14 112:4 113:25 139:18 142:14 149:10 149:14 155:20 157:15 171:15 196:16 <b>commissioning</b> 27:16 <b>commit</b> 43:8 <b>common</b> 168:17 195:6 <b>commonly</b> 55:4 <b>communicate</b> 194:14 <b>communication</b> 166:4 <b>community</b> 1:11 1:15 2:10,14 5:19 12:1 14:2 32:5 35:13 53:10 71:4 72:24 78:13 90:1 92:16 97:23 100:16 108:19 109:7 113:21 120:12 128:18,19 129:1,24 143:12,16 149:19 150:25 151:5 157:13 160:15 161:20 164:7 167:20 167:24 170:4 174:6 176:9 178:9 180:20 186:25 190:15 190:16 194:15 197:22 198:6 198:11,19 <b>community's</b> 147:13 <b>company</b> 94:3 <b>compared</b> 128:21	<b>comparing</b> 115:22 <b>comparison</b> 32:12 <b>complete</b> 19:14 43:4 73:24 95:23 108:22 126:14 131:18 131:19 137:12 <b>completed</b> 57:3 65:10 67:7 112:13,22 137:9 171:20 173:9 177:5,13 <b>completely</b> 131:20 <b>completing</b> 77:3 <b>completion</b> 19:11 128:16 <b>complex</b> 75:11 75:12 <b>compliance</b> 6:19 20:25 73:1 91:8 184:6 187:15 <b>complied</b> 155:15 <b>comply</b> 24:4 62:25 <b>complying</b> 77:24 <b>component</b> 46:21 80:8 179:16 <b>components</b> 15:5 90:20 112:3 <b>composed</b> 80:20 <b>composition</b> 132:22 <b>compostable</b> 129:8 <b>compounds</b> 18:11 <b>computer</b> 169:3 <b>concentrate</b> 23:5 28:14 115:17 <b>concentrated</b> 18:9 101:23	116:4 136:1 <b>concentrates</b> 96:25 116:5 <b>concentration</b> 26:4 82:13,15 97:4 <b>concentrations</b> 61:14 82:1 102:16 <b>concept</b> 37:21 115:24 <b>concepts</b> 56:8 <b>concern</b> 31:19 39:3 41:23 53:18 72:10 76:8,13,21,23 76:24 78:12 80:19 81:10 82:13,17,22 83:16 96:6 158:21 168:16 192:9 <b>concerned</b> 53:7 53:13 54:1 85:6 119:4 142:15 196:20 <b>concerning</b> 46:13 65:19 <b>concerns</b> 5:13 86:5 95:15,16 95:17 96:24 97:14 112:4 114:6 128:14 130:17 142:12 148:14 149:7 156:9 179:7 190:6,22 192:1 192:4 <b>concessions</b> 190:13 <b>concluded</b> 199:8 <b>concluding</b> 178:2 <b>conclusion</b> 67:1 145:15 179:5 180:15 <b>concrete</b> 94:19
---	--	--	--	---

<b>concur</b> 9:11	188:7	55:24	162:21	<b>convening</b>
<b>concluded</b> 6:15	<b>connection</b>	<b>constituents</b>	<b>contingencies</b>	119:10
66:1	35:19,21	18:1 23:23	116:20	<b>conversation</b>
<b>concurrence</b>	<b>connections</b>	39:21 81:13	<b>contingency</b>	11:21 12:10
9:13	35:15 44:15	91:15 122:14	111:12	163:18 164:5
<b>condition</b> 29:1	<b>connectivity</b>	135:21 175:14	<b>continue</b> 34:6,15	165:7
38:2 44:21	22:19	175:22 197:4	40:1 52:9	<b>conveyance</b>
65:11,17 74:15	<b>consequence</b>	<b>constraints</b>	57:14 58:1	16:21 92:21
82:24 138:1,25	49:20	111:5 136:13	66:24 69:8	<b>convincing</b>
143:4 169:17	<b>consequences</b>	<b>construction</b>	71:24 78:14	191:8
177:24	185:10 190:15	20:11 21:2	88:18,24 89:25	<b>cooling</b> 79:22
<b>conditioned</b>	192:17 197:10	69:2 93:25	117:1 147:2	<b>cooperated</b>
42:8	<b>consequently</b>	94:5 130:8	159:15 185:13	151:25
<b>conditions</b> 22:18	195:22	138:8	186:7	<b>coordination</b>
23:16 32:2	<b>conservation</b>	<b>consultant</b> 43:20	<b>continued</b> 89:16	160:24
36:2,3 65:16	31:25 33:1,4	56:3 89:1,10	90:11 101:6	<b>copies</b> 33:24
66:2,5 70:10	35:17,20 44:9	101:1,5,15	<b>continues</b> 59:8	34:1 133:9
75:19,24 79:15	44:16,24,24	110:16	88:15 110:21	186:7
79:24 80:6,15	45:9,13,21	<b>consultants</b>	173:25	<b>copy</b> 10:8 73:17
91:24 97:15	121:11 124:16	51:21 65:13	<b>continuing</b> 67:8	186:10
138:15 146:1	129:6	143:5 159:1	<b>continuously</b>	<b>corps</b> 14:17
166:19,20	<b>conservative</b>	195:18	39:25 84:14	36:11,15,18
184:10 185:14	69:2 148:20	<b>consumers</b>	<b>contract</b> 19:25	37:14 109:24
<b>conduct</b> 96:19	<b>conserve</b> 135:13	171:1	26:22 27:11	110:2,9 143:13
97:1 136:4	<b>conserved</b>	<b>consumption</b>	110:16 126:18	167:2 195:4
<b>conducted</b> 71:9	128:22,23	119:21 120:8	<b>contractor</b> 20:18	<b>correct</b> 12:24
97:17 98:11	<b>consider</b> 57:13	128:20 132:21	94:2	26:15 28:20,21
<b>conductivity</b>	113:22 126:1	144:1 170:4,19	<b>contracts</b> 36:20	29:18 36:4
84:14	136:12 143:23	170:23 171:3	<b>contrary</b> 144:8	40:10 51:3
<b>conduit</b> 194:24	154:11 174:23	196:4	<b>contrast</b> 60:8	53:24,25 58:17
<b>cone</b> 53:21	194:23	<b>contact</b> 11:20	61:7	58:20,24 68:5
<b>conference</b>	<b>considerable</b>	12:9 96:18	<b>contribute</b> 35:10	76:11 77:15
159:11	132:25	<b>contacted</b> 11:17	<b>contributed</b>	82:7 83:13
<b>confidence</b>	<b>consideration</b>	<b>contain</b> 41:16	148:12	85:12 99:4
159:17 192:5	69:18 125:23	72:1	<b>contributing</b>	100:22 101:18
192:25 198:4	<b>considerations</b>	<b>contained</b> 41:10	175:18 176:6	102:9,24 103:7
<b>confident</b> 149:6	6:9	67:6 73:17	<b>contributions</b>	104:22 108:10
191:11	<b>considered</b> 5:16	<b>containers</b> 14:24	73:22	115:3 125:7
<b>confines</b> 122:19	<b>considering</b>	<b>containment</b>	<b>control</b> 1:3 2:2	153:11 172:18
<b>confirm</b> 9:10	108:23	21:10	2:22 44:5	180:1 186:14
13:5 83:2	<b>consistent</b> 72:5	<b>contaminants</b>	63:20 91:13	189:7 190:14
153:4,7 154:2	74:3,12,22	17:18,24 76:8	92:13 99:14	<b>corrections</b>
172:13	96:22 112:5	76:20 80:19	100:19 130:6	182:4 184:22
<b>confused</b> 41:25	183:12 184:17	81:1,5,11	130:10 184:4	<b>corridor</b> 71:6
100:25	184:22	82:22 83:16	<b>control's</b> 64:2	166:17
<b>confusing</b> 13:15	<b>consists</b> 18:18	193:14	<b>conundrum</b> 83:6	<b>costs</b> 184:1
<b>confusion</b> 177:6	<b>constant</b> 39:13	<b>contention</b>	<b>convened</b> 83:15	<b>council's</b> 9:13

<b>counsel</b> 3:10 49:9 186:11,19 189:13	192:24 193:17	<b>crude</b> 53:8,18 54:1	<b>D</b>	<b>deadline</b> 7:5
<b>counting</b> 60:14	<b>crazy</b> 124:6	<b>Cryptosporidi...</b>	<b>D</b> 4:1	<b>deadlines</b> 7:3
<b>country</b> 145:16	<b>create</b> 85:7,19 126:2 155:22	64:6	<b>Dadayo</b> 152:9	<b>deal</b> 67:17 74:20 151:9,12
<b>County</b> 1:12,16	<b>created</b> 85:16 136:8 141:7,8	<b>CSD</b> 104:9 109:23 124:23	<b>daily</b> 80:2,2 96:14 146:24 194:1	181:13,14,19
2:11,15 19:10	<b>creating</b> 22:9 32:9 58:22	<b>CSD's</b> 195:18	<b>Dakota</b> 134:6	<b>dealing</b> 81:2 157:20
19:18 21:1	<b>credit</b> 196:3	<b>CSDs</b> 137:15	<b>damage</b> 132:16 132:19,25	<b>debate</b> 83:21
38:12,18,22	<b>credits</b> 44:9 45:2 45:3,7 124:13	<b>CSR</b> 1:23 2:23	133:1 138:5	<b>dec</b> 43:14
42:4,6,10	<b>creek</b> 14:22 15:3 15:15 31:10	<b>cucumber</b> 132:12	<b>damaged</b> 105:22	<b>deceived</b> 135:18
46:11,20,23	57:6 60:2	<b>cultural</b> 20:16	<b>data</b> 29:3 33:19 52:25 65:14	<b>December</b> 32:24
47:3,5,20	69:20 71:6,16	<b>cumulative</b> 138:12 142:16	72:3 79:14,15	<b>deception</b> 134:25
95:24 112:23	72:11,13,14,15	<b>cups</b> 129:8	81:14 97:10	<b>decide</b> 38:22 131:6 171:22
116:14,17,19	72:17 73:7	<b>curious</b> 101:8 160:8 168:3	100:12,15,21	<b>decided</b> 20:8 46:21
116:25 117:9	76:5 77:8,14	<b>curiously</b> 86:22	113:14,15	<b>decides</b> 27:24
117:14 118:1	78:22 86:10,11	<b>current</b> 19:21 20:5,6 29:1	154:1,1 158:14	<b>decision</b> 38:18 38:21 178:4 179:25
137:7,7,15	86:13 87:6,7	36:4 38:11	158:14 184:15	<b>decisions</b> 159:20
154:23 155:20	135:12,22	43:2 44:12	194:10	<b>declaration</b> 6:12 38:10 39:7 135:2
159:19 168:17	138:9,10 140:3	51:6 52:11	<b>date</b> 29:12 113:1	<b>declare</b> 168:23 170:15
179:12 190:10	140:20,21	56:10 66:4	<b>David</b> 168:7,11	<b>declared</b> 32:1 38:13 120:2 137:25 168:20 179:11,13 185:18
196:15	141:3,5 142:20	89:14 91:18,24	<b>day</b> 8:24 32:3,19 45:10,11 46:8	<b>declares</b> 169:11
<b>County's</b> 26:18 116:24	142:24 150:5	97:16 117:22	68:18 85:16,19	<b>decrease</b> 88:18
<b>couple</b> 6:23 16:11 29:21	162:20,24	118:7 125:3	85:22 120:16	<b>default</b> 47:14
32:15,17 36:9	163:3,4 164:19	168:24 185:1	121:20 123:7	<b>defer</b> 34:10 88:25 196:17
36:24 39:1	165:2 166:7,10	185:16	123:24 124:3	<b>deferred</b> 43:17
40:6 46:5,8	166:14,15,16	<b>currently</b> 34:21 35:7 52:4 53:1	125:1,4 128:24	<b>define</b> 121:15 138:19 160:7 168:25
48:3 83:13	166:17,21	53:9 55:5 58:5	134:3 135:14	<b>defined</b> 168:18 169:25 193:8
91:14 111:1	167:1 177:22	61:15 72:16	138:4 142:23	<b>definitely</b> 33:3 110:6 127:5 135:17
113:4 121:19	<b>creeks</b> 44:19	73:3 75:18	143:25 144:6	<b>definition</b> 39:9
152:22 157:8	<b>Crescenzi</b> 147:19,22	126:12 143:3	148:11 156:11	
161:21 163:9	<b>crisis</b> 129:23 131:13 137:20	154:13 175:16	159:12 165:16	
180:23	146:20,22	176:12 185:8	176:1,8 178:25	
<b>coupled</b> 150:24	<b>criteria</b> 36:3 107:8 169:10	185:22	196:4,7	
<b>course</b> 80:14 115:21 120:17	169:16	<b>customer</b> 17:6	<b>days</b> 24:14,18,20 24:25 25:2,20	
128:13 136:21	<b>critical</b> 78:8 123:15 185:19	<b>customers</b> 16:8 34:20 35:7	25:21 27:13,14	
152:6 160:6	<b>cross</b> 22:25 54:20 93:14	<b>cut</b> 32:5	48:4 65:8,11	
163:3 191:12	<b>cross-sectional</b> 21:17	<b>cutoffs</b> 95:3	66:10 96:21	
<b>court</b> 186:8	<b>crosses</b> 57:5	<b>cuts</b> 140:21	117:19 121:20	
<b>cover</b> 11:2,3 47:5 92:24		<b>cycles</b> 88:5	131:12 133:14	
<b>coverage</b> 79:4		<b>Cynthia</b> 9:1,15	137:9,14,16	
<b>covered</b> 20:2 69:9 77:9,9 106:8,11			155:16,16	
			<b>de-sal</b> 88:11	

40:22 134:10 168:16 169:1,4 169:12 179:7 <b>degradation</b> 75:1,8 90:14 90:21 91:1,10 175:13 184:11 <b>degrade</b> 71:21 75:2,5 106:14 <b>degraded</b> 71:21 107:22 139:25 140:3 <b>degree</b> 197:4 <b>DEIRs</b> 115:4 <b>delay</b> 131:17 <b>delays</b> 110:10 146:2 <b>delegated</b> 82:20 <b>deleteriously</b> 145:11 <b>Delgado</b> 3:4 31:1,2 32:13 32:21 33:7 34:2 53:6,7,18 54:1 67:25 68:1,21 86:2,3 86:13,19,24 87:1,14,20,22 87:25 111:25 112:1 113:4,18 124:25 125:1,5 125:8 126:13 127:3,10 171:13,14 172:12 180:16 181:5,14,20 186:12,15 187:22 188:4 189:11 196:1 <b>Delgado's</b> 54:15 194:8 <b>deliberate</b> 26:21 38:22 43:10 <b>deliberating</b> 42:14 <b>deliberation</b> 178:3 179:4	<b>deliberations</b> 182:23 183:3 <b>deliberative</b> 5:11 <b>delivered</b> 9:19 73:19 <b>deliveries</b> 190:20 <b>delivery</b> 170:20 170:21 <b>Delta</b> 177:18 <b>demand</b> 27:25 35:14,21 124:16 170:17 <b>demands</b> 32:7 170:25 <b>demonstrate</b> 7:14 <b>demonstrated</b> 197:21 <b>demonstrates</b> 80:5 <b>density</b> 61:6,10 <b>Densmore</b> 62:10 152:8 <b>deny</b> 147:11,12 174:6 <b>department</b> 8:7 100:10 129:2 137:23 <b>depend</b> 102:1 146:17 <b>dependent</b> 103:11 <b>depending</b> 82:12 95:11 126:6 <b>depends</b> 38:4 83:23 87:18 110:14 151:13 170:3 <b>depleting</b> 171:1 <b>deposit</b> 144:7 <b>deposited</b> 60:23 <b>depot</b> 37:4 <b>depression</b> 53:21 <b>depth</b> 56:18	<b>desalination</b> 137:1 <b>describe</b> 5:24 73:9 <b>described</b> 44:3 131:7 136:25 159:19 184:3 <b>description</b> 5:22 6:21 163:6 <b>descriptions</b> 169:23 <b>deserve</b> 178:17 179:2 198:11 <b>design</b> 15:13 21:15 50:4 60:19 78:6 89:14 94:6,7 106:25 107:3,5 107:8,12 110:23 121:15 166:21 193:10 <b>design-build</b> 15:2 <b>designated</b> 111:19 164:21 <b>designation</b> 169:8 <b>designed</b> 14:21 35:12 92:22 121:18 159:18 197:9 <b>desire</b> 82:24 197:21 <b>despite</b> 128:11 <b>destruction</b> 132:19 <b>detail</b> 23:4,25 <b>detailed</b> 14:11 19:19 60:24 115:12 <b>details</b> 6:18 11:24 23:21 26:10 124:17 <b>detect</b> 93:20,23 <b>detected</b> 24:1 122:16 <b>detecting</b> 109:4	<b>detection</b> 93:11 <b>determination</b> 6:16,17 47:25 <b>determine</b> 143:7 154:18 <b>determined</b> 48:5 64:16 65:16 166:22 <b>determines</b> 170:24 <b>develop</b> 61:8 74:18 75:6 124:10 <b>developed</b> 21:21 45:16 60:21 76:17 78:5 126:24 <b>developing</b> 58:7 73:1,7 <b>development</b> 19:9,13,16,17 20:1,25 26:17 35:11 36:5,17 38:23 42:9,11 44:5 45:17 51:14 95:24 112:22 116:19 117:1,15,17 121:9 126:4,15 137:8,11,17 143:18 149:20 183:22 190:11 190:25 <b>diagram</b> 54:19 92:18 <b>dialog</b> 121:5 165:4 166:4 167:14 <b>Dickanson</b> 4:13 128:6 130:14 130:15,15 <b>die-off</b> 64:24 <b>Diego</b> 160:23 <b>difference</b> 52:18 82:4 <b>different</b> 10:3 49:21 63:10	65:16 79:21 101:9 104:6 107:12,13 115:22,23 144:14 145:14 155:23 157:1 158:9 177:9 198:8,16 <b>differential</b> 28:4 <b>difficult</b> 108:9 110:24 157:13 <b>difficulties</b> 125:9 <b>digits</b> 145:4 <b>diligently</b> 148:18 <b>dilute</b> 82:15 <b>dining</b> 144:21 <b>dinnertime</b> 146:22 <b>dire</b> 131:12 185:7 <b>direct</b> 132:20 142:15 149:5 155:1 160:22 <b>direction</b> 22:12 23:18,19 41:5 49:21 58:3,5 95:2 98:17 122:11 143:6 <b>directions</b> 58:8 <b>directives</b> 71:13 <b>directly</b> 21:3 23:12 67:17 163:24 <b>director</b> 14:6 <b>directors</b> 150:23 170:24 <b>disastrous</b> 185:10 <b>discharge</b> 1:9,10 1:14 2:8,9,13 17:4 49:5 61:15 69:21 70:17 72:13,15 73:5 76:5 77:1 77:1,5,13 78:8
--	--	--	--	---

78:22,23 79:20 79:21,22 80:14 80:15 82:21 83:4,10 92:15 97:4 112:21 113:10,13 140:3 141:13 153:8 154:8,8 154:9,10,15 155:22 180:17 180:18 186:20 186:22,24 188:21 189:17	<b>disposal</b> 92:14 93:1 104:14 108:5 167:18 <b>disposing</b> 111:13 <b>dispute</b> 165:5 <b>disruptive</b> 167:5 <b>dissolved</b> 17:24 18:4,4 71:22 72:18 73:8 84:11 95:8 102:8 175:2,4 176:14 <b>distressed</b> 190:9 <b>distributed</b> 10:11 <b>district</b> 1:11,15 2:10,14 5:21 6:2,5,7,10,17 6:20,22 7:12 7:18 10:8 11:4 13:1,3,12,21 14:1,2 34:7,21 36:15 44:14 62:11,11 63:8 65:12 72:25 79:3,8 80:24 89:1,6,7 90:11 92:16 94:17 95:8,23 96:2 96:19 97:1,12 97:17,24 98:11 99:19 108:19 109:1,7,13,17 109:22 111:12 111:14 112:24 113:2,6,21 116:18,25 117:3,18 119:12,21 124:12,22 128:18,19 135:6 137:4,18 139:19,21 140:1,25 143:5 143:12,17 154:1,5,14	158:7 160:2 161:2 165:19 166:14,23 167:12,15,21 168:20 169:3 170:15 171:2 172:8 179:9 180:21 185:7 187:1 198:19 <b>District's</b> 5:19 7:23 10:4 11:6 71:4 121:23 164:18 168:20 <b>districts</b> 160:15 <b>disturbed</b> 191:21 <b>diversions</b> 44:19 <b>divide</b> 124:3 <b>division</b> 5:23 6:12 13:2,23 48:5 62:7,9,13 63:4 65:21 66:21,21 67:1 67:9,9,15 68:8 152:1 160:19 160:25 178:12 191:8 193:3 <b>Division's</b> 5:24 6:15 <b>document</b> 10:1 33:25 35:22 37:7 117:3 126:20 127:2 140:2 141:9 162:19 <b>documentation</b> 54:5 <b>documents</b> 85:3 99:14 169:2 <b>dodge</b> 115:25 <b>doing</b> 20:6,14 22:8 24:21 26:14 32:16 50:3 51:17 76:14 78:4,6 82:12 84:14 85:2 134:4,5	156:23 157:6 157:11 158:3 164:6 188:7 195:24 <b>dominant</b> 176:11 <b>dose</b> 64:4 <b>double</b> 21:10 <b>double-read</b> 162:10 <b>double-wall</b> 105:8 <b>double-walled</b> 92:20 104:24 105:2 <b>down-gradient</b> 22:16 58:2,3 59:4,6,11 <b>DPH</b> 137:24 <b>Dr</b> 34:17,18,25 35:5,22 36:7 44:4 84:1 105:13,14,18 106:3,11,16,22 106:25 107:4,8 107:20 108:3 108:13,21 109:1,10,17,20 110:8,21 111:5 111:10 127:13 161:18,19 163:18 164:1 165:3,17,25 166:19 167:3 167:11,22 168:11 169:6 169:14,16,22 170:12 171:5 188:17,20,24 190:14 192:21 192:22 195:12 <b>drainage</b> 60:4 <b>dramatic</b> 123:2 <b>draw</b> 175:25 <b>drawdown</b> 58:7 <b>drawing</b> 53:10 53:19 175:20	<b>drawn</b> 62:23,23 141:4 <b>drew</b> 70:14 <b>dries</b> 97:2 98:13 <b>drift</b> 41:9,11 48:21 49:6 96:7 98:7 <b>drifting</b> 98:20 <b>drifts</b> 98:5 115:20 <b>drilling</b> 166:14 167:4 <b>drink</b> 84:25 <b>drinkable</b> 142:5 <b>drinking</b> 5:23 6:12 13:2,24 18:15 62:7,10 62:13 63:14,19 65:21,21 66:22 67:1,9,15 74:18 75:7 84:24 91:22 120:6 137:23 143:20 151:19 152:1 160:19 160:25 174:1,8 178:12 183:22 183:24 185:8 191:9 193:4 195:23,23 196:18,19,20 <b>driven</b> 38:1 <b>drop</b> 30:5 98:13 98:16,21,23 <b>droplet</b> 98:12,15 136:7 <b>dropping</b> 31:21 102:5 176:3 <b>drops</b> 57:8 60:6 196:25 <b>drought</b> 5:20 6:11 10:2 16:9 21:25 30:2 31:20 32:1 37:20,22,23,24 38:8,9,13 46:14,20 47:2
--	--	--	---	--

47:9,14 52:9 55:8 65:4 74:15,16,20 75:19 78:4 87:19 88:4 89:21 90:1,11 91:7 112:16,18 112:19 114:11 114:11 116:21 118:4 119:19 119:25 120:1,2 120:16 121:8 121:10 122:23 123:6 125:13 125:17,18 128:11 130:1 131:10 134:4 143:4 151:9 156:22 160:4,7 161:10 173:24 176:2,21 183:25 185:13 185:17 190:12 190:15,17,23 191:3,5 192:3	114:8 <b>dust-control</b> 20:24 <b>dwelt</b> 52:17	102:15 103:13 <b>effluent</b> 16:12 73:2,5 76:20 76:22 80:21 83:9 109:8 131:3 176:6 192:13 <b>effort</b> 15:2 20:5 25:6 45:13 94:22 164:9 193:5 <b>efforts</b> 13:22 <b>eight</b> 11:17 75:20 79:8 88:14 114:13 176:20 <b>EIR</b> 19:25 20:7 20:9 26:15 114:3 116:13 116:16 126:8 126:15,19 154:22 177:5,9 177:12 190:8 191:14 <b>EIS</b> 110:17 <b>either</b> 24:2,7 25:24 59:6 95:18 106:15 112:21 117:13 127:14 157:3 182:22 187:12 <b>elaborate</b> 169:21 <b>elderly</b> 148:10 148:11 <b>elect</b> 117:13 <b>election</b> 150:22 <b>element</b> 66:12 <b>elevated</b> 174:19 175:21 176:16 <b>elevation</b> 29:5 29:20 56:16 <b>Elizabeth</b> 128:6 131:24 <b>ELMO</b> 34:13 <b>email</b> 7:25 8:13 8:20 10:22 11:2,3,8,12	148:25 <b>emailed</b> 7:22 <b>emanate</b> 23:14 <b>embarking</b> 160:24 <b>emergencies</b> 169:1 179:11 185:18 <b>emergency</b> 5:19 14:20 19:7,9 19:13,14 20:25 21:25 32:1 35:6 36:5,6 37:11 38:9,11 38:13 39:5,7 42:7 43:2 46:16 49:10,15 50:25 52:8,14 53:23 57:12 69:13 78:4,14 80:19,25 84:20 85:1 112:19,25 117:2,17 118:8 119:23 120:2,9 121:6 123:18 125:22 126:16 128:12 130:7 131:6 134:7,10 134:11,20 135:3,8 136:22 137:8,10,13,15 137:19,20,22 137:23,25 138:2,7,19,20 138:21,22 142:8,11 143:19 146:1 146:11 150:20 156:16 160:10 163:19 166:20 166:22 168:1 168:19,21,23 169:12 170:16 176:25 177:5 179:8,12,13 184:25 185:2,9 185:15,18	190:24 192:3 195:9 197:17 <b>emerging</b> 76:8 76:21 81:4,11 82:22 83:16 <b>emotion</b> 5:9 <b>employ</b> 146:12 <b>employed</b> 129:11,12 <b>employment</b> 146:18 <b>empty</b> 39:10 <b>encompassing</b> 181:23 <b>endangered</b> 142:18 187:5 187:10,13,14 187:18 189:13 <b>ended</b> 24:14 29:14 32:19 <b>ends</b> 183:9,10 <b>enemies</b> 132:11 <b>enforcement</b> 72:25 <b>engaged</b> 163:18 167:12 <b>engaging</b> 165:5 <b>engineer</b> 3:13 14:1 62:11 92:13 124:12 124:23 137:4 <b>engineering</b> 39:12,14 50:9 54:5 63:7 67:4 68:20 <b>engineers</b> 69:13 110:9 121:14 <b>enhance</b> 94:18 <b>enhanced</b> 73:1 197:5 <b>enjoyed</b> 146:4 <b>enrollment</b> 79:17 <b>ensure</b> 35:6 64:2 65:17 94:5,13 95:4 96:12,16 122:19 157:5
<b>E</b>	<b>E</b>			
89:21 90:1,11 91:7 112:16,18 112:19 114:11 114:11 116:21 118:4 119:19 119:25 120:1,2 120:16 121:8 121:10 122:23 123:6 125:13 125:17,18 128:11 130:1 131:10 134:4 143:4 151:9 156:22 160:4,7 161:10 173:24 176:2,21 183:25 185:13 185:17 190:12 190:15,17,23 191:3,5 192:3	<b>earlier</b> 20:7 22:13,15 24:4 28:4 31:23 32:13 33:2 40:21 44:4 50:21 58:9 60:24 65:12 96:10 109:25 117:5 119:20 120:19 124:13 124:17 135:11 140:2 148:22 167:19 179:17 198:6 <b>early</b> 21:12 30:3 110:4 146:5 148:25 162:25 163:12 164:14 167:14 <b>earthen</b> 132:21 <b>easier</b> 151:22 192:2 <b>east</b> 122:12 <b>easy</b> 108:6,11 178:21 194:20 <b>echo</b> 198:6 <b>economic</b> 120:14 <b>economy</b> 129:22 146:15,15 147:14 151:12 <b>edge</b> 180:10,11 <b>editorial</b> 182:10 <b>edits</b> 181:6,20 <b>effect</b> 22:15 44:18 <b>effects</b> 71:18 185:17 196:17 <b>efficiencies</b> 102:11 <b>efficiency</b>	102:15 103:13 <b>effluent</b> 16:12 73:2,5 76:20 76:22 80:21 83:9 109:8 131:3 176:6 192:13 <b>effort</b> 15:2 20:5 25:6 45:13 94:22 164:9 193:5 <b>efforts</b> 13:22 <b>eight</b> 11:17 75:20 79:8 88:14 114:13 176:20 <b>EIR</b> 19:25 20:7 20:9 26:15 114:3 116:13 116:16 126:8 126:15,19 154:22 177:5,9 177:12 190:8 191:14 <b>EIS</b> 110:17 <b>either</b> 24:2,7 25:24 59:6 95:18 106:15 112:21 117:13 127:14 157:3 182:22 187:12 <b>elaborate</b> 169:21 <b>elderly</b> 148:10 148:11 <b>elect</b> 117:13 <b>election</b> 150:22 <b>element</b> 66:12 <b>elevated</b> 174:19 175:21 176:16 <b>elevation</b> 29:5 29:20 56:16 <b>Elizabeth</b> 128:6 131:24 <b>ELMO</b> 34:13 <b>email</b> 7:25 8:13 8:20 10:22 11:2,3,8,12	148:25 <b>emailed</b> 7:22 <b>emanate</b> 23:14 <b>embarking</b> 160:24 <b>emergencies</b> 169:1 179:11 185:18 <b>emergency</b> 5:19 14:20 19:7,9 19:13,14 20:25 21:25 32:1 35:6 36:5,6 37:11 38:9,11 38:13 39:5,7 42:7 43:2 46:16 49:10,15 50:25 52:8,14 53:23 57:12 69:13 78:4,14 80:19,25 84:20 85:1 112:19,25 117:2,17 118:8 119:23 120:2,9 121:6 123:18 125:22 126:16 128:12 130:7 131:6 134:7,10 134:11,20 135:3,8 136:22 137:8,10,13,15 137:19,20,22 137:23,25 138:2,7,19,20 138:21,22 142:8,11 143:19 146:1 146:11 150:20 156:16 160:10 163:19 166:20 166:22 168:1 168:19,21,23 169:12 170:16 176:25 177:5 179:8,12,13 184:25 185:2,9 185:15,18	190:24 192:3 195:9 197:17 <b>emerging</b> 76:8 76:21 81:4,11 82:22 83:16 <b>emotion</b> 5:9 <b>employ</b> 146:12 <b>employed</b> 129:11,12 <b>employment</b> 146:18 <b>empty</b> 39:10 <b>encompassing</b> 181:23 <b>endangered</b> 142:18 187:5 187:10,13,14 187:18 189:13 <b>ended</b> 24:14 29:14 32:19 <b>ends</b> 183:9,10 <b>enemies</b> 132:11 <b>enforcement</b> 72:25 <b>engaged</b> 163:18 167:12 <b>engaging</b> 165:5 <b>engineer</b> 3:13 14:1 62:11 92:13 124:12 124:23 137:4 <b>engineering</b> 39:12,14 50:9 54:5 63:7 67:4 68:20 <b>engineers</b> 69:13 110:9 121:14 <b>enhance</b> 94:18 <b>enhanced</b> 73:1 197:5 <b>enjoyed</b> 146:4 <b>enrollment</b> 79:17 <b>ensure</b> 35:6 64:2 65:17 94:5,13 95:4 96:12,16 122:19 157:5

161:10 184:8 <b>ensuring</b> 183:24 <b>entail</b> 170:2 <b>entailed</b> 105:23 <b>entails</b> 190:7 <b>enter</b> 64:10 <b>entering</b> 96:5,17 116:16 120:4 <b>entertain</b> 54:10 195:2 <b>entire</b> 21:6 107:22 150:4 176:23 <b>entirely</b> 14:22 <b>entirety</b> 164:19 165:1 <b>entitled</b> 149:24 149:25 <b>environment</b> 60:22 120:18 123:8,16 <b>environmental</b> 20:4 37:5 42:20 71:10,11 71:14 74:19 85:3 115:20 126:7 155:6 159:5 161:15 167:7 171:19 173:9,11 174:2 174:12 176:22 177:19,23 197:24 <b>environmental...</b> 135:5 <b>EO's</b> 194:14,21 <b>EPA</b> 122:15 <b>equal</b> 198:23 <b>equalization</b> 85:8 <b>equally</b> 117:25 <b>equated</b> 45:11 <b>equivalent</b> 74:16 185:24 <b>erode</b> 132:22 <b>erroneous</b> 137:7 162:22	<b>error</b> 19:8 <b>especially</b> 55:4 <b>Esq</b> 3:10,10 <b>essence</b> 44:6 <b>essentially</b> 12:2 12:4 14:15 44:11 76:14 86:18 96:8 106:20 107:16 170:2 192:2 197:20 <b>establish</b> 114:21 <b>established</b> 80:4 <b>esthetic</b> 20:9 <b>estimate</b> 26:24 28:9 111:8 126:13 173:21 174:18 <b>estimated</b> 75:20 <b>estimating</b> 28:7 <b>et</b> 115:20 132:24 <b>evaluated</b> 6:8 64:15 65:18 186:5 <b>evaluating</b> 96:2 <b>evaluation</b> 49:19 65:15,24 <b>evaluations</b> 56:7 <b>evaporate</b> 15:9 39:21 40:2 101:19 102:12 102:20 103:1 122:13 <b>evaporated</b> 28:13 41:21 <b>evaporating</b> 40:16,19,23 102:3 <b>evaporation</b> 15:8 17:3 21:2 22:25 23:8 40:4,14 41:2 94:22,23 98:14 100:2,3 102:2 115:16,17 122:8 130:24 131:2 133:7	197:6 <b>evaporative</b> 98:4 <b>evaporators</b> 40:25 94:18 96:11 103:12 <b>evasive</b> 38:17 46:10,11 <b>event</b> 93:9 103:5 104:20 122:3 150:16 168:9 <b>events</b> 129:5 <b>eventually</b> 11:24 46:20 52:12 55:15 63:18 126:25 <b>everybody</b> 47:21 78:10 118:11 119:5,18 149:24,25 <b>evidence</b> 99:4 137:21 184:1 <b>exacerbate</b> 49:12,24 50:2 <b>exacerbated</b> 128:12 <b>exact</b> 47:20 87:9 130:4 <b>exactly</b> 27:12 81:7 177:12 <b>example</b> 20:10 45:13 57:14 67:16 79:20 91:18 154:22 155:2 190:17 198:15 <b>exceed</b> 64:3 91:15 103:19 <b>exceedance</b> 72:8 83:24 <b>exceedances</b> 91:11 184:12 184:20 <b>exceedingly</b> 132:3,4 <b>exceeds</b> 23:17 41:4 95:2 98:17,18	<b>excellent</b> 23:24 133:10 <b>exceptional</b> 151:9 <b>exceptionally</b> 119:19 <b>exceptions</b> 42:16 <b>exclude</b> 9:24 <b>excluded</b> 135:24 <b>excluding</b> 9:4 <b>excuse</b> 9:15 34:20 144:2 <b>executive</b> 3:7,8 19:22 20:3 43:3 80:13 82:20 167:9 185:22,25 191:16 194:12 194:18 <b>exemplary</b> 196:11 <b>exempt</b> 71:11 95:21 116:15 <b>exemption</b> 6:14 116:17 185:2,6 <b>exemptions</b> 6:10 42:2,4,15 74:20 <b>exist</b> 122:24 <b>existing</b> 15:10 15:16 16:5 20:21 21:18 24:7 35:13 50:7 69:22 71:23 72:3 153:25 164:13 175:5 183:22 184:15 <b>expand</b> 51:17 <b>expect</b> 81:25 82:1 95:10 110:8 <b>expectation</b> 159:15 <b>expected</b> 86:7 154:4 <b>expecting</b>	182:17 <b>expedition</b> 141:22 <b>expeditious</b> 151:18 <b>expense</b> 146:2 <b>expensive</b> 121:22 <b>experience</b> 107:20 108:1 158:17,17 <b>expert</b> 83:15 143:23 159:10 <b>experts</b> 26:9 54:10 174:15 <b>expire</b> 115:4 <b>expired</b> 137:14 <b>expires</b> 137:13 <b>explained</b> 124:12,17 <b>explaining</b> 196:10 <b>explanation</b> 56:4 <b>explore</b> 168:12 <b>exposed</b> 106:5 106:14,15,19 <b>expressed</b> 11:22 12:1,5 72:10 95:17 142:14 179:7 <b>expressing</b> 5:12 <b>extended</b> 122:23 <b>extending</b> 136:24 <b>extends</b> 56:14,15 56:17 <b>extensive</b> 51:25 83:20 129:5 151:8 <b>extent</b> 8:2 14:24 150:3 171:2 190:7 <b>extra</b> 33:24 <b>extracted</b> 24:18 63:18 66:4,18 81:20
--	--	---	---	--

<b>extracting</b> 53:14 85:9	<b>fact</b> 12:12 55:5 115:17 128:12	151:18	<b>filed</b> 47:4,24	<b>fire</b> 100:17
<b>extraction</b> 15:16 16:24 28:1,11	150:21,25	<b>fast</b> 130:23	<b>fill</b> 46:12 143:1	120:13 123:14
49:10,16 55:19	156:13 160:2	<b>fast-track</b> 14:20	<b>filled</b> 106:11	129:2 145:12
62:24 64:18	177:8 192:10	15:2	137:6	145:12 170:19
65:3 81:20	198:3	<b>fast-tracking</b>	<b>filling</b> 103:17	170:23 171:4
175:24 183:14	<b>factor</b> 59:23	156:13	<b>filter</b> 69:21	185:11
<b>extreme</b> 120:7	124:1	<b>favor</b> 182:2	70:15 76:10,16	<b>firm</b> 148:24
121:10 190:6	<b>factored</b> 168:4	199:2	77:6	<b>first</b> 5:21 7:16
<b>eye</b> 84:18 191:13	<b>factors</b> 38:8	<b>feasible</b> 114:17	<b>filtering</b> 76:16	14:5 16:21
	<b>facts</b> 149:25	<b>feature</b> 15:8,13	<b>filters</b> 70:19,19	17:20 18:1
	150:3	21:15 50:4	<b>filtrate</b> 76:5 77:7	25:21 27:12
<b>F</b>	150:3	63:20	77:8 82:6,8	29:25 36:10,10
<b>fabric</b> 106:24	<b>factual</b> 150:3	<b>February</b> 32:23	<b>filtration</b> 17:20	42:8 48:3
<b>fabulous</b> 14:9	<b>fail</b> 111:14	<b>Federal</b> 8:22	76:10	66:10 69:18
<b>face</b> 174:3	<b>failures</b> 64:19	36:16,19	<b>final</b> 10:1 157:1	70:9,19 84:17
<b>faced</b> 109:2	<b>fair</b> 32:12 33:11	183:16 187:14	171:10 178:2	93:16 100:4
<b>facetious</b> 67:24	148:24	197:12	179:25	120:12 127:22
<b>facilitate</b> 117:9	<b>fairly</b> 15:7 24:6	<b>feed</b> 30:9,10,11	<b>finalize</b> 80:10	128:5 132:8
198:17	31:13 40:9	<b>feedback</b> 31:14	158:7 186:8	139:4 144:2
<b>facilitations</b>	51:21 59:7	<b>feeds</b> 129:2	<b>finalized</b> 110:20	145:21 146:4
198:20	61:5 65:2,3	<b>feel</b> 33:3 37:24	<b>finally</b> 8:25 39:1	158:16 164:21
<b>facilitators</b>	112:5	114:1 128:10	98:3 104:23	167:11 170:16
198:17,25	<b>fairness</b> 33:9	149:6	178:16	182:10 183:6,9
<b>facilities</b> 27:8	182:20	<b>feelings</b> 164:21	<b>finance</b> 126:1	185:21 188:1
28:19 68:14	<b>fall</b> 40:22 74:21	<b>feet</b> 56:16 93:5	<b>find</b> 81:15 82:2	192:4
93:1,2 107:2	131:7	100:22 115:13	83:19 108:11	<b>fish</b> 86:10,24
109:10,16	<b>fallout</b> 149:4	163:2	144:5 180:1	139:17 142:12
121:15 160:18	<b>falls</b> 111:3	<b>fellow</b> 12:23	191:22	142:13 159:10
164:11,13	151:21	33:20 48:20	<b>finding</b> 74:2	187:13
<b>facility</b> 27:7	<b>familiar</b> 10:20	156:10 198:1	75:12 164:6	<b>fishable</b> 142:4
39:19,22 40:3	92:18 99:23	<b>felt</b> 158:23	185:1 186:1	<b>fit</b> 14:21
42:8 45:2	105:19 116:1	<b>fence</b> 159:7	187:8	<b>five</b> 27:13 63:9
46:14 66:15,16	118:12	195:16	<b>findings</b> 72:1	136:8 139:1
78:7 88:4,7	<b>family</b> 67:14	<b>fences</b> 132:24	74:1 91:9	145:17 154:24
90:1,9,10	<b>famous</b> 173:16	<b>fencing</b> 96:4,17	181:11 184:3	176:20 199:7
91:12 92:20	<b>fancy</b> 133:8	<b>fewer</b> 129:17	184:24 186:4	<b>five-year</b> 112:8
95:10 97:8	<b>far</b> 14:5 17:14	<b>fibers</b> 17:21	188:21 189:16	130:6,18 131:4
100:4 107:13	33:5 34:23	<b>field</b> 15:25 42:17	<b>finds</b> 170:24	145:25 147:16
108:5 112:25	38:2 42:7	57:10,24 58:11	172:15 184:14	157:21 158:2
114:20 117:2	43:14 46:17	94:16	185:22,25	194:7
121:6,7,13,17	51:5 108:18	<b>fields</b> 22:1	<b>fine</b> 9:21 21:24	<b>fix</b> 104:5
121:24 123:6,7	109:21 110:18	<b>Fifteen</b> 134:3	<b>fine-grain</b> 60:6	<b>flat</b> 54:22
123:18 125:12	125:23 133:24	<b>fifty-fifty</b> 195:17	60:11	<b>flexibility</b> 13:19
125:15,20	133:24 168:8	<b>figure</b> 99:7	<b>finer</b> 60:23	114:18 179:24
127:24 153:25	172:25	<b>figured</b> 11:24	<b>finish</b> 78:10	198:3
154:3,6 165:24	<b>far-right</b> 50:16	<b>figuring</b> 98:21	110:16	<b>floating</b> 61:9
	<b>fashion</b> 26:11	192:12	<b>finished</b> 18:23	<b>floor</b> 186:15

188:1	<b>forgotten</b> 161:6	93:5 103:4,22	<b>funding</b> 36:19	<b>Garcia-Bird</b>
<b>flow</b> 16:22 21:22	<b>form</b> 17:1	103:25 104:20	110:10,21,25	119:15
23:7 24:17,22	<b>formed</b> 162:18	<b>frequency</b> 26:8	111:3,9	<b>garden</b> 132:25
52:10 58:1,3,4	<b>formerly</b> 142:13	80:7	<b>funds</b> 36:23	<b>gardening</b>
60:9 61:16	<b>forms</b> 47:5	<b>frequently</b> 80:2	110:15	129:13
86:15,16	<b>forth</b> 85:4	<b>fresh</b> 57:25 58:9	<b>further</b> 12:9,17	<b>Garza-Bird</b> 4:10
132:23 176:3	107:11 126:7	59:19 61:7,9	14:13 22:16	14:10 39:19
<b>flowing</b> 22:2	134:23 180:2	61:11 88:9	37:17 61:17,20	40:10 51:24
59:9	180:14 193:13	143:20	113:9 116:7	52:2 53:1
<b>flows</b> 16:13 17:7	<b>Forty-eight</b>	<b>Friday</b> 1:21 2:20	124:24 141:5	54:12,22 89:24
22:12,13,20,20	120:21	5:1	146:2 158:23	90:4,8,10
56:12	<b>forward</b> 35:18	<b>friends</b> 134:7	178:6 195:3	119:14 124:2
<b>flu</b> 144:25 145:9	110:12,13	<b>frog</b> 21:5 87:13	<b>future</b> 24:13	124:12 125:3,7
<b>fluctuated</b> 34:23	147:23 153:19	<b>front</b> 9:22 14:21	35:21 43:8	125:12
<b>flush</b> 129:2,16	157:20 159:16	22:24 33:10,14	44:15 90:7	<b>gas</b> 81:9
144:13	161:25 167:13	33:23 114:6	135:18 137:5	<b>general</b> 14:8
<b>flushed</b> 144:6	167:18 192:19	126:12 140:22	146:2,9 153:6	79:5,19 103:16
<b>focus</b> 128:15	<b>forwarded</b> 8:15	<b>fronted</b> 148:3	156:15 160:17	113:5,20 126:9
142:4,7 156:24	<b>found</b> 20:21	<b>frugal</b> 121:23	168:24 178:15	148:6 164:15
196:16	24:24 40:22	<b>fruits</b> 115:23	185:13,19	164:17 170:1
<b>focused</b> 156:24	133:20 138:8	<b>frustrated</b> 149:1	187:12	<b>generally</b> 129:18
<b>folks</b> 33:11 62:2	149:9 163:1	<b>full</b> 5:6 19:20	<b>fuzzy</b> 13:15	<b>generated</b>
84:23 118:12	170:14 182:9	39:23,25 42:25		104:13
119:7,10	<b>foundational</b>	63:25 71:10	<b>G</b>	<b>gentleman</b> 94:1
156:21 192:14	56:2	89:13 103:2	<b>Gail</b> 14:7	157:14
195:23	<b>founded</b> 150:17	119:6 130:6	<b>gain</b> 63:25	<b>gentlemen</b>
<b>follow</b> 37:1,5	150:18	144:8 145:17	190:25	174:15 178:16
42:12,19,24	<b>four</b> 83:14 89:19	145:25 146:13	<b>gallon</b> 46:7	<b>geo-hydrologist</b>
145:24 157:21	100:12 120:11	147:16 161:15	<b>gallons</b> 16:7	54:7
158:10 191:12	125:18 127:8	198:4	17:5,10 24:7	<b>geo-membrane</b>
<b>follow-up</b> 32:21	142:18 153:13	<b>full-blown</b>	24:19,23 25:1	93:11,15,17
47:19 48:9	154:15,24	134:20	32:3 45:10,11	<b>geo-synthetic</b>
111:11 153:24	<b>four-foot</b> 133:5	<b>full-scale</b> 27:17	46:5 50:4	93:18
172:12 177:4	<b>Fox</b> 146:7,7	<b>full-time</b> 34:24	57:15,16 58:15	<b>geocomposite</b>
<b>following</b> 20:12	<b>frame</b> 80:1	35:2 128:8	58:18 59:1,3	107:14
20:24 31:2	81:10 112:12	150:12	59:13 60:13,20	<b>geographic</b>
43:1 158:13	114:23 125:9	<b>fullest</b> 14:24	66:3,4,6 70:8	100:3
159:21	125:21	<b>fully</b> 15:18	85:16,19,22,24	<b>geologic</b> 97:15
<b>foot</b> 103:25	<b>framework</b>	112:13 143:24	88:13,14 93:4	<b>geologist</b> 65:24
<b>forage</b> 132:21	48:22	<b>function</b> 193:11	123:6,24 124:3	<b>geology</b> 135:21
<b>forced</b> 144:16	<b>Francisco</b>	<b>functional</b>	125:1,4 128:24	<b>geosynthetic</b>
<b>foremost</b> 120:13	115:18	103:20,21	134:3 135:14	94:8 106:20
<b>forest</b> 196:8	<b>Franco</b> 149:11	104:1	138:4 142:23	<b>geotechnical</b>
<b>forever</b> 137:19	<b>frank</b> 144:2	<b>fund</b> 148:2,6	176:1,8 196:4	97:17
<b>forgetting</b>	<b>frankly</b> 191:25	151:2	196:7	<b>germane</b> 143:14
174:11	192:4,9 193:19	<b>fundamental</b>	<b>Game</b> 142:13	<b>getting</b> 27:23
<b>forgiving</b> 107:15	<b>freeboard</b> 23:5	120:11	187:13	30:17 37:7

38:20 42:17 58:18 78:12,12 88:10,11 111:7 119:5 173:22 190:13 197:3 <b>Giardia</b> 64:6 <b>gigantic</b> 130:19 <b>gist</b> 37:18 45:21 170:10 <b>give</b> 14:2 20:5 34:7 36:12 46:8 56:3 61:24 105:22 113:6 118:18 119:5 134:9 140:13 153:8 153:10 171:18 171:22 172:8 196:2,24 <b>given</b> 31:3,12 42:4 86:6 87:2 146:9 160:16 190:4,4 194:5 <b>gives</b> 78:17 80:12 170:12 <b>giving</b> 133:3 <b>gnaw</b> 133:1 <b>go</b> 7:8 14:5 20:8 22:4 24:13 27:13 28:25 37:7 42:2 47:20 51:5 75:2 81:14 84:16 86:13 87:19 92:10 95:15 98:9,9 101:16 102:11 103:16 108:9 116:2,13 118:13 124:6 124:17 126:4 126:20 135:8 137:5 139:25 140:13 142:20 142:25 144:5 147:23 157:20 159:16 160:10	162:10 163:7,9 164:20 173:8 182:20 186:16 191:17 196:6 197:2 <b>goal</b> 170:3,5 <b>goes</b> 16:8,11,12 16:25 17:4,14 23:18 30:12 32:22 37:9 41:9 59:14,20 66:10 77:14 81:1 102:4 107:17 135:25 140:17,21 153:18 155:16 157:17 166:11 166:12 175:17 176:8,9 <b>going</b> 9:12,22 15:20 16:2,6 16:23 17:2,6 19:2,12,24 23:3 25:12,23 26:12,20,22 27:8,11,13,13 27:24 28:2,5,7 30:15,16 37:3 37:11 38:18,21 39:8 42:1,13 43:7,8 46:6,10 46:25 47:1,3 47:18 48:12 50:1 51:24 55:16,18,20,22 57:18,21 58:8 58:15 61:16 62:6 63:10 69:8 74:11 75:7,20 77:11 77:20 81:21 82:5,21 83:1 85:15 86:7 89:10,18 90:6 90:21 91:1,15 95:15 96:4 98:21,23	100:14 102:6,7 102:21 105:5 109:9 110:5 114:12 116:14 117:14 118:22 119:8,24 121:23,25 122:1,17 126:25 133:5 134:2 135:6,7 136:23 137:20 138:14 140:4 142:7,23,25 143:1,15 144:3 152:4 153:14 157:3 158:3,9 158:12,18 160:16,18 164:9 166:25 167:19 169:21 172:9 173:18 173:23 174:10 174:14,18,20 175:19 179:20 182:6 183:8 188:4,7 190:1 191:24 192:8 192:11,12,16 192:19 193:5 193:10,13 195:8,11,20,21 196:10,23 197:1,3,13,14 <b>Goleta</b> 190:16 190:19 <b>Goni</b> 3:13 <b>good</b> 22:7 36:9 42:19 67:16 69:11 84:25 86:9 92:8,12 114:10 119:14 128:7 130:15 134:16,24 136:4 139:12 143:10 145:19 147:24 149:11 150:3 158:5,17	158:25 159:14 159:16 178:14 181:7 194:10 195:23 196:10 198:15 <b>gopher</b> 21:4 132:10,10,24 148:23 159:7 <b>gophers</b> 132:19 132:23 133:6 133:11 159:9 167:6,10 <b>Gordon</b> 4:16 60:2 140:21 141:17 142:3 166:10 <b>gotten</b> 131:14 <b>governed</b> 143:4 <b>governmental</b> 6:5 <b>governor</b> 6:11 120:2 121:8 125:15 151:7 151:21 179:11 185:18 197:19 <b>Governor's</b> 6:14 19:22 39:7 43:3 71:12 135:2 <b>GPM</b> 57:18,20 57:21 61:3 <b>gracious</b> 40:18 <b>gradient</b> 52:15 58:8 122:25 175:17 <b>grading</b> 138:6 <b>granted</b> 125:10 128:10 <b>graph</b> 29:19,24 31:3,12 32:22 150:3 <b>graphic</b> 14:14 69:23 71:1 <b>graphs</b> 10:3 135:10 <b>grassroots</b> 150:16	<b>grateful</b> 152:10 152:12 <b>gray</b> 117:25 120:4 146:6,7 <b>great</b> 25:7 67:15 86:3 120:24 123:3 151:12 152:14 178:11 191:15 197:4 <b>greater</b> 16:15 106:10 <b>greatest</b> 31:19 <b>greatly</b> 25:5 <b>green</b> 71:3 <b>Greenspace</b> 136:20,20 <b>Greg</b> 141:17 <b>Gresens</b> 4:4 13:7 13:9,20 14:1 25:19 26:7,16 26:20 27:1,3,6 27:10 28:2,14 28:17,21 29:8 29:23 30:3,11 31:15 32:18 33:3 34:3,22 35:2,12 36:4 36:14 37:17 38:1,17 39:16 40:21 41:8,12 41:18,22,24 42:6,17 43:1 43:10,16,22 44:2,13,25 45:5,8,25 46:4 46:15 47:4,11 47:17 48:7,14 49:13 50:1,12 50:16 51:4,24 53:16,25 54:7 54:20,23 55:1 109:18,21 110:13,24 111:8,16,20 124:15,22,22 125:25 126:17 127:5 162:6,12
---	--	---	---	--

162:12 163:21 164:11 169:20 170:1 <b>grew</b> 134:6 <b>Grill</b> 146:19 <b>ground</b> 24:9 41:16 64:24,25 65:2 133:15 138:11 163:2 <b>grounds</b> 180:5 <b>groundwater</b> 22:20 26:2 29:2,20 30:1 62:25 63:1,12 63:13 64:5 65:22 70:2,7 71:15,24,24 72:4,4 75:1,8 81:23 90:14,21 91:23 93:12 151:20 157:7 170:18 175:6,7 175:9,10 177:23 183:13 183:18,23 184:6,8,16,16 191:7 193:15 196:22 <b>groundwaters</b> 71:22 <b>groundwork</b> 143:24 <b>group</b> 9:12 150:1 181:9,10 <b>grown</b> 150:20 <b>grows</b> 144:9 <b>growth</b> 35:11,24 87:12 121:11 123:7 124:6 139:8 196:13 <b>Gruber</b> 14:8 113:19,20 126:10 147:20 147:23,24 164:17,17 165:10 <b>guess</b> 39:2,9	52:17 88:21 89:22 109:5 116:5 137:19 156:2 157:18 <b>guiding</b> 21:8 <b>guinea</b> 192:15 193:3 <b>guy</b> 98:3 <b>guys</b> 178:25 <hr/> <b>H</b> <hr/> <b>habitat</b> 15:15 120:25 <b>habitats</b> 142:17 <b>half</b> 46:8 104:13 133:8 140:14 150:13 154:15 159:8 167:23 176:8 <b>hand</b> 144:19 191:1 <b>handle</b> 93:7 <b>handled</b> 77:1 78:22,24 <b>handling</b> 141:19 193:25 <b>hands</b> 145:1,8 <b>handwashing</b> 83:19 <b>happen</b> 38:24 52:8 68:11 89:18 160:16 179:1 197:10 197:13 <b>happened</b> 32:23 159:7 <b>happening</b> 33:2 52:5 85:18 121:2 <b>happens</b> 16:10 21:25 45:12 52:4 88:3 122:21 154:23 172:13 197:9,9 <b>happy</b> 191:17 <b>hard</b> 155:9 186:10 194:3	<b>hardship</b> 125:23 126:2 <b>Harkins</b> 4:15 134:15 136:16 139:11,12,13 141:12 <b>harm</b> 142:18 147:13 <b>Harris</b> 3:7 4:3 5:15,16 9:9,10 10:14,15 12:16 12:17,20,24,25 13:8 33:14 34:5,12,14 48:19,23 49:2 51:19,20 55:2 55:25 62:4,6 69:6,7 78:3 82:7,11,25 83:13 88:7,25 89:5,10 90:25 91:2,14,22 92:5,9,10 104:8 108:13 110:3 115:2,7 118:24 119:3 148:25 152:6 152:17,19 157:19 158:5 159:25 160:13 161:11 167:4 167:19 168:14 169:19 171:25 172:18,23 173:3,7,16,19 173:22 174:14 177:14 178:1,5 179:17 180:1 181:7,16 182:4 183:4 186:13 188:6 192:10 193:23 196:24 <b>Harris's</b> 192:6 <b>Harvey</b> 81:6 83:5 <b>hate</b> 132:11 <b>haul</b> 95:9 97:7	129:17 <b>hauled</b> 28:15 <b>hauling</b> 111:16 148:13 <b>hazard</b> 99:2 <b>hazardous</b> 23:24 40:17,22 41:14 41:14 96:25 97:3,5,12 122:15 <b>HDPE</b> 107:7 <b>head</b> 15:14 48:15 50:5 102:14 123:1 <b>heading</b> 138:13 <b>heads</b> 169:4 <b>heals</b> 107:18 <b>health</b> 62:17,18 69:1 96:7 98:5 99:2,9 120:12 123:13 129:21 143:12,16,23 145:8 147:14 148:14 185:11 196:17 <b>hear</b> 40:5 48:8 54:12 85:8 120:14 135:5 145:13 157:18 160:8 169:9 171:22 188:5 194:12 <b>heard</b> 2:20 54:3 69:16 70:1 71:11 72:12 73:15 81:9 88:5 90:13 100:25 101:5 108:13 110:9 120:7 130:21 133:4,13 143:22 144:17 145:12 150:14 153:5 159:3 161:21,22 165:25 166:3,6 168:2 171:21	172:14 178:23 196:12 <b>hearing</b> 6:4 9:7 11:23 12:8 39:16 101:10 116:11 127:2,3 <b>hearings</b> 194:16 <b>Hearst</b> 147:5 <b>heartache</b> 42:23 43:6 <b>heavily</b> 103:11 <b>hectic</b> 165:11 <b>Hello</b> 62:8 <b>help</b> 13:25 52:7 59:22 65:24 67:17 101:13 149:19 198:20 <b>helped</b> 45:14 149:14 198:17 <b>helpful</b> 61:22 169:6 170:12 <b>helping</b> 22:15 120:25 <b>helps</b> 21:22 30:18 <b>Hensley</b> 4:16 141:17,22 142:2,3 <b>hesitate</b> 158:21 158:22 159:9 <b>hexavalent</b> 135:23 <b>Hey</b> 165:14 <b>hidden</b> 15:7 <b>hiding</b> 135:2 <b>high</b> 24:6 72:3 88:12 151:19 159:16 163:16 184:15 <b>high-density</b> 93:15,16 94:10 94:11 106:6,9 106:13 <b>high-efficiency</b> 45:15 <b>high-priority</b> 157:8
--	--	---	---	---

<b>higher</b> 18:14 24:17,18 31:7 41:20 71:23 102:7,7 175:15	23:12 <b>horse</b> 84:22 <b>hotel</b> 147:6 <b>hotels</b> 35:1 <b>hour</b> 13:14 41:4 118:20 119:6 122:11 133:8 149:10 <b>hour's</b> 127:25 <b>hours</b> 121:20 146:21 <b>house</b> 5:6 174:10 <b>housekeeping</b> 6:23 <b>houses</b> 174:9 <b>Howard</b> 4:7 5:25 69:7,12 84:4 86:3 89:2 89:7,8 90:13 152:20 168:6 174:22 177:11 178:5,23 188:13	169:14,16,22 170:12 171:5 188:17,20,24 192:21,22 195:12 <b>Hunter's</b> 190:14 <b>hydrant</b> 129:2 <b>hydraulic</b> 52:15 60:8,9 <b>hydrogen</b> 18:10 <b>hydrogeologic</b> 52:13 <b>hydrogeological</b> 133:17 <b>hydrologic</b> 56:7 <b>hydrological</b> 52:19 <b>hydrologist</b> 53:9 <b>hydrology</b> 55:15 <b>hygiene</b> 129:21	155:4,5,5,7,11 166:16 167:7 171:19 <b>impacted</b> 22:18 146:19 <b>impacts</b> 35:24 43:20,22,25 71:16,17 72:11 75:8 95:15,16 95:18 96:7 115:20 120:17 123:1,8 138:13 142:16 154:24 155:1,10,18,21 155:23 158:12 161:16 166:16 173:11 174:2 174:13 177:1 177:17 185:12 196:17,22 197:24 <b>impair</b> 129:23 <b>impaired</b> 170:21 <b>impediment</b> 89:16 <b>impermeable</b> 93:10 <b>implemented</b> 20:24 171:21 <b>implementing</b> 184:4 <b>implication</b> 169:7 <b>importance</b> 147:3,8 <b>important</b> 5:13 147:2 149:16 157:10 179:22 190:2 194:17 <b>impose</b> 8:16 112:21 155:13 177:3 <b>imposed</b> 112:24 <b>impound</b> 92:21 <b>impoundment</b> 1:15 2:14 39:20,20 72:23	78:24 88:15 89:13,15 92:17 92:19,22 93:3 93:10 94:4,19 94:20,21,24 95:6,19,20 96:4,5,8,10,12 96:14,23,25 97:5,7,16,21 97:24 98:8,16 98:24 99:2,5,8 99:11 100:18 100:19 101:17 101:21,25 107:6,25 108:5 111:13 116:3 122:9,20 154:13 166:12 167:17 <b>impoundments</b> 92:25 116:1 <b>impressed</b> 132:4 <b>improper</b> 142:8 <b>improve</b> 35:12 50:2 <b>improvement</b> 50:6 192:2 <b>inability</b> 39:11 155:25 168:23 168:24 <b>inadequately</b> 64:10 <b>inadvertently</b> 49:11 <b>inches</b> 48:16,16 103:24,25 <b>include</b> 63:21,22 68:3 71:14 87:5 129:1 132:19 160:9 181:21,22 182:18,20 189:12,14 <b>included</b> 7:2,16 8:10 42:24 71:13 79:9 171:17 187:3
<b>holding</b> 15:10 107:1 <b>holes</b> 17:21 <b>hollow</b> 17:21 <b>Holly</b> 9:1,4,15 134:14,16,17 <b>home</b> 150:11 <b>homes</b> 131:1 144:5,11 <b>honest</b> 149:1 <b>honestly</b> 105:8 <b>honorable</b> 142:2 <b>hookup</b> 190:19 <b>hookups</b> 124:11 195:3 <b>hope</b> 126:14 136:4,11,12 152:14 <b>hopefully</b> 24:12 146:8 172:10 175:12 178:3 <b>hoping</b> 148:5 <b>horizontal</b> 166:14 167:4 <b>horizontally</b>	<b>human</b> 96:7 170:19,22 171:3 <b>humility</b> 151:3 <b>hundreds</b> 106:10,17 <b>Hunter</b> 3:3 34:17,18,25 35:5,22 36:7 44:4 84:1 105:13,14,18 106:3,11,16,22 106:25 107:4,8 107:20 108:3 108:13,21 109:1,10,17,20 110:8,21 111:5 111:10 127:13 161:18,19 162:14 163:18 164:1 165:3,17 165:25 166:19 167:3,11,22 168:11 169:6	<b>idea</b> 33:19 37:15 67:23 105:22 118:21 130:1 134:23,24 140:13 <b>identical</b> 12:12 115:23 <b>identified</b> 6:13 37:10 43:20,22 43:23 90:24 105:15 127:20 <b>identify</b> 64:19 <b>iffy</b> 133:25 <b>ignoring</b> 20:5 <b>II</b> 1:15 2:14 <b>illnesses</b> 131:2 <b>illustration</b> 50:17 <b>image</b> 46:16 <b>Imagine</b> 144:22 <b>imbalance</b> 32:9 <b>impact</b> 53:21 54:2 77:20 87:1,15 95:25 109:8 142:17	<b>I</b> <b>idea</b> 33:19 37:15 67:23 105:22 118:21 130:1 134:23,24 140:13 <b>identical</b> 12:12 115:23 <b>identified</b> 6:13 37:10 43:20,22 43:23 90:24 105:15 127:20 <b>identify</b> 64:19 <b>iffy</b> 133:25 <b>ignoring</b> 20:5 <b>II</b> 1:15 2:14 <b>illnesses</b> 131:2 <b>illustration</b> 50:17 <b>image</b> 46:16 <b>Imagine</b> 144:22 <b>imbalance</b> 32:9 <b>impact</b> 53:21 54:2 77:20 87:1,15 95:25 109:8 142:17	

187:21 188:14 189:2,3,4,5,6 <b>includes</b> 34:25 63:22 66:14,20 96:15 140:19 154:13 185:2 <b>including</b> 13:2 16:14 76:17 112:15,23 154:8 <b>income</b> 146:18 <b>incorporate</b> 37:11 <b>incorporated</b> 8:11 37:4 63:6 <b>increase</b> 44:11 44:18,23,25 70:24 84:18 94:22 151:1 176:5 <b>increased</b> 21:12 138:23 <b>increasing</b> 40:25 53:22 107:10 177:16 <b>incredible</b> 147:1 <b>incumbents</b> 150:23 <b>indefinitely</b> 90:3 90:6 101:7,17 <b>independent</b> 6:5 94:2,3 <b>Indian</b> 20:17 <b>indicate</b> 51:10 170:17 <b>indicated</b> 29:3 57:12 101:16 113:15 114:1,4 <b>indicates</b> 151:3 <b>indicating</b> 84:8 84:9 <b>indication</b> 147:8 <b>indirect</b> 24:5 <b>individually</b> 181:8 <b>individuals</b> 5:7 <b>indoor</b> 30:14	<b>Indoors</b> 129:16 <b>inducement</b> 35:24 <b>indulge</b> 56:3 <b>industries</b> 151:14 <b>industry</b> 146:16 <b>infection</b> 144:10 <b>infiltrate</b> 57:15 <b>infiltrated</b> 81:23 <b>infiltrates</b> 61:2 <b>infiltration</b> 86:22 <b>inflict</b> 132:25 <b>inflow</b> 56:13 <b>inflows</b> 57:13 59:7 <b>influence</b> 175:12 <b>informal</b> 171:19 <b>information</b> 6:3 29:7 33:16,18 33:22,23 38:3 40:15 67:3 72:2 78:2,18 79:11 80:10 85:23 99:15,18 99:22 113:13 116:13 133:4 154:17 158:15 164:16 166:2 167:24 177:9 177:11 184:14 194:24 195:10 195:19 <b>informational</b> 172:21 180:3 <b>informed</b> 53:4 142:21 <b>infrastructure</b> 39:9 156:17 192:2 <b>initial</b> 66:22 79:13,14 82:25 83:1,3 <b>initially</b> 99:7 116:3 146:20 <b>inject</b> 55:5,10	<b>injected</b> 25:21 63:18 66:3,18 70:8 91:20 184:5 <b>injecting</b> 22:9 50:3 71:18 <b>injection</b> 16:1 17:5 24:9,22 26:1 57:21,22 58:6 63:22 65:3 66:10 69:19,24,25 70:9,10 78:20 90:15 174:17 174:21,24 175:5,8 191:9 <b>Inn</b> 146:7,7 <b>input</b> 5:13 88:18 89:4 152:25 198:2 <b>inputs</b> 12:15 55:14,16 88:9 88:20 119:12 <b>inside</b> 105:3 <b>inspection</b> 96:15 <b>inspections</b> 96:15 157:5 <b>install</b> 96:4 138:9 166:21 <b>installation</b> 96:2 <b>installed</b> 23:1 92:22 93:24 94:6 129:5 164:11,14 166:7,15 <b>installing</b> 94:2,4 164:10 <b>instance</b> 68:9 133:17 <b>instrumental</b> 21:8 <b>insufficient</b> 170:18 171:3 <b>intend</b> 117:6,7 <b>intends</b> 137:18 <b>intensity</b> 18:15 <b>intent</b> 64:2,9	75:21 87:10 131:11 170:10 <b>intention</b> 46:15 <b>interagency</b> 141:7,10 <b>interconnected</b> 41:3 <b>interim</b> 194:11 <b>intermittently</b> 103:18 <b>internal</b> 126:13 <b>interplay</b> 117:24 <b>interpreting</b> 75:22 <b>intractable</b> 173:15 <b>introduce</b> 5:15 14:11 62:4 69:6 73:3 92:9 <b>introduced</b> 69:15 <b>introducing</b> 15:14 <b>introduction</b> 85:18 <b>introductions</b> 14:3 <b>intrusion</b> 49:12 49:20,25 50:25 51:11,16 52:6 52:10,22 54:3 55:21,22 59:24 68:3 74:19 84:5,7 85:8,11 85:17,20 86:6 122:24 123:10 123:10 185:16 <b>invade</b> 132:24 <b>inventory</b> 90:12 119:22 <b>investigate</b> 143:2 <b>investment</b> 88:12 125:25 164:8 <b>involved</b> 99:15 167:14 191:3	<b>involving</b> 54:18 <b>inward</b> 60:9 <b>irreversible</b> 179:25 <b>irrigation</b> 32:5 132:20 <b>IS/MND</b> 20:7 <b>ISIS</b> 149:6 <b>isolated</b> 128:13 <b>Issuance</b> 1:9 2:8 <b>issue</b> 40:20 53:7 54:18 71:18 85:7 98:5,20 99:9 109:22 116:19 117:14 130:11,18 131:4,11 134:1 139:19,21 141:13 144:15 153:5 157:21 158:2 159:11 161:22,25 162:16 163:10 163:17,19,24 165:9 177:9 180:18 186:23 193:6 194:8 195:17 196:14 197:23 <b>issued</b> 19:10 21:1 38:12 114:8 131:8 151:8 155:15 <b>issues</b> 5:7 20:9 20:10 67:18 71:8 73:10,14 81:10 108:10 110:10 120:5 122:4 130:23 135:16 145:8,9 164:8 166:24 167:1 171:21 174:23 176:22 177:1 179:24 180:2 191:23 192:24 194:17 194:22 198:4
---	--	--	---	--

<b>it'll</b> 15:21 149:5	84:23,24 158:5	127:12,13	178:17 193:2	81:13 110:15
<b>item</b> 1:8,13 2:7	195:22 196:10	153:2,3,13,22	194:6	120:17 142:13
2:12 4:2 5:5,15	<b>John</b> 3:11,13	154:22 155:5	<b>kinds</b> 191:23	155:7
5:16 10:2 12:4	89:17	155:25 156:2,6	<b>knew</b> 11:25	<b>knows</b> 131:2
19:24 33:21	<b>Johnston</b> 3:5	156:12 157:22	<b>know</b> 9:21 11:23	<b>Kolb</b> 4:7 5:25
48:19 52:18	11:15,16 12:14	182:6 189:23	12:23 13:14	69:7,11,12
56:1 69:10	36:8,9 37:13	189:24 191:22	20:2 23:3 33:8	75:11,14 76:12
74:2 118:19	37:19 38:11	192:23 195:7	37:10 42:20	76:24 77:8,13
127:20 139:15	39:1,18 40:5	<b>Jordan's</b> 192:1	44:22 46:5	77:16,23 78:7
139:18 172:3,6	40:11 46:9	<b>Jr</b> 3:7	47:18 48:15	78:17 79:1
172:22 178:4	58:13,18,21	<b>July</b> 128:20	49:20,21 51:2	84:6 85:13
180:3,15	59:3 60:10	137:2	52:18 53:20	86:12,16,21,25
188:13 189:1	61:19 74:9	<b>jump</b> 14:13	55:13,14 56:1	87:3,17,21,24
189:14,18,20	76:3,4,13 77:4	197:14	59:20 61:4,12	89:9,12 90:16
195:16	77:11,15,18	<b>June</b> 63:2	61:13 78:15	90:19,23 91:18
<b>items</b> 5:6,14	78:25 80:17	<b>jurisdiction</b> 49:4	81:11 84:3	91:23 92:2
6:24 7:2 9:13	82:3,17 83:22		89:1 90:23	153:12 162:5
13:16 73:15	83:25 100:8,9	<b>K</b>	102:14,25	168:6,6 174:22
79:9 172:5	100:20,24	<b>keep</b> 5:9 31:22	103:7 105:1,4	174:22 177:20
181:15	102:2,10,17	57:17 61:16	106:21 108:18	188:13,13,19
<b>iterations</b> 126:8	103:6,10,20,25	84:18 87:11	108:21,24,24	188:23 196:25
	104:8,15,22	96:5,17 116:11	110:2,5 111:1	<b>Kurt</b> 4:6 5:22
<b>J</b>	105:11,12	119:7 158:18	111:3 113:24	62:7,8
<b>January</b> 30:4	127:13 156:8,9	179:23 191:13	114:11,20	<b>L</b>
32:2,24 151:7	159:22 160:1	<b>keeping</b> 10:25	115:11 116:23	<b>lab</b> 26:11 80:25
<b>Jean-Pierre</b> 1:5	161:8 172:25	<b>keeps</b> 52:15	124:6 125:17	<b>laboratory</b>
2:4 3:2	189:5,10	100:2	127:6 128:2	94:16
<b>Jeff</b> 62:10 152:8	191:20,21	<b>Ken</b> 148:25	131:9 133:3	<b>lack</b> 47:8,13
<b>Jeffrey</b> 3:6	192:23	<b>Kenneth</b> 3:7	135:25 136:9	50:24 190:8
<b>Jeffries</b> 3:4	<b>joking</b> 177:14	<b>kept</b> 103:16	138:2 155:4,10	191:13
25:15 26:5,14	<b>Jordan</b> 3:5	104:7	157:16 158:8	<b>lacking</b> 36:23
26:19,25 27:2	10:18 11:1,5	<b>key</b> 15:11 25:2	160:13,20	<b>lady</b> 29:2
27:4,7,23	11:10 40:12,13	33:4 56:8	161:12 163:22	<b>lagoon</b> 17:3
28:10,16,18,22	41:7,11,13,20	66:12	164:3 166:2	20:15 22:17,21
68:23,24 69:3	41:23,25 42:15	<b>kick</b> 165:22	167:5,6,22	50:5 59:14,18
84:1,2,20 86:1	42:22 43:5,12	<b>kill</b> 132:12,17	168:1,13	60:13,14,21,23
111:23,24	43:19,25 44:3	<b>kind</b> 25:17 26:17	171:19 172:3	71:16 73:16
127:11 171:7,8	44:22 45:1,7	30:1 37:22	173:13,13,25	76:6,23 77:20
180:22 181:25	45:23 46:2,9	45:4 55:11	175:21 179:5	82:6 85:19
182:3 187:25	46:18 47:8,13	59:16 60:21	179:14,21	86:12,14 87:4
188:11 189:22	47:23 74:9,10	61:8,9 64:11	192:18 193:2,9	87:11,20
195:13,14	75:12 76:1	64:12 68:8	194:12 197:17	121:25 122:5
<b>Jerry</b> 14:8	98:1,2,9,20	74:14 84:5	198:2	175:25 176:3
113:20 147:20	99:1,8,13,23	87:8 138:9	<b>knowledge</b>	<b>lagoons</b> 122:23
164:17 165:14	100:1,6 116:9	158:3,16	163:17	123:9
<b>Jim</b> 147:19	116:10 117:5	165:11 168:17	<b>known</b> 11:19	<b>laid</b> 24:8 94:9
<b>job</b> 1:24 20:14	117:23 118:9	169:8,8 177:2	74:25 75:8	

<b>Lake</b> 190:21	<b>layout</b> 139:22	162:9,10 165:7	<b>limitation</b> 8:17	91:21,25
<b>land</b> 19:3,6	193:12	167:23 168:5	39:19 112:16	176:14
20:23 92:14	<b>leachate</b> 93:19	171:15,16	112:23 113:2	<b>literally</b> 114:15
108:5 124:10	<b>lead</b> 27:15	<b>letters</b> 8:21,23	117:16	148:13 178:21
139:24,24	<b>leading</b> 180:10	11:11 67:24	<b>limitations</b>	178:22,25
140:3,4,8,11	<b>leak</b> 93:11 104:5	95:13,14 149:9	60:17 83:9	<b>little</b> 13:7,15,18
140:19 162:3	105:10,21	<b>level</b> 22:3 27:25	112:20	17:8 18:21
164:24	108:2,10,12	28:15 29:11	<b>limited</b> 32:3	19:3,8 21:21
<b>landfill</b> 108:7	109:4	31:7,13 32:8	112:7 129:9	24:3 37:17
111:17	<b>leakage</b> 60:25	44:24 56:16	130:17 138:3,4	40:14,15 46:11
<b>landfills</b> 111:18	61:6 104:4,4	64:3 75:1 87:6	148:4	48:16 57:20
156:25 157:1,5	107:10,23	89:4 101:6	<b>limiting</b> 125:20	70:12 73:21
157:8,9	<b>leaking</b> 105:4	102:7 103:17	<b>limits</b> 39:12,14	85:6 88:19
<b>landing</b> 95:18	<b>leaks</b> 93:21,23	103:19 104:7	<b>Lincoln</b> 162:19	93:4 100:24
96:3	<b>learned</b> 131:11	115:13 117:9	<b>Lindsay</b> 89:17	101:8 118:13
<b>landmark</b>	<b>learning</b> 158:17	154:25 159:16	<b>line</b> 24:12 54:25	119:16 122:21
146:25	<b>leave</b> 34:14 99:8	<b>levels</b> 17:15	70:13,14 72:14	127:18 128:3
<b>landscape</b>	99:11 116:18	22:17 23:24	104:10 140:17	131:16 136:17
129:14	133:9 141:23	28:3,6 29:4	140:21 141:3,3	142:19 149:1,9
<b>landscapes</b>	147:22 161:11	30:1 31:4,6,10	141:4 163:1	158:11,18
129:16	197:7	41:20 43:24	165:2 166:12	168:16 179:5
<b>language</b> 7:4	<b>leaves</b> 98:23	51:5 56:15	<b>lined</b> 93:10 95:4	182:13 188:6
113:17 138:18	122:19	59:17,19 72:15	96:13 105:20	190:9,23
169:24 189:9	<b>LeCaro</b> 168:7	75:3,4,9 76:6	<b>liner</b> 21:13	191:21 197:1
<b>large</b> 55:9 59:8	<b>left</b> 25:12 28:12	88:24 89:3	93:14,16,18,19	<b>livable</b> 173:13
59:14 61:5	67:19 123:22	91:15 97:12	93:21,22,24	<b>live</b> 138:21
132:23	171:7 182:7	100:2 122:15	94:3,6,8 106:1	145:15
<b>largely</b> 56:12	194:20	137:22 163:9	106:3,5,6,9,13	<b>living</b> 132:12
170:6	<b>legal</b> 83:8	170:18 176:3	106:16,20	<b>load-tolerable</b>
<b>largest</b> 15:8	186:19 189:13	179:11	107:14 108:6	63:15
<b>lastly</b> 52:17	<b>legislation</b> 161:1	<b>leveraging</b>	111:14,15	<b>loads</b> 72:20
<b>late</b> 6:24 7:8,11	180:7	190:23,24	131:18 185:23	<b>local</b> 20:22
7:13 9:23 10:6	<b>lengthy</b> 7:17,20	<b>life</b> 87:2,16	<b>liner's</b> 93:24	35:15 44:17
57:4	<b>let's</b> 34:14 35:8	106:7 120:18	<b>liners</b> 108:8	128:12
<b>lately</b> 165:11	48:23 112:13	128:9 134:10	<b>lines</b> 133:2	<b>localized</b> 100:21
<b>latitude</b> 156:3	119:7 122:21	<b>lifespan</b> 106:3,9	158:15 162:23	<b>located</b> 23:16
<b>laundromat</b>	132:16,17	106:21 107:11	<b>lining</b> 23:1,2	56:20 57:5
45:14	152:23 154:22	<b>lifted</b> 131:8	133:8	62:12,19 68:16
<b>law</b> 42:17	174:23 183:4	<b>light</b> 18:9 127:18	<b>list</b> 10:19 80:23	70:2 84:8
<b>lawn</b> 133:2	196:8	<b>liked</b> 193:18	83:20 160:21	93:13 162:3
<b>laws</b> 183:16	<b>letter</b> 8:6,25 9:5	<b>likelihood</b>	196:20	<b>location</b> 57:6
<b>lay</b> 143:24	9:16,20 11:12	121:19	<b>listen</b> 134:3	69:23 71:2,19
<b>layer</b> 60:20	12:3,6 65:19	<b>limit</b> 60:9,11	<b>listening</b> 134:8	97:16 139:22
106:19	66:2,8 67:2,5,7	61:2 66:18	145:20 156:10	154:9
<b>layers</b> 106:4,18	68:12,17 79:7	103:20,21,21	<b>listings</b> 73:8	<b>Lodge</b> 3:12 4:9
107:7	100:9 113:25	104:1,16 115:3	<b>liter</b> 56:25 57:1	6:1 92:10,12
<b>laying</b> 94:11	140:6 161:25	126:3 143:3	57:7,9 91:20	92:13 98:3,7

98:11,25 99:4	178:24	119:21 125:5	<b>maintained</b>	94:12 97:3,5,6
99:10,17,25	<b>looked</b> 37:2	<b>low-TDS</b> 57:25	119:21	97:7 106:1,20
100:4,15,22	156:4 162:17	<b>low-threat</b> 79:5	<b>maintaining</b>	107:7,13,15,19
101:15 102:9	167:15	79:16,17 80:6	59:17,18 93:5	154:16
102:13,25	<b>looking</b> 24:22	80:15,18 82:19	151:18	<b>materially</b> 154:7
103:7,11	37:3 77:22	83:9	<b>maintenance</b>	<b>materials</b> 7:24
104:19 105:5	103:3 109:22	<b>lower</b> 24:23 31:8	66:13,17 68:1	8:11,15 19:4
105:24 106:5	115:13 130:2	31:16 56:15	68:6,17 129:15	59:25 77:19
106:12,18,23	137:5 138:11	59:21,25 60:18	157:24	105:21 106:4,5
107:2,5,12,25	156:14 158:3	61:10 72:17,17	<b>major</b> 40:9	107:11 193:20
108:4,18,24	159:20 163:4	72:18,18,20	157:9	<b>math</b> 127:22
109:5,12	176:18,21,23	73:5 81:25	<b>majority</b> 150:24	<b>matter</b> 12:8,10
115:25 152:6,7	182:6 189:8	175:5 183:19	151:4	12:12 28:6
166:9,9,23	193:13 194:9	<b>lowered</b> 30:1	<b>making</b> 9:25	164:22 179:4
167:16 188:25	197:13	<b>lowest</b> 125:6	20:19 33:22	<b>maximum</b> 31:9
188:25 189:7	<b>looks</b> 32:10	<b>Luis</b> 1:11,15,20	34:10 36:24	66:3,3,8 72:6
<b>logs</b> 60:1	111:5	2:10,14,18 5:1	40:18 104:3	74:13,22 91:12
<b>long</b> 25:18 38:4	<b>loop</b> 25:23	13:22 19:10	122:1 156:14	121:13 183:20
59:6,9 67:24	<b>loophole</b> 135:4	95:24 109:12	186:4	184:18
87:18 103:7,18	151:14	142:3 179:13	<b>manage</b> 161:12	<b>Mayor</b> 31:1
104:14 109:8	<b>Lori</b> 3:10 116:11	<b>lunch</b> 118:16	<b>management</b>	54:15 67:25
118:6 125:17	183:4	119:9	132:16 157:24	86:2 111:25
130:1 143:1	<b>Los</b> 55:6	<b>Luster</b> 8:14	<b>manager</b> 14:8	171:13 196:1
153:15 185:13	<b>lose</b> 196:8	<b>Luster's</b> 11:12	79:3 113:5,20	<b>McCLURE</b> 1:23
<b>long-term</b> 31:20	<b>loss</b> 85:15 88:17	113:25 114:5	126:9 164:15	2:23
37:1 109:21,23	120:13	171:15	164:17	<b>McLaughlin</b>
113:3 142:10	<b>lost</b> 16:16 17:3	<b>Lynn</b> 4:15	<b>mandate</b> 179:18	11:18 12:4,9
143:19 156:17	88:14	134:15 136:16	<b>mandatory</b> 32:4	<b>MCOs</b> 63:17
176:17	<b>lot</b> 16:19 60:22	139:11,13	115:6	<b>mean</b> 37:23
<b>longer</b> 83:14	63:17 68:6,15		<b>map</b> 50:15 54:22	38:17 39:2
106:8 110:2	76:21 102:21	<b>M</b>	<b>March</b> 31:5,11	41:14 47:8
122:22 129:25	102:22 106:9	<b>M</b> 190:18	32:22 131:8	50:9 54:5 88:4
<b>longer-term</b>	114:19 115:11	<b>machine</b> 23:11	<b>Mari</b> 4:10 14:10	109:5 115:15
36:12 37:14	115:11 119:17	137:1	29:12 39:16	115:25 127:21
<b>longstanding</b>	121:1,5 124:5	<b>machines</b> 45:15	51:24 119:14	132:7 136:21
36:14	131:5 135:14	45:15	<b>Marigold</b> 118:14	138:17 158:6
<b>look</b> 7:19 34:11	140:5,20,24	<b>mad</b> 135:4	<b>Mark</b> 1:23 2:23	159:7 161:4
37:16 45:23	141:4,8 143:22	<b>Madam</b> 150:9	4:19 147:20,21	174:8 188:8
47:24 55:19	150:2 160:18	<b>main</b> 15:5 62:13	150:10	<b>meaning</b> 163:3
56:9 75:14	177:6 193:5	63:12 64:7	<b>Mary</b> 4:14 10:1	<b>means</b> 51:1
81:14 83:15	195:15 196:2	82:17	134:15 136:16	102:19 106:11
99:10 103:2	198:11	<b>maintain</b> 5:10	136:19	138:22 148:20
105:6 110:5,19	<b>lots</b> 76:17	23:4 28:3	<b>massive</b> 107:23	157:16 165:23
120:23 153:6	197:12	59:22 61:3	<b>material</b> 22:23	170:13
156:3 168:7	<b>Lou</b> 7:16	72:14 76:6	60:6,7,11,22	<b>meant</b> 169:10
170:11 177:15	<b>love</b> 134:9	93:7 103:4	79:12 93:11	<b>measure</b> 18:6
177:18 178:17	<b>low</b> 61:4 86:6,7	183:22	94:3,6,8,9,10	26:4 51:4

78:14 128:17	150:21 156:10	<b>middle</b> 131:15	141:21 149:22	154:11
<b>measurements</b>	156:11 183:5	<b>middle-aged</b>	149:23 199:7	<b>modified</b> 15:10
80:2,3	186:14 198:2	148:10	<b>mirror</b> 46:16	129:15 186:12
<b>measures</b> 20:14	199:3	<b>migrate</b> 16:6	<b>mispronuncia...</b>	186:18 188:2
20:24 33:1,4	<b>membership</b>	<b>migrates</b> 15:18	152:5	189:11
43:23 45:21	150:14	<b>migration</b> 48:4	<b>missed</b> 34:20	<b>modify</b> 79:17
94:5 95:22	<b>membrane</b>	49:23	<b>mission</b> 191:7	181:21 185:4
96:3 105:9	17:20 69:21	<b>Mike</b> 85:13	<b>misspeaking</b>	186:16 188:4
120:5,7 121:11	70:15,19 76:5	115:8	111:21	189:11
129:20	76:10,16 77:8	<b>mile</b> 41:4	<b>mist</b> 41:12 98:23	<b>moment</b> 87:9
<b>mechanical</b>	82:6,8	<b>miles</b> 16:11	197:7	115:13 132:18
23:10 40:25	<b>membranes</b> 18:3	100:12 122:11	<b>mistake</b> 130:19	198:21
94:18 96:10	<b>memo</b> 77:6	<b>milligrams</b>	<b>mistaken</b> 29:2	<b>Monday</b> 7:5,8
103:12 122:9	<b>memory</b> 170:10	56:25 57:1,7,9	<b>Mitch</b> 165:12	27:16,17
<b>mechanism</b>	175:3	91:20,21,25	<b>mitigable</b> 155:11	<b>money</b> 110:11
52:21	<b>mention</b> 143:14	176:13	155:12	148:3,5
<b>mechanisms</b>	<b>mentioned</b> 16:22	<b>million</b> 24:11	<b>mitigate</b> 155:7	<b>Monica</b> 3:3
161:9	30:20 32:15	25:22 85:22	155:21,25	<b>monitor</b> 20:11
<b>medical</b> 143:13	36:11 37:2	93:4 137:1	185:15,17	20:13 21:2
<b>mediocre</b> 133:10	45:1,7 51:21	147:4,5 148:4	<b>mitigated</b> 44:1	23:16 50:11
<b>meet</b> 15:11 66:7	56:20 113:4	176:8	154:25 155:6	51:9,11,15
71:25 79:15,23	119:20	<b>mind</b> 92:8	192:10	52:22 81:4
80:6,15 83:10	<b>mercury</b> 24:1	116:15 179:23	<b>mitigation</b> 15:13	84:7 158:10
92:22 163:14	122:16 135:22	190:2	17:2 21:15	<b>monitored</b> 82:21
168:24 191:6,7	<b>messages</b> 198:8	<b>mine</b> 198:2	22:20 43:23	86:7 123:10
<b>meeting</b> 6:13	<b>met</b> 116:20	<b>minimal</b> 124:7	59:14 73:16	<b>monitoring</b>
12:3 26:21	153:19	<b>minimally</b> 71:21	87:4 95:21	15:21 16:1,3
27:15 43:18	<b>meteor</b> 149:5	71:21	121:25 148:23	20:13 25:22
63:9 75:17	<b>meteorologist</b>	<b>minimum</b> 31:8	155:8 166:13	28:3 51:1,16
114:15 118:22	89:17	38:6 64:16,18	<b>model</b> 49:18	53:3 56:19
126:17 128:19	<b>metes</b> 163:5	<b>minor</b> 180:23	52:13,19 59:4	57:2 60:24
139:17 172:25	<b>methylizing</b>	185:20	65:14,16 66:7	61:13 65:23
187:18 194:21	135:22	<b>minute</b> 16:8	83:2 96:22	66:13,14,17
<b>meets</b> 97:19	<b>Michael</b> 3:5,5,8	17:5,10,18	102:13 170:17	68:2,3,7,10,12
186:6	4:5 11:18 14:7	18:24 19:4	<b>modeled</b> 79:14	68:16 71:15
<b>member</b> 14:7	56:6	24:7,19,23	79:15 158:15	72:2 79:18,21
32:14 33:18	<b>micro-filtration</b>	25:1 45:6 50:5	<b>modeling</b> 24:24	79:23 80:1,7,7
67:14 143:13	17:16 57:17	57:15,16 58:15	51:22 52:1,3	80:24 82:25
167:24	59:21	58:18 59:13	54:9 59:12	83:2,4 84:5,10
<b>members</b> 3:4	<b>microfiltered</b>	60:13,20 66:3	84:15 113:15	84:13 85:21
6:25 12:23	122:2	66:4,6 77:4	133:17,21	87:5,5,6 93:12
14:6 33:20	<b>micromanage</b>	124:3 144:13	154:1	93:23 97:10
34:1 39:2	160:14	<b>minutes</b> 9:21	<b>models</b> 133:22	113:14 122:18
48:21 69:11	<b>micromanaging</b>	12:20 13:5,9	133:23	133:24 153:25
92:12 113:20	168:15	118:18 127:17	<b>modification</b>	157:7 158:8,14
123:22 139:12	<b>mid-summer</b>	127:19,21,23	188:1 189:21	173:10 175:23
147:25 150:10	133:20	131:25 141:14	<b>modifications</b>	175:24 184:15

186:21 193:17 <b>monitors</b> 20:17 56:22 105:3 <b>month</b> 16:15 28:5 64:24 101:10 126:25 167:23 <b>monthly</b> 66:19 68:12 80:3 <b>months</b> 15:22 18:25 26:25 27:12,19 28:8 29:9 30:24 32:15,17,17,25 38:4 39:11,22 39:23,24,24,25 40:1 64:17,19 65:17 101:8 114:13 119:22 121:14,18,21 126:19 135:9 144:23,24,24 148:8,18 150:17,21 151:24 174:25 175:12 <b>Moonstone</b> 146:19 147:1 <b>moot</b> 125:21 <b>moratorium</b> 131:8 190:18 195:3 <b>morning</b> 8:22 9:1 10:9,22 36:9 69:11 83:25 195:15 <b>motel</b> 147:6 <b>motels</b> 146:5,17 <b>mother</b> 132:11 <b>motion</b> 171:17 180:16 181:5 181:21 182:7 182:14,17,24 186:12,15,16 186:19 187:3 187:22,25 189:6,12,20,21	192:20 195:8 197:25 198:25 199:4 <b>motions</b> 190:1,5 191:18 <b>mound</b> 21:21 22:10 55:18,20 57:23,25 58:6 85:16 <b>mounds</b> 132:21 <b>mounted</b> 23:12 <b>move</b> 34:15 39:6 57:7,10 60:4 98:21,23 115:12 125:14 127:25 157:14 174:9 177:25 186:14 <b>moved</b> 132:8 <b>movement</b> 51:23 58:10 <b>moves</b> 49:21 <b>moving</b> 41:21 65:4 110:12,13 119:8 132:25 192:19 <b>MPDS</b> 82:19 113:11 <b>multi-agency</b> 139:16 <b>multi-barrier</b> 63:21 <b>multi-barriers</b> 63:24,25 <b>multiple</b> 26:7 <b>municipal</b> 93:1 168:20 <hr/> <b>N</b> <hr/> <b>N</b> 4:1 <b>name</b> 14:1 62:8 69:12 79:2 119:14 124:20 134:16 139:13 141:24 145:21 150:10 <b>names</b> 128:1	141:16 <b>nanometer</b> 18:7 <b>National</b> 37:5 <b>native</b> 20:17 81:23 <b>natural</b> 64:23 94:22 135:21 <b>nature</b> 42:23 144:22 153:7,8 172:16 <b>naysayers</b> 151:5 <b>near</b> 51:6 57:12 62:21 185:13 <b>nearly</b> 17:22 <b>necessarily</b> 80:17 81:19 82:18 115:6 149:18 155:19 <b>necessary</b> 64:20 64:21 73:11 125:20 146:16 151:1 154:18 158:4,24 171:11 185:14 192:18 <b>necessity</b> 167:25 <b>need</b> 10:4 13:6,7 40:1 51:17 82:7 89:17 102:20,23 103:3 113:15 114:23 119:17 119:17 121:2 138:19,25 144:11,21 145:2 147:10 155:23 159:24 160:14 165:19 166:23 169:2 179:10 180:25 184:2 187:3,21 187:21 195:9 <b>needed</b> 23:8 38:6 68:9 79:10 113:2 125:19 <b>needs</b> 20:4 27:9	53:10 62:24 88:23 155:12 155:13 172:16 177:19,19 <b>negative</b> 43:14 45:20 87:2,15 173:14 <b>negligible</b> 196:23 197:24 <b>neighborhood</b> 175:1 <b>neither</b> 66:6 <b>NEPA</b> 110:17 111:2 <b>nest</b> 57:3 <b>net</b> 17:11,12 44:7,11,23,25 61:15 85:15 88:17 190:25 <b>neutral</b> 87:15,17 87:22 <b>never</b> 43:16 110:15 132:6 162:15 168:2 177:15 <b>new</b> 8:2 16:1 22:9 35:9,14 44:5,7,10,11 44:19,23 45:3 45:17 49:10,15 57:22 66:2 67:14 75:6 79:11 85:23 113:13 120:4 124:16 133:3 153:25 154:17 155:17,22 178:13 180:8 190:11,19,25 190:25 192:7 195:20 <b>nice</b> 14:14 132:16 <b>Nick</b> 149:10 165:13 <b>night</b> 8:22 19:8 66:24 73:19	87:10 162:11 178:24 179:1 <b>nights</b> 178:22 <b>nineties</b> 162:25 164:14 <b>nitrate</b> 71:20 72:17 73:2,8 91:18,21 175:7 176:12 197:1 <b>nitrates</b> 72:23 73:10 174:19 175:1 <b>nitrogen</b> 73:3,5 176:18 <b>NOAA</b> 89:22 <b>nodding</b> 8:4 <b>noise</b> 20:20 <b>non-hazardous</b> 104:3 <b>non-MCO-type</b> 68:15 <b>nonemergency</b> 117:1 <b>nonpotable</b> 129:14 <b>noon</b> 7:5,7 <b>normal</b> 18:15 21:23 31:23 41:1 52:4,16 78:5 112:9 157:4 166:19 193:25 <b>normally</b> 38:4 51:11 84:21 85:2,5 108:7 144:4 <b>north</b> 44:17 134:6 141:1,5 166:11 <b>note</b> 79:13 <b>noted</b> 12:2 100:9 <b>notes</b> 163:2 173:5 <b>notice</b> 5:6 167:9 <b>noticed</b> 19:8 <b>notices</b> 7:2 <b>November</b> 1:21
--	---	--	---	--

2:20 5:1 7:18 19:23 26:21 27:2 65:19 67:7 114:3 131:14,15 172:5,20,25 173:3 180:4 <b>nozzle</b> 98:15 <b>NPDS</b> 77:2,10 78:23 79:3 <b>NTB</b> 81:8 <b>nuclear-powe...</b> 174:7 <b>nuisance</b> 49:6 184:10 <b>nuisances</b> 49:4 <b>number</b> 7:6,17 22:17 34:20 47:19,23 48:15 72:10 101:21 114:2 118:11 140:24 156:11 158:8 159:3,19 169:7 180:18 180:20 186:20 186:21,23,25 193:5 <b>numbered</b> 139:14 <b>numbers</b> 58:14 102:14 133:18 134:8 <b>numeric</b> 92:1 <b>numerical</b> 133:20,22,23 <b>numerous</b> 22:18 103:14 148:21 <b>nurse</b> 143:13 <b>nutrient</b> 83:22 <b>NW-1</b> 93:13	19:10 95:24 109:12 142:3 179:13 <b>objective</b> 91:11 <b>objectives</b> 75:18 83:7 184:13,20 <b>observations</b> 180:13 <b>obtain</b> 79:4 116:25 149:19 <b>obtained</b> 31:25 65:15 163:11 <b>obviously</b> 22:7 25:8 63:3 75:4 90:17 137:3 164:16 <b>occur</b> 78:10 93:23 97:6 98:14 103:15 108:22 114:22 130:7 131:2 158:20 185:12 197:15 <b>occurred</b> 108:17 138:9 140:9 <b>occurring</b> 17:9 30:19 31:20 107:10 <b>occurs</b> 158:21 <b>ocean</b> 16:14 21:19,20,23 22:6,13 50:10 52:24 53:15,19 56:12,14 57:1 82:5 109:9 116:4,6 167:20 <b>October</b> 7:3,21 66:23 73:18 79:8 <b>odd</b> 182:9 <b>offer</b> 74:18 75:7 182:13 <b>offering</b> 182:7 <b>office</b> 6:14 13:23 13:23 144:23 <b>officer</b> 3:7,8 80:13 82:20	94:1,14 167:9 185:22 194:12 <b>officer's</b> 194:18 <b>official</b> 144:17 <b>offset</b> 35:14,17 44:15,22,23 <b>offsets</b> 35:20 124:16 <b>offshore</b> 61:17 <b>offsite</b> 96:13 <b>oh</b> 53:3 124:22 144:12 189:3 <b>okay</b> 8:5 10:13 11:10 27:18 37:19 40:11 41:12,25 47:25 48:10,25 49:8 76:1 77:18 86:19 91:22 106:25 111:10 113:4 116:7 118:10 124:19 169:14 171:12 182:15 186:11 197:7 <b>Okun</b> 3:10 6:22 8:6 9:19 10:24 11:3,9,11 33:24 34:13 49:3 54:24 90:9 91:5 111:11,18,22 112:14 113:9 116:18 117:11 118:5 153:21 153:23 155:4,9 156:1,5 165:18 168:19 169:11 169:15,18 170:14 176:25 180:23 181:10 181:18 182:22 183:6 187:2 189:8 <b>Okun's</b> 9:11 <b>old</b> 73:21 163:5 163:8	<b>Olson</b> 3:9 172:24 <b>OMMP</b> 67:8 73:15,17,18,19 87:4 <b>once</b> 31:21 37:9 95:10 141:20 155:15 181:17 182:25 188:2 194:6 <b>one-five</b> 134:4 <b>one-log</b> 64:23 <b>one-tenth</b> 18:7 <b>one-year</b> 112:15 157:15 172:4,4 <b>onerous</b> 32:2 171:17 <b>ones</b> 91:17 143:6 160:7 173:12 <b>ongoing</b> 63:4 83:21 106:8 147:11 188:9 <b>online</b> 66:10 170:11 <b>onsite</b> 20:11 23:16 94:1 95:1 100:14 <b>open</b> 146:23 157:2,3,3 169:3 197:10 <b>operate</b> 6:8 27:11,19 28:5 46:14,25 47:10 47:15 66:16 77:12,16,17 78:7 84:21 94:24,25 95:3 101:7,11,12,19 102:1,24 103:17 104:16 112:24 117:16 117:22 121:7 121:13 122:10 122:23 123:18 125:13,14 165:23 191:4 <b>operated</b> 101:1	161:10 <b>operates</b> 18:14 46:17 <b>operating</b> 27:20 52:16 65:17 66:2 77:21 96:16 103:14 104:16 117:2 160:3,5,12 165:21 193:25 <b>operation</b> 23:9 24:21 27:7,17 28:11 30:16,17 31:24 35:25 37:20 51:6 52:21 65:11 66:13,14,17 68:6,14,16 84:17 88:4 89:15,16 96:21 96:23 100:25 103:20,22 104:1 114:19 118:3,4 125:15 128:16 130:11 138:16 162:15 175:14 191:5 <b>operational</b> 27:15 114:18 121:5 <b>operations</b> 5:18 53:2 56:10 57:11 68:1,15 99:19,24 115:19 118:8 121:4 130:7 157:24 190:8 <b>operators</b> 157:2 168:22 <b>opinion</b> 38:24 50:1,8 68:4 160:14 <b>opinions</b> 149:24 <b>opportunity</b> 6:2 7:18 9:2 10:9 13:4,13,16 118:17 119:12
<b>O</b>				
<b>o'clock</b> 73:19 87:10 188:8 <b>Obispo</b> 1:11,16 1:20 2:10,15 2:18 5:1 13:22				

152:17 189:24	<b>orders</b> 5:18 6:1	72:24 96:8,13	<b>pads</b> 94:20	76:19 77:21
<b>opposed</b> 37:6	8:17 19:22	98:7	<b>page</b> 4:2 139:14	79:9,16,18,25
50:2 53:23	20:3 43:3	<b>outstanding</b>	183:6,8 186:3	80:20,22,23
199:4	69:18 71:7	73:14	<b>pages</b> 10:1,8,23	87:3 109:24
<b>opposition</b> 12:2	72:24 74:5	<b>outweigh</b> 184:2	10:24 11:2,5	112:14 117:10
<b>optimistic</b> 127:6	84:4 91:6	<b>over-extraction</b>	139:14,15	128:4 146:13
127:7	112:17 113:1	29:1	<b>paid</b> 148:6	154:23 156:22
<b>optimizes</b>	117:8 153:23	<b>overall</b> 17:13	<b>pair</b> 19:14	157:10 158:9
120:24 123:3	180:24 181:17	56:9 69:15	<b>palms</b> 145:4	164:12 168:25
<b>option</b> 82:16	184:25 187:8	87:14 88:17	<b>panel</b> 83:15	175:17 176:19
104:8,14	189:9	170:10	<b>paper</b> 47:24	182:24 183:23
108:14,22	<b>ordinance</b> 20:23	<b>overdramatize</b>	<b>paragraph</b> 74:4	198:1
109:2,6,6	131:10 168:20	148:15	183:7,11 185:5	<b>partial</b> 150:6
<b>options</b> 110:4	169:13	<b>overlap</b> 21:13	185:21	<b>particles</b> 18:7
113:5,8 143:2	<b>ordinances</b>	<b>overly</b> 127:6,7	<b>parallel</b> 114:10	<b>particular</b> 16:19
167:14	170:2	<b>overriding</b>	<b>parameters</b>	36:18 38:19
<b>order</b> 1:9,10,14	<b>ordinary</b> 170:25	197:23	71:20 121:4,5	54:18 79:24
2:8,9,13 5:18	<b>organic</b> 18:11	<b>oversight</b> 63:4	<b>paramount</b>	80:11 82:13
21:7 23:8 35:6	60:20,22	<b>oversimplified</b>	147:11	110:19 117:13
40:4 41:15	<b>organics</b> 18:4	124:4	<b>paraphrase</b>	150:19 152:4
69:18,20 70:9	<b>organization</b>	<b>overtime</b> 178:20	74:11 85:13	168:9 195:16
70:12,16 71:14	150:17	193:23	<b>parcel</b> 139:19	<b>particularly</b>
72:1,5 73:23	<b>originally</b> 14:17	<b>overuse</b> 170:9	<b>parents</b> 134:6	13:21 20:15
73:25 76:25	79:5 85:25	<b>overview</b> 15:23	<b>park</b> 174:6	30:5 153:6
77:4,9,17	141:4 166:25	23:20	<b>Park's</b> 139:24	<b>partner</b> 159:14
84:20 85:1	<b>osmosis</b> 17:16	<b>overwhelming</b>	<b>parks</b> 8:7 11:12	159:16
91:6 93:6 95:3	18:3 21:11	150:24	100:10,11	<b>parts</b> 24:11
95:5,12,14	63:23 72:22	<b>owned</b> 150:11	112:4 129:3	25:22
96:9,14,19	122:3	<b>owners</b> 146:20	130:25 139:20	<b>party</b> 7:12
97:3,23 104:21	<b>ought</b> 135:19	<b>ownership</b>	140:5,5,10,19	<b>pass</b> 11:13
111:15 117:4	136:5	139:18 165:22	140:23,24	<b>passed</b> 10:2
127:24 154:13	<b>ourself</b> 150:1	<b>oxidation</b> 17:17	141:1 142:13	70:18 77:6
155:19 156:23	<b>outage</b> 171:4	18:8 63:23	149:11 161:24	81:17 131:10
157:11 172:1	<b>outcome</b> 47:18	<b>oxidize</b> 18:11	161:24 162:3,9	148:2 180:8
180:18 181:8	<b>outdoor</b> 32:5	<b>oxygen</b> 73:9	162:24 163:14	199:4
181:21 183:12	129:12 138:3		163:17 164:1,5	<b>passing</b> 33:25
183:20 184:6	146:25	<b>P</b>	165:4,7,21,21	63:19
184:11,17	<b>outfall</b> 104:12	<b>p.m</b> 146:24	166:4 171:16	<b>passionately</b> 5:8
185:20,21,24	137:6 167:20	199:8	<b>part</b> 6:4 9:6	<b>path</b> 19:15 37:1
185:25 186:20	<b>outflow</b> 56:13	<b>pace</b> 105:7	26:21 27:24	195:5
186:23,25	<b>outflows</b> 57:13	193:15	30:4 39:8	<b>pathogen</b> 63:25
187:9,15	<b>outhouses</b>	<b>package</b> 70:6	42:16 43:7	64:2
188:16,20	144:18	181:13,14	46:24 50:21,23	<b>pathogens</b> 17:17
189:14,17	<b>outlining</b> 158:6	188:15	51:13 53:3	18:14 64:3
192:1 193:19	<b>outputs</b> 55:14	<b>Packard</b> 81:6	58:1 59:10,14	<b>patience</b> 199:5
<b>ordered</b> 159:12	<b>outside</b> 41:9,19	83:5,5 152:8	59:25 60:14	<b>patio</b> 146:25
180:19	48:22 53:12	<b>packet</b> 139:14	64:8 70:18	<b>pattern</b> 178:14

<b>Paul</b> 4:18 142:1 145:21	<b>percolation</b> 16:12,23 21:18 21:22 22:2 30:12 52:6,10 54:25 56:11 57:14,19 58:15 58:19,22 59:4 62:22 69:22 70:3,16 71:4 73:6 76:15 78:19 81:18 86:22 122:7,25 140:8,14,23 176:11	19:16,18 20:1 21:1 22:24 26:17 36:3 38:11,14,16,19 38:23,25 42:9 42:12 62:15 63:6 66:15,15 67:6,10 68:24 69:9,9 77:2 78:23,24 79:5 79:16,17,19 80:6,11,12,16 80:18,23 82:19 83:9 92:11 95:24 109:25 112:22 116:20 116:24 117:1 117:15,17,22 117:25 118:3,7 121:6,9 125:10 125:23 126:4 126:15 130:19 131:21 136:24 137:8,9,10,13 137:15,17 138:7,15 139:1 139:9 142:8,11 143:3,18 149:20 152:2 153:9,10 155:15,23 157:15,22 160:5,5,10 169:24 197:6,9 197:11,12,12 198:4	147:12,15 157:23 158:2 <b>permitted</b> 39:4 55:6,8 95:9 103:21 138:8 <b>permittee</b> 112:9 <b>permitting</b> 5:24 19:2,3,6 26:18 63:3 71:9 95:24 130:20 146:10 156:15 166:24 167:1 168:8 <b>peroxide</b> 18:10 63:24 <b>perpetrated</b> 135:1 <b>perpetual</b> 169:8 <b>persist</b> 130:2 185:14 <b>person</b> 27:15 46:21 125:8 128:24 138:4 173:24 196:4 <b>personal</b> 18:5 160:14 164:21 <b>personally</b> 5:8 135:14 <b>perspective</b> 54:2 69:1 83:23 103:3 113:6 192:24 <b>pertaining</b> 34:10 109:19 <b>pertains</b> 79:20 <b>pharmaceutic...</b> 18:5 76:8 <b>phasing</b> 137:5 <b>phone</b> 12:5 99:17 165:14 <b>photograph</b> 132:9 <b>phrase</b> 74:11,22 173:16 <b>physics</b> 115:14 <b>pick</b> 165:14 <b>picture</b> 133:10	138:12 150:4,5 <b>pictures</b> 131:19 <b>piece</b> 33:16 47:24 <b>pigs</b> 192:15 193:3 <b>pilot</b> 195:21 <b>pipe</b> 92:21 104:24 132:20 166:13 <b>pipeline</b> 24:8 25:25 39:6 105:10 110:11 <b>pipelines</b> 15:12 138:10,10 166:11 <b>pipes</b> 105:2 166:6,10,15,18 166:21 <b>pipng</b> 14:25 21:10 105:8 <b>place</b> 2:18 68:2,3 68:5 109:15 111:4 121:9 122:18 161:14 <b>placed</b> 95:22 <b>places</b> 70:10 118:15 <b>plan</b> 20:13 52:21 53:2,3,4 66:13 66:17,19,22,23 68:2,7,7,10,17 68:18,19 73:3 73:16,16 87:5 87:8 93:25 102:5 108:21 108:22 111:12 157:24 174:24 <b>planning</b> 6:14 71:2 <b>plans</b> 70:1 95:8 103:15 109:21 <b>plant</b> 14:23 15:6 16:11,22 17:14 23:7 24:6 30:13,15 64:12 65:6,8 66:10
<b>perched</b> 197:20	<b>perennial</b> 86:11 86:12 <b>Perfect</b> 43:12 <b>perfectly</b> 142:22 <b>performance</b> 185:23 <b>performing</b> 154:4 <b>perimeter</b> 21:6 41:10,19 197:7 <b>period</b> 7:21 9:3 21:24 24:15 25:3 26:23 29:17 30:19 32:18 33:6 47:9 48:4 50:22 95:13 118:19 126:22 126:22 127:1,8 128:21 145:25 147:16 186:5 194:7 <b>periodically</b> 26:4 39:10 <b>permanent</b> 30:1 137:3,18 195:5 <b>permeability</b> 60:6,18 61:4 <b>permeable</b> 56:17 133:16 <b>permission</b> 50:20 <b>permit</b> 5:18 19:9	19:16,18 20:1 21:1 22:24 26:17 36:3 38:11,14,16,19 38:23,25 42:9 42:12 62:15 63:6 66:15,15 67:6,10 68:24 69:9,9 77:2 78:23,24 79:5 79:16,17,19 80:6,11,12,16 80:18,23 82:19 83:9 92:11 95:24 109:25 112:22 116:20 116:24 117:1 117:15,17,22 117:25 118:3,7 121:6,9 125:10 125:23 126:4 126:15 130:19 131:21 136:24 137:8,9,10,13 137:15,17 138:7,15 139:1 139:9 142:8,11 143:3,18 149:20 152:2 153:9,10 155:15,23 157:15,22 160:5,5,10 169:24 197:6,9 197:11,12,12 198:4 <b>permits</b> 6:7 19:5 25:8 42:24 77:22 78:5,18 112:7,16 113:11,24 114:7 115:4 123:17 125:21 125:24 126:3 126:11 130:6,6 130:11 145:17 145:23,25	147:12,15 157:23 158:2 <b>permitted</b> 39:4 55:6,8 95:9 103:21 138:8 <b>permittee</b> 112:9 <b>permitting</b> 5:24 19:2,3,6 26:18 63:3 71:9 95:24 130:20 146:10 156:15 166:24 167:1 168:8 <b>peroxide</b> 18:10 63:24 <b>perpetrated</b> 135:1 <b>perpetual</b> 169:8 <b>persist</b> 130:2 185:14 <b>person</b> 27:15 46:21 125:8 128:24 138:4 173:24 196:4 <b>personal</b> 18:5 160:14 164:21 <b>personally</b> 5:8 135:14 <b>perspective</b> 54:2 69:1 83:23 103:3 113:6 192:24 <b>pertaining</b> 34:10 109:19 <b>pertains</b> 79:20 <b>pharmaceutic...</b> 18:5 76:8 <b>phasing</b> 137:5 <b>phone</b> 12:5 99:17 165:14 <b>photograph</b> 132:9 <b>phrase</b> 74:11,22 173:16 <b>physics</b> 115:14 <b>pick</b> 165:14 <b>picture</b> 133:10	138:12 150:4,5 <b>pictures</b> 131:19 <b>piece</b> 33:16 47:24 <b>pigs</b> 192:15 193:3 <b>pilot</b> 195:21 <b>pipe</b> 92:21 104:24 132:20 166:13 <b>pipeline</b> 24:8 25:25 39:6 105:10 110:11 <b>pipelines</b> 15:12 138:10,10 166:11 <b>pipes</b> 105:2 166:6,10,15,18 166:21 <b>pipng</b> 14:25 21:10 105:8 <b>place</b> 2:18 68:2,3 68:5 109:15 111:4 121:9 122:18 161:14 <b>placed</b> 95:22 <b>places</b> 70:10 118:15 <b>plan</b> 20:13 52:21 53:2,3,4 66:13 66:17,19,22,23 68:2,7,7,10,17 68:18,19 73:3 73:16,16 87:5 87:8 93:25 102:5 108:21 108:22 111:12 157:24 174:24 <b>planning</b> 6:14 71:2 <b>plans</b> 70:1 95:8 103:15 109:21 <b>plant</b> 14:23 15:6 16:11,22 17:14 23:7 24:6 30:13,15 64:12 65:6,8 66:10
<b>perched</b> 197:20	<b>perennial</b> 86:11 86:12 <b>Perfect</b> 43:12 <b>perfectly</b> 142:22 <b>performance</b> 185:23 <b>performing</b> 154:4 <b>perimeter</b> 21:6 41:10,19 197:7 <b>period</b> 7:21 9:3 21:24 24:15 25:3 26:23 29:17 30:19 32:18 33:6 47:9 48:4 50:22 95:13 118:19 126:22 126:22 127:1,8 128:21 145:25 147:16 186:5 194:7 <b>periodically</b> 26:4 39:10 <b>permanent</b> 30:1 137:3,18 195:5 <b>permeability</b> 60:6,18 61:4 <b>permeable</b> 56:17 133:16 <b>permission</b> 50:20 <b>permit</b> 5:18 19:9	19:16,18 20:1 21:1 22:24 26:17 36:3 38:11,14,16,19 38:23,25 42:9 42:12 62:15 63:6 66:15,15 67:6,10 68:24 69:9,9 77:2 78:23,24 79:5 79:16,17,19 80:6,11,12,16 80:18,23 82:19 83:9 92:11 95:24 109:25 112:22 116:20 116:24 117:1 117:15,17,22 117:25 118:3,7 121:6,9 125:10 125:23 126:4 126:15 130:19 131:21 136:24 137:8,9,10,13 137:15,17 138:7,15 139:1 139:9 142:8,11 143:3,18 149:20 152:2 153:9,10 155:15,23 157:15,22 160:5,5,10 169:24 197:6,9 197:11,12,12 198:4 <b>permits</b> 6:7 19:5 25:8 42:24 77:22 78:5,18 112:7,16 113:11,24 114:7 115:4 123:17 125:21 125:24 126:3 126:11 130:6,6 130:11 145:17 145:23,25	147:12,15 157:23 158:2 <b>permitted</b> 39:4 55:6,8 95:9 103:21 138:8 <b>permittee</b> 112:9 <b>permitting</b> 5:24 19:2,3,6 26:18 63:3 71:9 95:24 130:20 146:10 156:15 166:24 167:1 168:8 <b>peroxide</b> 18:10 63:24 <b>perpetrated</b> 135:1 <b>perpetual</b> 169:8 <b>persist</b> 130:2 185:14 <b>person</b> 27:15 46:21 125:8 128:24 138:4 173:24 196:4 <b>personal</b> 18:5 160:14 164:21 <b>personally</b> 5:8 135:14 <b>perspective</b> 54:2 69:1 83:23 103:3 113:6 192:24 <b>pertaining</b> 34:10 109:19 <b>pertains</b> 79:20 <b>pharmaceutic...</b> 18:5 76:8 <b>phasing</b> 137:5 <b>phone</b> 12:5 99:17 165:14 <b>photograph</b> 132:9 <b>phrase</b> 74:11,22 173:16 <b>physics</b> 115:14 <b>pick</b> 165:14 <b>picture</b> 133:10	138:12 150:4,5 <b>pictures</b> 131:19 <b>piece</b> 33:16 47:24 <b>pigs</b> 192:15 193:3 <b>pilot</b> 195:21 <b>pipe</b> 92:21 104:24 132:20 166:13 <b>pipeline</b> 24:8 25:25 39:6 105:10 110:11 <b>pipelines</b> 15:12 138:10,10 166:11 <b>pipes</b> 105:2 166:6,10,15,18 166:21 <b>pipng</b> 14:25 21:10 105:8 <b>place</b> 2:18 68:2,3 68:5 109:15 111:4 121:9 122:18 161:14 <b>placed</b> 95:22 <b>places</b> 70:10 118:15 <b>plan</b> 20:13 52:21 53:2,3,4 66:13 66:17,19,22,23 68:2,7,7,10,17 68:18,19 73:3 73:16,16 87:5 87:8 93:25 102:5 108:21 108:22 111:12 157:24 174:24 <b>planning</b> 6:14 71:2 <b>plans</b> 70:1 95:8 103:15 109:21 <b>plant</b> 14:23 15:6 16:11,22 17:14 23:7 24:6 30:13,15 64:12 65:6,8 66:10
<b>perched</b> 197:20	<b>perennial</b> 86:11 86:12 <b>Perfect</b> 43:12 <b>perfectly</b> 142:22 <b>performance</b> 185:23 <b>performing</b> 154:4 <b>perimeter</b> 21:6 41:10,19 197:7 <b>period</b> 7:21 9:3 21:24 24:15 25:3 26:23 29:17 30:19 32:18 33:6 47:9 48:4 50:22 95:13 118:19 126:22 126:22 127:1,8 128:21 145:25 147:16 186:5 194:7 <b>periodically</b> 26:4 39:10 <b>permanent</b> 30:1 137:3,18 195:5 <b>permeability</b> 60:6,18 61:4 <b>permeable</b> 56:17 133:16 <b>permission</b> 50:20 <b>permit</b> 5:18 19:9	19:16,18 20:1 21:1 22:24 26:17 36:3 38:11,14,16,19 38:23,25 42:9 42:12 62:15 63:6 66:15,15 67:6,10 68:24 69:9,9 77:2 78:23,24 79:5 79:16,17,19 80:6,11,12,16 80:18,23 82:19 83:9 92:11 95:24 109:25 112:22 116:20 116:24 117:1 117:15,17,22 117:25 118:3,7 121:6,9 125:10 125:23 126:4 126:15 130:19 131:21 136:24 137:8,9,10,13 137:15,17 138:7,15 139:1 139:9 142:8,11 143:3,18 149:20 152:2 153:9,10 155:15,23 157:15,22 160:5,5,10 169:24 197:6,9 197:11,12,12 198:4 <b>permits</b> 6:7 19:5 25:8 42:24 77:22 78:5,18 112:7,16 113:11,24 114:7 115:4 123:17 125:21 125:24 126:3 126:11 130:6,6 130:11 145:17 145:23,25	147:12,15 157:23 158:2 <b>permitted</b> 39:4 55:6,8 95:9 103:21 138:8 <b>permittee</b> 112:9 <b>permitting</b> 5:24 19:2,3,6 26:18 63:3 71:9 95:24 130:20 146:10 156:15 166:24 167:1 168:8 <b>peroxide</b> 18:10 63:24 <b>perpetrated</b> 135:1 <b>perpetual</b> 169:8 <b>persist</b> 130:2 185:14 <b>person</b> 27:15 46:21 125:8 128:24 138:4 173:24 196:4 <b>personal</b> 18:5 160:14 164:21 <b>personally</b> 5:8 135:14 <b>perspective</b> 54:2 69:1 83:23 103:3 113:6 192:24 <b>pertaining</b> 34:10 109:19 <b>pertains</b> 79:20 <b>pharmaceutic...</b> 18:5 76:8 <b>phasing</b> 137:5 <b>phone</b> 12:5 99:17 165:14 <b>photograph</b> 132:9 <b>phrase</b> 74:11,22 173:16 <b>physics</b> 115:14 <b>pick</b> 165:14 <b>picture</b> 133:10	138:12 150:4,5 <b>pictures</b> 131:19 <b>piece</b> 33:16 47:24 <b>pigs</b> 192:15 193:3 <b>pilot</b> 195:21 <b>pipe</b> 92:21 104:24 132:20 166:13 <b>pipeline</b> 24:8 25:25 39:6 105:10 110:11 <b>pipelines</b> 15:12 138:10,10 166:11 <b>pipes</b> 105:2 166:6,10,15,18 166:21 <b>pipng</b> 14:25 21:10 105:8 <b>place</b> 2:18 68:2,3 68:5 109:15 111:4 121:9 122:18 161:14 <b>placed</b> 95:22 <b>places</b> 70:10 118:15 <b>plan</b> 20:13 52:21 53:2,3,4 66:13 66:17,19,22,23 68:2,7,7,10,17 68:18,19 73:3 73:16,16 87:5 87:8 93:25 102:5 108:21 108:22 111:12 157:24 174:24 <b>planning</b> 6:14 71:2 <b>plans</b> 70:1 95:8 103:15 109:21 <b>plant</b> 14:23 15:6 16:11,22 17:14 23:7 24:6 30:13,15 64:12 65:6,8 66:10
<b>perched</b> 197:20	<b>perennial</b> 86:11 86:12 <b>Perfect</b> 43:12 <b>perfectly</b> 142:22 <b>performance</b> 185:23 <b>performing</b> 154:4 <b>perimeter</b> 21:6 41:10,19 197:7 <b>period</b> 7:21 9:3 21:24 24:15 25:3 26:23 29:17 30:19 32:18 33:6 47:9 48:4 50:22 95:13 118:19 126:22 126:22 127:1,8 128:21 145:25 147:16 186:5 194:7 <b>periodically</b> 26:4 39:10 <b>permanent</b> 30:1 137:3,18 195:5 <b>permeability</b> 60:6,18 61:4 <b>permeable</b> 56:17 133:16 <b>permission</b> 50:20 <b>permit</b> 5:18 19:9	19:16,18 20:1 21:1 22:24 26:17 36:3 38:11,14,16,19 38:23,25 42:9 42:12 62:15 63:6 66:15,15 67:6,10 68:24 69:9,9 77:2 78:23,24 79:5 79:16,17,19 80:6,11,12,16 80:18,23 82:19 83:9 92:11 95:24 109:25 112:22 116:20 116:24 117:1 117:15,17,22 117:25 118:3,7 121:6,9 125:10 125:23 126:4 126:15 130:19 131:21 136:24 137:8,9,10,13 137:15,17 138:7,15 139:1 139:9 142:8,11 143:3,18 149:20 152:2 153:9,10 155:15,23 157:15,22 160:5,5,10 169:24 197:6,9 197:11,12,12 198:4 <b>permits</b> 6:7 19:5 25:8 42:24 77:22 78:5,18 112:7,16 113:11,24 114:7 115:4 123:17 125:21 125:24 126:3 126:11 130:6,6 130:11 145:17 145:23,25	147:12,15 157:23 158:2 <b>permitted</b> 39:4 55:6,8 95:9 103:21 138:8 <b>permittee</b> 112:9 <b>permitting</b> 5:24 19:2,3,6 26:18 63:3 71:9 95:24 130:20 146:10 156:15 166:24 167:1 168:8 <b>peroxide</b> 18:10 63:24 <b>perpetrated</b> 135:1 <b>perpetual</b> 169:8 <b>persist</b> 130:2 185:14 <b>person</b> 27:15 46:21 125:8 128:24 138:4 173:24 196:4 <b>personal</b> 18:5 160:14 164:21 <b>personally</b> 5:8 135:14 <b>perspective</b> 54:2 69:1 83:23 103:3 113:6 192:24 <b>pertaining</b> 34:10 109:19 <b>pertains</b> 79:20 <b>pharmaceutic...</b> 18:5 76:8 <b>phasing</b> 137:5 <b>phone</b> 12:5 99:17 165:14 <b>photograph</b> 132:9 <b>phrase</b> 74:11,22 173:16 <b>physics</b> 115:14 <b>pick</b> 165:14 <b>picture</b> 133:10	138:12 150:4,5 <b>pictures</b> 131:19 <b>piece</b> 33:16 47:24 <b>pigs</b> 192:15 193:3 <b>pilot</b> 195:21 <b>pipe</b> 92:21 104:24 132:20 166:13 <b>pipeline</b> 24:8 25:25 39:6 105:10 110:11 <b>pipelines</b> 15:12 138:10,10 166:11 <b>pipes</b> 105:2 166:6,10,15,18 166:21 <b>pipng</b> 14:25 21:10 105:8 <b>place</b> 2:18 68:2,3 68:5 109:15 111:4 121:9 122:18 161:14 <b>placed</b> 95:22 <b>places</b> 70:10 118:15 <b>plan</b> 20:13 52:21 53:2,3,4 66:13 66:17,19,22,23 68:2,7,7,10,17 68:18,19 73:3 73:16,16 87:5 87:8 93:25 102:5 108:21 108:22 111:12 157:24 174:24 <b>planning</b> 6:14 71:2 <b>plans</b> 70:1 95:8 103:15 109:21 <b>plant</b> 14:23 15:6 16:11,22 17:14 23:7 24:6 30:13,15 64:12 65:6,8 66:10
<b>perched</b> 197:20	<b>perennial</b> 86:11 86:12 <b>Perfect</b> 43:12 <b>perfectly</b> 142:22 <b>performance</b> 185:23 <b>performing</b> 154:4 <b>perimeter</b> 21:6 41:10,19 197:7 <b>period</b> 7:21 9:3 21:24 24:15 25:3 26:23 29:17 30:19 32:18 33:6 47:9 48:4 50:22 95:13 118:19 126:22 126:22 127:1,8 128:21 145:25 147:16 186:5 194:7 <b>periodically</b> 26:4 39:10 <b>permanent</b> 30:1 137:3,18 195:5 <b>permeability</b> 60:6,18 61:4 <b>permeable</b> 56:17 133:16 <b>permission</b> 50:20 <b>permit</b> 5:18 19:9	19:16,18 20:1 21:1 22:24 26:17 36:3 38:11,14,16,19 38:23,25 42:9 42:12 62:15 63:6 66:15,15 67:6,10 68:24 69:9,9 77:2 78:23,24 79:5 79:16,17,19 80:6,11,12,16 80:18,23 82:19 83:9 92:11 95:24 109:25 112:22 116:20 116:24 117:1 117:15,17,22 117:25 118:3,7 121:6,9 125:10 125:23 126:4 126:15 130:19 131:21 136:24 137:8,9,10,13 137:15,17 138:7,15 139:1 139:9 142:8,11 143:3,18 149:20 152:2 153:9,10 155:15,23 157:15,22 160:5,5,10 169:24 197:6,9 197:11,12,12 198:4 <b>permits</b> 6:7 19:5 25:8 42:24 77:22 78:5,18 112:7,16 113:11,24 114:7 115:4 123:17 125:21 125:24 126:3 126:11 130:6,6 130:11 145:17 145:23,25	147:12,15	

70:5,6 71:1 72:19 73:4 77:12,17 78:12 81:17 84:12,13 88:11,23 89:17 101:11 104:11 108:16 128:17 130:3,9 176:10 176:19 <b>plants</b> 18:16 81:3,12 <b>plastic</b> 129:8 133:2 <b>plays</b> 59:23 <b>please</b> 5:15 12:16 13:18 33:11 49:14 62:2 109:20 123:17 124:20 134:15 136:16 139:2 141:11 141:18 142:1 144:1 145:16 148:9 172:24 181:23 182:20 <b>pleased</b> 130:8 151:23 <b>pleasure</b> 178:12 <b>plethora</b> 113:24 <b>plus</b> 50:3 57:15 70:21 88:15 103:23 <b>pocket</b> 132:10 132:10,23 133:6,11 <b>podium</b> 127:23 128:3 136:17 198:8,9 <b>point</b> 15:18,23 17:11 18:22 19:3 22:22 24:22 25:4,14 28:19 34:7,9 34:14 35:9 37:3,12 46:6 47:6,20 50:14 51:7,11 55:23	75:23 78:11 80:9 81:3 86:19 87:18 95:7 101:23 102:21 105:7 107:21 110:6 111:9 113:9 114:10 125:22 126:21 139:25 146:11 174:3 193:8 195:1 196:18 <b>pointed</b> 23:12 52:23 160:6 164:13 179:17 <b>pointing</b> 54:24 141:25 <b>points</b> 35:19 45:9,11,12,16 45:18 46:1,6 124:19 <b>poised</b> 130:11 <b>policies</b> 184:9 <b>policy</b> 7:10 37:6 44:15 183:13 183:15 <b>pollutant</b> 80:23 <b>pollution</b> 184:10 <b>polyethylene</b> 93:15,17 94:10 94:11 106:6,9 106:13 <b>pond</b> 15:8 16:23 16:25 21:2,6 21:13 22:25 23:13,15 28:16 28:17,18 30:12 30:16,17 31:16 32:10 39:10,22 40:1,4,14,19 41:2,19 54:25 56:12 57:14 58:15,19,23 59:5 62:22,23 69:22 70:22 71:4 73:6 78:19 81:22	87:13 91:7 100:25 101:1 102:5,6,6 104:25 105:19 105:20 107:1 107:21 115:16 122:8,25 130:24 131:3 133:7 135:25 136:10 140:14 143:1 148:23 149:3,7 197:7 <b>ponded</b> 86:16 <b>ponds</b> 16:12 21:18,22 22:2 22:5 28:11,12 52:6,10 57:19 70:3,16 76:15 81:18,21 115:14,18 122:7 140:8,23 162:1,2,14 176:11 197:6 <b>pontificate</b> 156:19 <b>population</b> 124:4 <b>pores</b> 18:6 <b>porta-potties</b> 129:10 144:18 144:23 <b>portable</b> 136:22 138:25 <b>portion</b> 16:16 59:21 60:5,10 62:22 <b>pose</b> 46:24 <b>posed</b> 132:5 <b>position</b> 164:18 164:25,25 165:1 <b>positioned</b> 150:1 <b>positive</b> 17:12 17:12 45:12,19 45:25 46:5 87:1 178:14 <b>possible</b> 14:25	15:1 103:14 110:3 146:10 155:8 <b>possibly</b> 5:7 78:11 146:12 <b>post</b> 95:12 <b>post-filter</b> 82:8 82:10 <b>post-RO</b> 82:14 <b>post-treatment</b> 18:18 <b>posted</b> 71:7 <b>potable</b> 15:19 52:11 55:7,11 64:11 129:12 137:1 161:3 192:14 <b>potential</b> 43:22 71:16 72:20 87:3 96:7 105:21 107:10 142:17 158:12 176:17 183:19 197:23 <b>potentially</b> 104:15 108:15 109:6 156:16 167:19 175:18 175:19,25 185:10 <b>potties</b> 138:25 <b>powerful</b> 18:16 <b>practicable</b> 91:13 184:4 <b>practical</b> 40:7 173:24 <b>practice</b> 35:13 44:13 124:15 <b>pre-constructed</b> 70:6 <b>pre-constructi...</b> 20:12 <b>precaution</b> 41:8 <b>precious</b> 151:20 <b>preconceptions</b> 191:24 <b>predict</b> 110:24	130:4 <b>predicted</b> 173:15 <b>predictions</b> 89:20 <b>predisposed</b> 12:11 <b>prefabricated</b> 14:23 <b>preference</b> 46:18 113:7 126:9 <b>preferred</b> 37:9 37:10 167:8 <b>prejudice</b> 7:11 <b>premature</b> 130:20 <b>preparation</b> 12:3 <b>prepare</b> 61:24 117:3 <b>prepared</b> 8:18 <b>preparing</b> 73:3 78:1 <b>prescribed</b> 44:24 184:9 <b>present</b> 29:22 59:25 69:17 92:15 147:23 184:7 <b>presentation</b> 4:3 4:4,5,6,7,8,9 4:10 5:21 6:18 6:23 10:17 12:19,19,21 13:12,14 34:19 48:9,24 69:7 86:4 92:5,8 118:18,23,25 119:2,16 <b>presentations</b> 12:24 13:2,11 13:17 61:25 62:5 <b>presented</b> 33:18 120:19 150:2 <b>president</b> 14:6
--	--	--	--	---

132:2 136:19 <b>pressured</b> 142:9 142:9 <b>presumably</b> 101:7 158:1 <b>pretty</b> 18:16 31:6 32:11 88:12 123:2 125:5 149:11 157:9 164:2 191:8,10 192:23 193:8 <b>prevent</b> 9:24 52:7 71:16 85:17 96:3 185:14,15 <b>previous</b> 71:1 168:7 <b>previously</b> 94:17 95:20 114:4 <b>primarily</b> 81:16 <b>primary</b> 17:17 57:23 93:15,19 105:10 106:12 <b>principles</b> 63:12 <b>print</b> 181:1 <b>prior</b> 43:13 65:5 65:7 73:5 <b>priorities</b> 194:1 <b>priority</b> 80:23 157:12 163:16 <b>privilege</b> 153:11 153:17 <b>proactive</b> 148:20 <b>probably</b> 13:9 26:23 28:8 30:13 36:16 37:6 40:3 42:18 43:10 45:25 46:7 47:10 48:8 88:25 101:11 101:12 111:2 114:13 126:19 126:22,25 127:8 133:6 145:10,13	172:10 <b>problem</b> 112:11 112:15 135:15 163:1,5 175:6 <b>problematic</b> 163:8 173:12 174:13 <b>problems</b> 129:24 142:10 159:8 <b>procedures</b> 66:20 <b>proceed</b> 10:16 12:16 13:18 42:7 127:16 <b>Proceedings</b> 1:19 2:17 199:8 <b>process</b> 5:11,25 18:9 19:2,12 19:13,17,20,20 21:8 26:18 33:9 34:3 36:23 37:4 39:5 42:1,3,6 42:13,16,25 43:7,8 44:8 47:18 59:17 70:18 77:2,24 88:15 95:22,25 105:20 108:23 110:12,14,23 111:2,6 112:22 114:3,5,16 116:13,16,17 117:13,21 122:6,8 126:4 126:5,6,8 127:24 128:4 152:3 154:6,23 164:23 177:10 177:25 182:10 182:19 190:13 191:9 <b>processes</b> 116:2 193:22 <b>proclamation</b> 42:2 71:12,13	74:20 91:7 112:18,19 116:21 151:15 197:19 <b>proclamations</b> 151:8 <b>produce</b> 16:4 126:20 <b>produced</b> 56:24 <b>produces</b> 82:12 <b>producing</b> 24:25 31:17,18,21 <b>Product</b> 189:15 <b>production</b> 16:2 16:7 22:14 29:16 30:20 53:16 135:11 <b>products</b> 18:5 <b>professional</b> 173:20 <b>program</b> 20:22 35:18,20 36:18 36:19 44:17 45:22 49:11,16 49:17 51:1 79:18,23 122:18 175:23 186:21 193:17 <b>program-driven</b> 35:16 <b>progress</b> 36:25 110:22 191:13 191:14 <b>progressed</b> 105:7 <b>prohibited</b> 129:11 187:11 187:12 <b>prohibition</b> 190:11,25 <b>prohibits</b> 97:4 <b>project</b> 5:22 6:11,13,20 10:4 11:22 14:3,15,16,20 15:3,5 16:17 16:24 19:9,14	20:1,6 21:7 22:1,8 36:12 36:15,24 37:1 37:4,12,14 38:21 42:12 43:2 44:10,20 45:4,13 46:16 51:14 52:8,14 53:23 62:21 63:5,11 66:12 69:14,15 71:9 71:11 72:12 73:1 74:15,17 74:17 75:6,10 75:18 79:24 87:2 94:7 95:15,20 100:13 105:7 109:23 110:2,4 110:9,23 111:20 112:3 114:13 116:22 119:16 120:9 120:20,24 121:8,12 122:22 123:2,3 123:4 130:20 130:24 131:6 131:18,20 133:19,24 134:20,21 135:3 136:23 137:4,19 138:5 138:12,20,24 139:22 142:10 142:16 143:19 146:11 147:10 148:1,2,3,4,19 148:21 150:20 150:23 151:2,6 152:2 159:4,17 160:24 162:16 163:19 164:9 164:12,18,23 165:1 167:12 167:17 168:1,9 169:23 171:20	172:7 178:10 180:9,12 184:1 184:2 185:9,14 190:7 195:4 198:14,17 <b>project's</b> 26:16 37:20 <b>projected</b> 174:25 177:21 <b>projects</b> 62:18 89:22 95:22 115:16 155:21 158:10,19 167:13 176:17 179:19 183:18 <b>promoters</b> 129:4 <b>promotes</b> 196:13 <b>promoting</b> 129:6 <b>prompting</b> 41:15 <b>proof</b> 140:11 <b>Prop</b> 148:2 <b>proper</b> 5:10 64:15 <b>properly</b> 28:7 95:9 96:16 145:1,7 159:17 <b>property</b> 14:22 96:17 139:18 141:3,5,6 161:23 162:5 163:11,15 164:3,10,19 165:2,15,21,23 <b>proposal</b> 85:22 87:9 <b>proposed</b> 6:1,8 69:16,20 72:13 72:15 74:6 75:19 83:17 85:25 91:24 95:5,12 96:9 96:14 97:23 123:17 186:5 186:18 <b>proposing</b> 85:24 139:21
---	---	--	---	---

<b>protect</b> 62:17 73:11 120:25 122:4 133:7 154:19 155:14 184:7 187:16	<b>provisions</b> 160:10	<b>purpose</b> 17:11 150:18	109:8 120:18 122:4,5,18 130:5,10 134:10 151:19 154:9,20 155:1 155:14,23 175:16,18 183:16,19 184:8,11,12,15 184:20 189:15 196:17	173:6 174:3,11 174:16 181:7 186:9 190:2,14 192:6 193:9 199:1
<b>protectedness</b> 59:24	<b>proximity</b> 130:24	<b>purposes</b> 141:23	<b>quantify</b> 60:25	<b>questionable</b> 164:12
<b>protecting</b> 22:14 142:4	<b>prudent</b> 160:9 161:9	<b>pursue</b> 104:9 164:5 179:19	<b>quantities</b> 61:1	<b>questioned</b> 23:22 136:3 153:20
<b>protection</b> 42:21 57:24 62:18 120:12,13 122:7 123:9,13 123:15 159:5 170:19,23 171:4 185:12 191:7	<b>public</b> 4:12 6:3 7:2 9:6,16 26:24 33:19 62:14,17,18 71:7 95:12 96:17 118:19 118:24 120:6 120:12 123:13 126:21,21 128:1 129:4,20 134:20 137:3 139:23,23 144:4,14,16 152:14 153:1 162:17 172:15 174:1 177:7	<b>purview</b> 48:22 196:14	<b>quarter</b> 119:5 140:16	<b>questioning</b> 34:6 34:16
<b>protective</b> 20:13 75:16,17	<b>public</b> 4:12 6:3 7:2 9:6,16 26:24 33:19 62:14,17,18 71:7 95:12 96:17 118:19 118:24 120:6 120:12 123:13 126:21,21 128:1 129:4,20 134:20 137:3 139:23,23 144:4,14,16 152:14 153:1 162:17 172:15 174:1 177:7	<b>push</b> 75:9 174:5	<b>quarterly</b> 66:19 68:10	<b>questions</b> 13:13 13:17 14:11 15:24 19:19 25:5,13,16 36:10 48:3,20 61:21 67:12,20 67:21 74:7 87:20 92:6,7 97:25 111:24 114:19 115:12 116:8 121:5,17 124:24 127:12 127:14 132:5 134:22 139:16 152:20,22 156:20 157:9 159:24 161:21 171:8 182:11 190:3
<b>protects</b> 52:14 70:4 123:9	<b>pull</b> 55:19 169:2	<b>pushed</b> 135:3	<b>quarts</b> 145:2	<b>queue</b> 12:23 128:2
<b>protested</b> 151:1	<b>pulled</b> 22:2 151:24	<b>pushes</b> 100:1	<b>question</b> 10:18 11:6 27:21 28:10 31:3 32:14,14,23 34:15 35:5 43:5 44:4 45:5 46:9 47:2,12 48:10,12,18 49:13 52:20 54:4,11,15,16 54:17 61:1 67:25 74:24 75:11,24 82:21 84:3 88:21 89:7,18 90:2 90:25 98:4 100:24 108:25 109:18 111:11 112:1,9 115:9 115:25 116:9 118:5,7 152:23 153:4,21 156:15 157:19 160:1 161:6,8 162:1,3 163:7 164:4,24 166:1 166:6,24 167:11 169:20 171:10,16	<b>quick</b> 15:23 48:3 145:12 153:4
<b>protocol</b> 50:24 52:20	<b>pulling</b> 32:16 53:22 59:3 101:13 175:16 194:3	<b>put</b> 10:11 34:13 42:9 55:20 57:4 66:8 68:5 68:6,10,19 70:25 71:2 101:20 105:25 133:18 134:23 135:10 152:2 171:25 172:2,5 172:6 177:20 187:4 189:24 192:7,13 193:23	<b>QC</b> 94:14	<b>quickly</b> 16:18 30:5 31:22 39:6 65:4 133:14,15 149:22 159:2
<b>protozoa</b> 17:23	<b>pump</b> 40:8 66:6 70:1 87:18 102:21 105:25 106:1	<b>puts</b> 50:4 70:17 134:8	<b>qualified</b> 42:18	<b>quiet</b> 60:22
<b>protracted</b> 176:20	<b>pumped</b> 16:11 17:22 25:24 30:23 58:19 59:20 76:15 82:6 85:22 120:22	<b>putting</b> 23:9 30:22 32:9 41:18 60:13 76:23 84:22 104:23 108:8 136:12 176:1	<b>quality</b> 1:3 2:2 2:21 6:9 23:22 48:5 70:23 71:16,23,25 72:3,8,11,16 73:9,11 75:3 75:17,17 80:5 83:6,10 84:25 87:6 91:8,11 93:25 94:5 99:14 107:10	<b>quite</b> 13:11
<b>provide</b> 5:22 6:3 6:18,20 13:18 18:19 33:15 35:9 38:3 59:10 63:5 64:20 118:16 122:6 123:4,18 124:7 130:7 136:23 137:24 143:19 170:18 174:7 186:7	<b>pumps</b> 86:23 105:24		<b>quote</b> 153:13	<b>quo</b> 53:23
<b>provided</b> 6:11 23:21 67:2,5 147:9 186:11 195:19 198:20	<b>punchy</b> 173:22			<b>quote</b> 153:13
<b>provides</b> 52:15 120:11 123:6 123:14,16	<b>puncture</b> 107:15			
<b>providing</b> 120:6 170:22 173:25	<b>purple</b> 70:13,14			

181:5 <b>R3-2014-0047</b> 1:14 2:13 186:20,21 <b>R3-2014-0050</b> 180:20 189:15 189:18 <b>R3-2014-00550</b> 186:25 <b>radiation</b> 106:14 <b>rain</b> 21:23 <b>rained</b> 172:9 <b>rainfall</b> 38:5 48:11,14 88:22 88:24 89:3,24 90:6 93:8 101:6 <b>rains</b> 86:17 88:19 103:15 <b>raise</b> 161:24 <b>raised</b> 71:8 96:6 114:10 161:23 162:8,13,15 163:16,23 164:3 <b>raises</b> 158:21 159:24 <b>raising</b> 194:8,22 <b>ran</b> 24:5,6 25:20 102:13 <b>Rancho</b> 162:18 <b>Randy</b> 152:9 <b>rare</b> 142:18 194:6 <b>rate</b> 24:6,17,18 24:22 102:2 151:1 193:16 <b>rattle</b> 169:3 <b>raw</b> 64:4 <b>re-discharged</b> 176:10 <b>re-ran</b> 65:15 <b>reach</b> 44:23 55:16 165:10 <b>reached</b> 149:12 <b>reaches</b> 18:25 <b>reaching</b> 23:24	122:15 <b>reactivate</b> 36:25 <b>read</b> 9:16,20 75:20 130:21 132:15 162:5 180:25 181:3 182:4,22 183:11 186:12 189:12 <b>reading</b> 9:24 116:24 183:7,8 <b>reads</b> 185:5 <b>ready</b> 12:18 157:6 159:13 <b>reaffirm</b> 140:7 <b>real</b> 15:23 134:8 148:14 176:2 177:17 190:24 <b>reality</b> 52:19 133:18,21,22 133:24 148:16 <b>realize</b> 41:15 84:20 115:22 117:23 145:1 157:12 194:4 <b>really</b> 12:11 25:7 38:1,21 41:25 46:2 56:1,2 57:23 58:9 86:5 101:1,3 102:21 103:21 104:1 106:15 120:23 134:18 135:4,19 136:8 136:12 138:18 142:7 149:22 156:17 157:19 157:23 163:23 165:19 174:11 175:21 178:8 179:10 191:11 194:2,3 195:14 195:16 <b>reason</b> 9:2 68:5 116:24 122:12 136:4 154:7,17 156:4 181:18	188:6 <b>reasonably</b> 153:19 <b>reasons</b> 60:19 113:24 114:2 155:18,19 <b>reassess</b> 112:12 <b>rebate</b> 45:9 <b>recalibrate</b> 99:6 <b>recalibrated</b> 65:14 <b>recall</b> 81:7 83:18 167:22 <b>receive</b> 73:17 92:19 99:21 131:21 149:9 <b>received</b> 8:6,7 8:11,13,13 21:12 36:15 66:22 95:13 114:1 147:6 <b>receives</b> 109:13 <b>recess</b> 62:1,3 119:9 199:6 <b>recharge</b> 38:6 59:1 62:25 63:1,12 64:17 72:5 85:17 183:13,18 184:6,17 <b>recharging</b> 31:15 60:15 183:23 <b>recipient</b> 153:10 <b>recirculated</b> 58:4 <b>recognition</b> 178:18 179:2 198:12 <b>recognize</b> 179:23 193:20 194:5 <b>recognizing</b> 188:7 <b>recollection</b> 47:7 <b>recommend</b> 10:11 25:8	75:25 97:22 119:3 <b>recommendati...</b> 9:13 74:5,21 75:15 113:23 145:23,24 157:21 <b>recommendati...</b> 7:9 21:14 65:25 67:5 <b>recommended</b> 114:9,23,24 147:16 <b>recommending</b> 5:17 7:22 8:3,8 8:12,20 9:4,23 10:5 21:3 <b>recommends</b> 149:17 <b>reconsider</b> 154:18 <b>reconsideration</b> 153:20 155:3 <b>reconstructed</b> 107:22 <b>reconvene</b> 62:3 118:11 199:6 <b>record</b> 8:1,1,2,3 8:10,16 9:11 10:12 12:6,13 54:24 80:4 105:16 119:11 124:21 138:1 180:25 182:5 189:2,5,10 <b>records</b> 81:15 <b>recover</b> 88:13 <b>recovering</b> 16:16 <b>recovery</b> 93:20 <b>Recreation</b> 100:11 <b>recur</b> 130:2 <b>recycle</b> 161:2 <b>recycled</b> 55:9 62:18,24 63:14 64:10 69:23,25	136:20 160:23 161:3 179:16 179:19 183:14 183:15,18,24 184:5 193:7 196:11 <b>recycles</b> 88:8 <b>recycling</b> 1:10 2:9 17:8 180:19 186:24 <b>red</b> 174:9 <b>red-legged</b> 87:13 <b>red-line</b> 183:7 <b>reduce</b> 32:6 43:23 72:20 120:8 129:8 144:1 146:21 170:4 <b>reduced</b> 80:8 128:20 176:2 196:3 <b>reducing</b> 73:2 <b>reduction</b> 32:4 64:1,4,5,24 80:7 124:14 170:6,7,8 176:18 <b>redundant</b> 18:19 <b>reel</b> 193:2 <b>reelected</b> 150:24 <b>reextended</b> 137:15 <b>refer</b> 14:15 <b>reference</b> 44:4 56:25 99:13 145:12 185:2 <b>referenced</b> 43:13 44:8 <b>referred</b> 23:6 37:19 70:21 162:20 <b>referring</b> 11:7 101:16 166:18 181:15 188:17 188:20 <b>reflect</b> 81:19
---	--	---	--	---

<b>reflected</b> 147:4	160:20 185:3	<b>remarkable</b>	156:22 157:8	<b>requirements</b>
<b>reg</b> 65:6	<b>regulators</b>	196:5	171:20 194:14	1:10,10,14 2:9
<b>regard</b> 179:16	198:16,22,23	<b>remarks</b> 178:2	194:18,21	2:9,13 6:13
197:5	<b>regulatory</b> 48:22	<b>remember</b> 49:1	195:18	15:11 42:5
<b>regarding</b> 69:16	135:1 180:10	78:3 81:6	<b>reportable</b>	63:6 68:19
72:11 113:23	198:13	146:6 148:25	112:21	70:17 91:9
114:6 148:22	<b>reinject</b> 15:17	153:15 179:10	<b>reported</b> 1:22	92:16,24,24
157:9 160:11	<b>reinjecting</b>	<b>remind</b> 110:8	2:23 113:12	97:20 110:17
166:6 185:1	53:11	<b>remove</b> 17:21,24	128:19	113:10,16
189:13,20	<b>reinjection</b> 22:9	18:4,6 28:19	<b>reporter</b> 2:24	115:5 123:12
<b>regardless</b> 191:5	84:9	76:17 95:8	186:8	125:22 154:19
<b>regards</b> 20:15	<b>reiterate</b> 67:13	97:7 101:22	<b>reporting</b> 66:20	155:13 170:25
<b>region</b> 1:4 2:3,22	84:9	104:5,16 106:1	79:18,23 177:2	177:3 180:17
107:4,6 108:1	<b>reject</b> 15:9 21:11	108:6,14 109:3	186:21	180:19 186:6
109:11 168:18	23:5 40:24	111:14 113:1	<b>reports</b> 7:24	186:23,24,24
176:23	<b>related</b> 10:3	<b>removed</b> 18:22	130:21 153:24	187:16,18
<b>Regional</b> 1:3 2:2	19:5 28:11	<b>removes</b> 17:23	154:2 158:8	191:6
2:21 51:17	44:16 69:8	<b>removing</b>	194:15	<b>requires</b> 19:13
55:6 63:3	110:17 188:21	105:20,23	<b>represent</b> 46:2	36:5 66:16
66:22 67:2,6	189:16	<b>renewing</b> 125:24	148:9	83:10 95:5
113:19 130:5	<b>relates</b> 36:13	<b>rental</b> 147:7	<b>represents</b> 91:13	96:9,14,19
130:10 184:13	<b>relating</b> 48:21	<b>reopen</b> 113:12	<b>request</b> 5:9	130:5 155:20
<b>registered</b>	<b>relation</b> 155:1	154:20 155:19	35:19 113:22	183:1 187:15
143:12	<b>relationship</b>	157:25	114:7 138:14	<b>requiring</b> 66:9
<b>regular</b> 19:7,15	149:12 165:13	<b>reopened</b> 113:1	172:1 182:12	112:21 117:9
19:17,25 26:8	178:13	131:22	<b>requested</b> 8:16	<b>reread</b> 187:22
26:17 38:14,23	<b>relative</b> 161:23	<b>reopener</b> 8:17	<b>requesting</b> 38:14	<b>research</b> 6:15
42:9,11 51:10	163:19	112:12 113:10	<b>require</b> 19:11	83:21 162:17
109:24 116:25	<b>relatively</b> 108:6	131:5	66:19 97:12	<b>researched</b>
117:15,18	108:11	<b>reopeners</b> 115:5	116:14,25	162:13
121:9 126:3,14	<b>relevant</b> 46:3	<b>reopening</b> 146:9	117:12,18	<b>reservations</b>
126:15,19	<b>reliability</b> 35:13	<b>repair</b> 108:12	124:16 138:16	68:25
143:18 146:10	128:14	111:15	139:3 155:12	<b>reserve</b> 143:13
147:11 149:19	<b>reliable</b> 128:9	<b>repeat</b> 47:11	161:1 177:2	171:9
160:5	197:22	49:13	<b>required</b> 7:13	<b>reserves</b> 148:4
<b>regulate</b> 49:4,7	<b>relief</b> 5:20	<b>repeatedly</b> 160:2	45:17 64:4,17	<b>residences</b>
62:14 68:14	128:17	191:2	65:6,7 66:11	136:10
78:19	<b>reluctant</b> 157:14	<b>repel</b> 149:6	80:24 81:4,12	<b>resident</b> 11:18
<b>regulates</b> 69:19	<b>relying</b> 31:24	<b>rephrase</b> 173:18	93:5 97:9,18	128:8 134:17
69:21	<b>remain</b> 117:15	<b>replace</b> 45:14	105:8 117:3	139:13 146:3
<b>regulation</b> 25:3	120:22 125:19	<b>replenish</b> 63:13	151:17 153:24	<b>residential</b> 35:4
48:7 64:7,8	<b>remained</b> 29:6	<b>report</b> 36:1	154:12 186:1	35:9,11 45:2
<b>regulations</b>	<b>remaining</b> 17:10	40:16 54:8	<b>requirement</b>	128:22
20:21 24:5	18:11	63:7 67:4	25:3 35:16	<b>residents</b> 34:24
62:19,20 63:1	<b>remains</b> 153:11	68:20 75:19	93:6 104:21	35:2 124:8
63:1,8,13,15	153:17	154:10,14	154:14 155:13	129:11,16
63:20 92:23		155:6 156:22	180:19 186:20	138:24 149:4

150:12 196:2 <b>Resolution</b> 183:12 <b>resolve</b> 85:6 129:24 142:10 163:25 165:19 <b>resolved</b> 27:14 139:19 192:4 <b>resolving</b> 27:10 165:5 <b>resort</b> 23:11 <b>resource</b> 36:17 92:13 <b>resources</b> 20:16 120:24 123:3 151:20 <b>respect</b> 6:24 151:21 <b>respectfully</b> 5:9 113:22 <b>respond</b> 10:10 64:20 121:17 162:7 <b>responded</b> 32:13 77:25 168:5 <b>responding</b> 19:18 <b>response</b> 7:19,23 8:18 11:4,7 58:6 64:9 72:25 79:7 126:23 163:22 191:2,3 195:9 <b>responses</b> 74:25 <b>responsibilities</b> 62:14 <b>responsible</b> 6:6 56:7 187:17 <b>responsive</b> 159:2 <b>rest</b> 59:10 183:11 185:5 188:5 <b>restaurant</b> 146:12,21,23 146:25 <b>restaurants</b> 120:15 129:6,8	144:20,21 145:9 146:5,6 146:17 <b>restricted</b> 160:3 <b>restrictions</b> 38:15 <b>restroom</b> 129:9 144:12 <b>restrooms</b> 129:4 129:10 <b>result</b> 21:3 37:15 44:7 52:3 72:4 100:2 154:6 184:1,16 185:19 <b>resulted</b> 120:3 148:21 <b>resulting</b> 35:24 <b>results</b> 24:16,24 44:22 45:9 52:12 80:25 83:2 170:16 173:10 187:10 191:14 <b>retention</b> 64:9 64:16,22,22,25 65:2,18 <b>rethink</b> 194:7 <b>return</b> 88:12 159:24 <b>returned</b> 70:22 <b>returning</b> 158:4 <b>reuse</b> 19:1 24:5 62:17 129:18 134:24 135:17 191:10 <b>reveals</b> 155:17 <b>revenue</b> 147:6,8 <b>reverse</b> 17:16 18:2 21:11 22:3 63:22 72:22 122:2,25 <b>reversed</b> 22:1 <b>review</b> 9:2 26:24 37:4 66:25 67:8 71:7,10 71:12,14 73:20	74:20 79:13,14 80:11,13 115:5 126:21,21 127:1 145:22 157:1,6 159:22 159:23 168:2 173:9 <b>reviewed</b> 42:10 49:11 79:6 153:17 172:16 <b>reviewing</b> 133:20 193:20 <b>reviews</b> 63:5 <b>revise</b> 5:17 <b>revised</b> 66:23 73:19 180:17 186:22 <b>Revision</b> 1:9 2:8 <b>revisit</b> 179:24 <b>Richard</b> 134:14 134:17 <b>Rick</b> 136:21 <b>right</b> 9:8 10:23 10:24 11:3,8 12:18,22 13:5 13:10 14:10,14 15:6 22:4 35:5 36:6 39:16 42:20 43:12 44:2 45:23 46:23 47:10 50:17 51:8,18 51:25 53:5,15 54:21,23 56:14 56:22 60:17 61:18 62:10 66:6 67:21 68:2 69:3,4,24 71:3 74:8 76:7 77:14 80:23 83:5 84:8,9,13 86:18,21 90:11 92:4 98:1,3,25 102:8 103:10 104:2 105:4 112:11 114:14 114:15 118:1	118:24 119:1 119:10 125:8 125:12 127:22 127:25 132:17 149:17 152:23 153:2,9,10 156:1 167:3 171:9 172:23 174:24 175:7,8 177:18 178:6 179:1 188:8 194:18 195:16 <b>rights</b> 44:9 161:23 165:22 <b>riparian</b> 71:6 166:17 <b>risk</b> 63:15,16 64:3 157:4 <b>risks</b> 143:25 <b>RIW-1</b> 57:22 <b>RO</b> 15:9 18:12 23:6 40:24 50:25 76:10 <b>road</b> 14:22 15:3 15:15 39:13 158:1 <b>roads</b> 15:7 138:7 <b>Robertson</b> 3:11 152:7 <b>Robin's</b> 146:7 <b>Robinette</b> 14:7 <b>Rochefort</b> 4:19 147:20,21,21 150:9,10 152:12 <b>role</b> 5:24 149:15 149:18,18 198:16 <b>roll</b> 181:4 <b>room</b> 100:19 118:2 194:20 <b>Rosa</b> 30:5,7,18 30:21 31:16 32:10 135:12 150:5 <b>rosy</b> 32:11 <b>rough</b> 21:17	140:13 <b>roughly</b> 140:5 140:20 170:3 <b>round</b> 118:11 <b>row</b> 40:6 101:2 101:10 121:21 132:25 <b>RR-3</b> 50:13 <b>rubberstamped</b> 148:19 <b>rule</b> 30:14 63:17 66:11 <b>rules</b> 90:22 91:3 91:5 <b>ruling</b> 8:4 <b>run</b> 27:25 28:8 35:25 36:1 38:12,15 39:11 39:13,15,18,22 40:6 55:13 75:20 85:1 88:5 102:18 120:9 135:6 137:18 144:13 <b>running</b> 27:20 29:11 38:20 45:20 72:21 75:23 78:12 144:15,24 145:3 172:4 176:13,14 <b>rush</b> 13:8 <b>Russell</b> 3:4 <b>Ryan</b> 3:12 4:9 6:1 92:10,13 105:14 115:2 166:9 188:25
<hr/> <b>S</b> <hr/>				
S 3:3 <b>Sacramento</b> 178:18,20 <b>safe</b> 120:6 128:9 <b>safeguards</b> 148:22 159:18 161:14 <b>safety</b> 41:8				

107:9 128:14 129:21 147:14 185:11 193:7 <b>salt</b> 18:4 24:10 25:20,21,25 41:20 115:16 174:19 <b>saltier</b> 41:18 102:7 <b>salts</b> 72:22 76:18 86:6 102:4 115:17 197:2 <b>saltwater</b> 40:24 51:16 52:6,10 55:3,10 58:10 61:17 85:17,20 115:15 122:24 123:9,10 <b>salty</b> 116:5 <b>sample</b> 26:3 <b>sampling</b> 25:22 26:3,12 66:21 <b>San</b> 1:11,15,20 2:10,14,18 5:1 13:22 14:22 15:3,14 19:10 21:19 22:10 30:7,21,22 31:3,10,17,18 31:24 32:8 51:22 52:3 57:6 69:19 71:6,15 73:7 86:10 95:23 104:10,11 108:15,19 109:6,12,23 115:18 122:22 123:1 135:12 135:22 140:2 140:19 141:3,4 142:3,20 160:23 162:18 166:13 167:20 177:21 179:12 <b>sand</b> 135:7 <b>sandwiched</b>	106:24 <b>sanitation</b> 109:13 170:19 170:23 171:3 185:11 <b>Santa</b> 30:5,7,18 30:21 31:16 32:10 62:11 135:12 150:5 174:10 <b>satisfied</b> 165:8 171:1 192:5 <b>saturation</b> 95:7 <b>save</b> 136:17 <b>saved</b> 45:10,11 148:7 <b>savings</b> 148:9,12 <b>saw</b> 22:15 71:1 <b>saying</b> 7:4 37:13 40:5 41:16 47:17 56:9 58:14 102:17 106:16 133:4 133:21,23 156:2 <b>says</b> 44:17 84:6 140:1 197:6 <b>scale</b> 74:14 <b>scare</b> 135:5 <b>scenario</b> 173:8 196:23 <b>scenarios</b> 104:6 <b>schools</b> 145:8 <b>scientific</b> 50:9 133:10 <b>scope</b> 110:1,7,18 <b>scoping</b> 37:15,18 <b>screen</b> 187:5 189:12 <b>screened</b> 14:18 <b>se</b> 115:3 <b>sea</b> 56:15,16 115:16 <b>seam</b> 94:13 <b>seams</b> 21:13 94:12 <b>season</b> 16:9	22:18,19 37:20 37:22,23,24 38:3,7 39:23 101:8 102:24 103:9 138:16 138:17 139:4 144:25 145:10 157:6 <b>seasons</b> 40:6 87:19 101:2,10 102:19 103:6 <b>seat</b> 62:2 <b>seaward</b> 60:2 <b>seawater</b> 22:5 49:12,20,24 50:11,25 51:10 51:23,23 52:22 54:2 55:21,22 59:24 60:16 61:7,8,14 68:3 74:19 84:5,7 85:7,11 86:5 104:13 116:4 185:15 <b>second</b> 18:2 26:18 36:10 69:20 70:12,16 100:24 103:1 106:19 131:9 139:3 160:1 178:7 180:22 181:23 182:8 182:14 183:9 187:25 188:2 189:22 192:9 195:25 <b>secondary</b> 59:16 85:20 93:16,22 93:24 128:13 <b>seconds</b> 145:3 <b>section</b> 22:25 54:20 65:23 93:14 168:21 170:14 185:3 187:13 <b>sections</b> 187:15 <b>see</b> 15:3 23:10	25:4,16 29:25 38:24 49:19 52:9 70:3,5,12 70:13,14 81:15 84:11 85:1,5 86:16 89:6 97:11 104:4 109:17 119:7 126:11 131:20 133:9 135:11 136:9,10 157:20 159:23 160:18,25 164:6 175:11 175:13,20 176:3,5 186:10 191:17 193:22 193:24 195:2 197:13 198:4 <b>seeing</b> 30:4 61:18 110:23 159:8 <b>seen</b> 8:23 10:20 35:25 87:9 120:20,21 193:18 <b>seep</b> 22:21 <b>seepage</b> 59:19 <b>seismic</b> 97:15 <b>selenium</b> 24:1 122:16 <b>self-heals</b> 107:16 <b>selling</b> 129:7 <b>semi-annual</b> 97:9 157:7 <b>send</b> 68:11 <b>sending</b> 72:22 <b>sense</b> 47:16 74:10 87:14,23 195:6 <b>sensitive</b> 20:19 71:19 142:17 <b>sent</b> 7:17 9:5,16 9:17 66:23,24 79:7 94:15 <b>sentence</b> 132:15 183:9,10	185:25 <b>sentiments</b> 12:2 <b>sentinel</b> 50:10 <b>separate</b> 19:15 30:6 37:1 69:17 77:2,10 78:23,24 176:25 181:19 <b>September</b> 29:13,14 32:19 32:20 65:10 67:2 71:7 79:3 131:11 173:4 <b>series</b> 26:6 <b>serious</b> 136:12 172:15 176:22 <b>seriously</b> 132:7 146:19 165:5 171:15 <b>servants</b> 152:15 <b>serve</b> 132:6 <b>serves</b> 22:10 58:9 131:11 175:3 <b>service</b> 5:19 6:6 92:16 160:15 183:22 <b>services</b> 1:11,15 2:10,14 14:2 71:4 72:24 97:23 108:19 109:7 113:21 128:18 129:13 137:23 167:20 180:20 187:1 <b>serving</b> 34:21 129:7 140:6 <b>session</b> 37:18 <b>set</b> 57:2 62:16 70:19 182:11 <b>sets</b> 99:14 178:14 190:15 <b>settle</b> 163:15 <b>seven</b> 27:14 79:8 121:20 <b>seventies</b> 163:12 <b>severe</b> 177:17
---	--	--	---	---

<b>severely</b> 128:15 129:23	<b>showers</b> 129:3 129:17,18	109:7,23 122:22 123:1	175:11	<b>smooth</b> 126:5
<b>severity</b> 128:11	<b>showing</b> 124:13	135:12,22	<b>six-month</b> 16:9	<b>smothering</b> 132:21
<b>sewage</b> 64:5	<b>shown</b> 30:8	140:2,20 141:3	37:20 40:6	<b>snowmaking</b> 23:11
<b>sewer</b> 64:13	57:23 65:11	141:5 142:20	88:5 90:12	<b>soak</b> 133:14
<b>sewer-shed</b> 64:12	140:12	162:18 166:13	101:2 102:19	<b>soda</b> 18:20
<b>shape</b> 177:18	<b>shows</b> 16:20	167:20 177:21	103:6 127:8	<b>Soderberg</b> 4:8
<b>share</b> 118:21	24:16 28:25	<b>similar</b> 12:5	185:8	77:25 79:2,2
142:12 156:11	29:19 31:4,11	23:10 32:14	<b>Sixty-nine</b> 92:2	80:22 82:10,23
192:1	31:12 52:13	55:11 58:8	<b>sizable</b> 125:25	83:3,23 152:8
<b>sharp</b> 128:14	55:2 60:2	70:23 107:5	<b>size</b> 18:7 93:3	<b>sodium</b> 25:19
<b>sheet</b> 74:1 189:1	69:23 97:19	112:23 115:15	98:12,15,15	71:20 72:17
<b>sheets</b> 73:23	98:18 99:5	<b>similarity</b>	136:7 161:2	73:8,10 91:23
187:2,20	113:14 138:1	115:21	<b>sketch</b> 36:13	106:23 175:1,8
188:11,14	162:23 178:10	<b>similarly</b> 106:19	<b>ski</b> 23:11	176:15
<b>Sheila</b> 4:8 77:25	<b>shut</b> 23:17 28:19	186:3	<b>slide</b> 16:20 22:12	<b>solid</b> 93:1 97:2
78:14,17 79:2	29:8 30:22	<b>simple</b> 124:2	24:12,13 28:25	179:14 180:4
152:8	32:8 41:5,6	163:13 193:22	36:10 40:21	<b>solids</b> 17:22
<b>shelter</b> 149:4	97:6 98:19	<b>simplify</b> 14:19	73:21 119:18	28:12,20 40:8
<b>ship</b> 174:7	99:6,12 103:15	<b>simply</b> 39:3,8	120:21	70:21,24 71:22
<b>shipping</b> 14:24	117:21	<b>single</b> 132:24	<b>slides</b> 16:18	72:18 76:18
<b>shirts</b> 150:15	<b>side</b> 20:18,18	<b>sinks</b> 129:17	<b>sliding</b> 74:14	84:11 95:8
178:16	94:20 174:12	<b>sir</b> 79:1	<b>slight</b> 17:6 70:24	101:24 102:8
<b>shoe</b> 196:25	<b>sides</b> 23:13	<b>sister</b> 8:9 132:10	<b>slightly</b> 17:12	122:13,14
<b>shopping</b> 118:13	145:4	<b>sit</b> 94:19 163:13	115:22 198:16	175:2,4 176:14
118:14	<b>Siegler</b> 128:5,7,7	194:20	<b>slippery</b> 138:18	<b>solution</b> 130:5
<b>shops</b> 146:5,17	<b>sight</b> 196:8	<b>site</b> 50:18,20	<b>slips</b> 130:17	163:13
<b>shoreline</b> 56:14	<b>sign</b> 120:1	56:7 100:13	<b>slow</b> 21:22	<b>somebody</b> 9:5
61:18	<b>signage</b> 129:6	120:20 191:4,4	164:23 182:13	9:19 45:3
<b>short</b> 62:1 133:1	<b>signed</b> 162:19	<b>siting</b> 97:16	<b>slowing</b> 85:20	64:13 166:2
<b>shortage</b> 78:9	<b>significance</b>	<b>sits</b> 125:16	<b>slowly</b> 110:13	<b>someplace</b>
185:15	144:7	<b>situation</b> 50:2,7	<b>slows</b> 102:3	192:11
<b>shortages</b>	<b>significant</b> 43:24	78:4 91:4	<b>slurry</b> 95:9	<b>somewhat</b> 27:21
185:19	197:18 198:21	121:22 137:25	101:4,13,22	76:19 171:18
<b>shorter</b> 191:25	<b>significantly</b>	148:15 151:9	102:22 105:20	<b>soon</b> 145:13
193:18	31:7 128:25	157:13 161:10	105:23 106:2	160:11
<b>Shorthand</b> 2:24	<b>Simeon</b> 14:22	176:2 185:7	108:14 109:3	<b>sophisticated</b>
<b>shove</b> 174:5	15:3,14 21:19	195:10	109:11	51:21
<b>show</b> 44:11	22:11 30:7,21	<b>six</b> 11:17 27:19	102:22 105:20	<b>sorry</b> 27:22
54:22 66:7	30:23 31:4,10	38:4 39:22,23	105:23 106:2	47:11 62:23
124:5 140:4,11	31:17,18,24	39:24,24,25	108:14 109:3	124:22 189:3
193:14	32:8 51:22	40:1 63:9	109:11	<b>sort</b> 44:5 55:17
<b>showed</b> 18:24	52:3 57:6	95:14 101:8,10	100:18 144:9	85:20 88:18
22:13 49:21	69:19 71:6,15	114:13 119:22	<b>smell</b> 41:13	121:16 180:8
52:2,13 84:16	73:7 86:10	121:13,18,20	<b>Smith</b> 4:5 14:12	190:7 191:23
97:1	104:11,11	122:10 127:21	23:25 54:8	<b>sorts</b> 192:16
	108:15,19	135:9 174:25	56:6,6,6 58:17	
			58:20,24 59:6	
			60:17 85:14	
			119:15 149:21	

<b>sound</b> 23:14 38:17 46:10,11 132:18	169:16 190:22	<b>stabilizes</b> 55:17	74:5,21 191:1	183:8 185:25
<b>soundproofing</b> 23:13	<b>specifically</b> 27:14 79:19	<b>stable</b> 143:19	191:2,11	193:14
<b>source</b> 15:17	<b>Specification</b> 189:17	147:12	195:17	<b>start-up</b> 66:20
24:2 33:22	<b>specifications</b> 94:7 188:22	<b>staff</b> 3:11 5:17	<b>stage</b> 37:15 38:2	66:21 73:16
53:14 70:24	<b>specificity</b> 47:8	5:25 6:8,16,17	38:9,13,20	80:1,1
76:20,22	47:13	6:20,22 8:13	46:19 47:1,1,1	<b>started</b> 29:11
128:13 147:13	<b>specifics</b> 69:16	8:18 9:5 11:25	47:14 112:25	43:14 65:8
174:1 176:7,12	89:5 170:13	12:7 13:1,2,12	117:2,17 118:8	107:24 134:5
197:22	<b>specified</b> 112:8	13:17,22 21:3	121:7,10	159:8 182:9
<b>sources</b> 64:20	<b>specify</b> 138:17	21:7 23:3,21	125:13,14,19	<b>starting</b> 5:5
73:10 167:25	187:20	23:25 25:7	135:8 137:18	27:16 29:16
<b>south</b> 100:12	<b>speculate</b> 89:9	38:3 40:16	137:20 138:19	99:21 114:16
109:12 141:2	153:14 173:17	48:19 61:24	138:20,21,22	<b>starts</b> 68:11
166:11	<b>speed</b> 23:17,18	62:4 69:13	143:4,7 160:3	86:21
<b>southern</b> 55:4	41:4 95:2	74:11 75:9	160:7 168:17	<b>state</b> 1:2 2:1,25
62:9 162:20	98:17,18 134:1	77:25 79:6	168:19 169:11	5:23,25 8:9
<b>southwestern</b>	141:24	112:3,10	169:17,24	36:6 42:16
87:13	<b>speeds</b> 122:10	113:23 114:8	170:5,6,7,8,9	48:6 55:16
<b>Souza</b> 4:6 5:22	<b>spell</b> 85:4	114:12,12,24	170:16 190:12	65:23 67:14
62:7,8,8 68:4	<b>spend</b> 16:19	118:23 123:17	190:17	72:6 74:13,23
69:1 152:7	119:17 121:2	128:19 130:22	<b>stages</b> 169:1	83:14 92:25
<b>span</b> 114:1	<b>spike</b> 86:8	136:3 141:12	170:3 190:16	108:3 112:4
<b>speak</b> 33:11	<b>spirally</b> 18:3	142:9 145:22	<b>stagnant</b> 144:9	120:4 124:20
38:25 125:24	<b>splatters</b> 144:10	147:16 148:17	<b>stalled</b> 36:24	125:6 129:3
151:4 164:15	<b>spoke</b> 29:2 99:17	151:23 152:4	<b>stand</b> 195:24	130:25 139:20
170:1	105:15	152:17,20,24	<b>standard</b> 7:4	139:24 140:5,5
<b>speaker</b> 118:17	<b>spot</b> 69:24	152:24 154:11	47:5 64:7	140:10,19,23
118:20 127:16	177:20	154:17 156:24	82:23 92:1	140:24 141:1
127:20 130:16	<b>spread</b> 61:5	157:16,17,21	132:6	142:13 149:11
141:16,19	<b>spring</b> 50:21	158:5 159:23	<b>standards</b> 20:20	151:10 152:2
147:19	60:25 73:13	160:8 166:7,9	62:16 63:19	160:19 161:23
<b>speakers</b> 4:12	177:22	167:15 168:2,5	71:25 72:9	161:24 162:3,9
134:14 136:18	<b>springboard</b>	168:6,7 171:10	83:7,11,12	162:24 163:14
<b>special</b> 50:20	14:19	171:16,18	91:16 151:19	163:17 164:1,5
141:7 178:17	<b>sprinkler</b> 133:2	172:14 173:11	153:18	165:4,7 168:21
178:18 179:2	<b>SS-1</b> 24:8,19	173:23 174:14	<b>standing</b> 168:14	168:23 171:16
<b>specialized</b> 21:2	25:1,24 49:16	174:22 178:1,9	<b>standpoint</b> 50:9	177:18 179:12
<b>species</b> 132:22	<b>SS-2</b> 24:8 25:24	178:11 186:4,5	114:18 115:15	179:18 183:15
142:18 187:6	<b>SS-3</b> 16:3	186:8,18 187:2	180:10	183:17,21
187:11,13,14	<b>stability</b> 97:18	187:4,20	<b>stapled</b> 139:15	184:18 187:17
187:19 189:13	<b>stabilize</b> 18:20	188:12,25	<b>start</b> 22:2 25:12	190:21 192:11
<b>specific</b> 52:21	29:10 55:23	191:15 192:5	31:21,21 52:9	193:6 197:11
66:14 84:6	<b>stabilized</b> 18:23	192:25 193:23	66:11 74:8	<b>State's</b> 143:13
100:3 113:17	78:13	194:3,13,15	85:24 98:1	<b>stated</b> 50:8
		195:11 198:5	104:17 123:1	89:13 126:10
		198:14	123:22 134:4	160:2,4 192:10
		<b>staff's</b> 21:14	153:2 174:24	<b>statements</b> 9:25

<b>states</b> 185:22 187:9	89:15	56:13,13 61:16	170:21 171:2	72:11,23 78:23
<b>statewide</b> 192:19	<b>streamlined</b> 151:17	<b>succeed</b> 146:16	175:15 176:6,9	86:14,20,21
<b>station</b> 23:15 41:3 81:10 95:2 96:11 98:18 100:11 100:12,14,16 100:17,18	<b>Streams</b> 189:16	<b>succinct</b> 198:3	176:12 185:9,9 192:14 195:5	88:14 89:13,15 92:17,19,21,25 94:19 97:16,20 97:24 107:6 122:9,19 160:22 163:3 166:12 167:16 177:23
<b>status</b> 44:12 46:14 53:23 139:20 166:22 190:24	<b>strengthen</b> 159:4	<b>sucking</b> 60:15	<b>support</b> 11:22 15:15 19:16 25:8 26:16 68:24 75:10 95:14 97:15 117:4 143:18 148:1 150:23 190:1 191:17 192:20 195:8 198:25	166:12 167:16 177:23
<b>statute</b> 154:5	<b>stretch</b> 86:24 148:19	<b>sudden</b> 135:9	<b>supported</b> 42:12	<b>surrounding</b> 93:13
<b>stay</b> 86:7 95:5 96:9 99:2,5 138:24 178:6	<b>strike</b> 185:24	<b>suffering</b> 138:3	<b>supporting</b> 14:9 19:4,20,25 35:11 136:20 137:21 150:19 150:19 190:5	<b>survey</b> 140:9 162:25 163:2,9 164:6,7
<b>staying</b> 8:1 33:5	<b>strikeout</b> 183:8	<b>sufficient</b> 61:3 170:22	<b>sure</b> 15:13 20:14 20:19 21:9 23:14 28:4 33:10,22 34:3 34:11,19 41:9 47:21 51:2,16 51:20 58:13 82:3 84:23,24 87:11 99:20 101:15,15 104:3,3 109:5 111:21 119:4 127:21 156:14 158:13,19 165:9 169:20 170:11 182:1 182:24 195:2 195:22 196:7	<b>surveyors</b> 163:14
<b>stays</b> 64:25 95:4 96:12 102:5 107:16	<b>struggling</b> 27:21	<b>suggest</b> 34:5 172:21 181:3	<b>supports</b> 67:9	<b>surveys</b> 20:12 162:22
<b>steady</b> 55:16 110:11 176:7	<b>studies</b> 50:18 57:4 106:7 168:8	<b>suggested</b> 157:15 181:20	<b>suppose</b> 82:4	<b>survive</b> 90:5
<b>steelhead</b> 87:12	<b>study</b> 29:9,14 49:23 50:21 54:5 65:1,5,15 65:18,25 66:9 67:7 85:23 96:20 100:13 155:17 194:11	<b>suggests</b> 29:4	<b>supposed</b> 142:20 142:23 197:7 197:15	<b>suspect</b> 156:9 160:25
<b>step</b> 18:1 26:18 46:7	<b>stuff</b> 68:6 76:17 102:22 149:23 156:14 157:10 188:8	<b>sulfate</b> 71:23 175:4	<b>surely</b> 15:13 20:14 20:19 21:9 23:14 28:4 33:10,22 34:3 34:11,19 41:9 47:21 51:2,16 51:20 58:13 82:3 84:23,24 87:11 99:20 101:15,15 104:3,3 109:5 111:21 119:4 127:21 156:14 158:13,19 165:9 169:20 170:11 182:1 182:24 195:2 195:22 196:7	<b>suspend</b> 91:8 <b>suspended</b> 17:22 70:21,24 71:13
<b>steps</b> 40:15,18 78:16 158:6	<b>submit</b> 7:19 53:3 80:25 154:2,10 154:14	<b>sulfates</b> 175:3	<b>supply</b> 6:6 14:20 35:23 44:20 52:11 62:15 69:14 78:13 79:10 84:10 90:12 91:19 113:3 120:10 122:16 123:5 123:14,14,19 124:11 130:4 136:23 143:20 146:11,16 147:10 150:20 161:12 170:17	<b>suspension</b> 116:21
<b>sterile</b> 144:8	<b>subject</b> 19:21 43:2 111:9 117:16	<b>summer</b> 37:22	<b>surface</b> 1:15 2:14 24:2 39:20,20 41:1 63:17 71:15	<b>sustain</b> 90:1 194:6
<b>stewards</b> 42:19	<b>subgrade</b> 107:13	<b>supersede</b> 7:3		<b>sustainable</b> 120:10 123:5 123:13,19 195:5
<b>stick</b> 107:17 119:8	<b>submersible</b> 105:24,25	<b>Supervisors</b> 179:13		<b>swimmable</b> 142:4
<b>stop</b> 25:4 129:18	<b>submit</b> 7:19 53:3 80:25 154:2,10 154:14	<b>supplement</b> 54:16 56:4 130:3		<b>system</b> 5:20 6:8 17:10 18:16 23:1,2 29:10 35:9 50:25 53:12 54:9 55:3,13 56:10 57:11,14,17 60:3 61:11 64:11 69:17 79:21 81:24
<b>stopped</b> 32:16 129:6	<b>submitted</b> 7:15 7:21 8:25 9:3 19:15 63:7 65:19 67:4 77:24 79:4,12 118:17 167:24 168:2,10	<b>supplies</b> 119:22 168:25 183:23 183:25 185:16		
<b>storage</b> 129:13	<b>submitted</b> 7:15 7:21 8:25 9:3 19:15 63:7 65:19 67:4 77:24 79:4,12 118:17 167:24 168:2,10	<b>supply</b> 6:6 14:20 35:23 44:20 52:11 62:15 69:14 78:13 79:10 84:10 90:12 91:19 113:3 120:10 122:16 123:5 123:14,14,19 124:11 130:4 136:23 143:20 146:11,16 147:10 150:20 161:12 170:17		
<b>stores</b> 23:5	<b>submit</b> 7:19 53:3 80:25 154:2,10 154:14	<b>supplied</b> 146:10		
<b>storm</b> 93:8 103:5,23 104:20	<b>submit</b> 7:19 53:3 80:25 154:2,10 154:14	<b>supplies</b> 119:22 168:25 183:23 183:25 185:16		
<b>straight</b> 30:24 32:18 58:14 98:10	<b>submitted</b> 7:15 7:21 8:25 9:3 19:15 63:7 65:19 67:4 77:24 79:4,12 118:17 167:24 168:2,10	<b>supply</b> 6:6 14:20 35:23 44:20 52:11 62:15 69:14 78:13 79:10 84:10 90:12 91:19 113:3 120:10 122:16 123:5 123:14,14,19 124:11 130:4 136:23 143:20 146:11,16 147:10 150:20 161:12 170:17		
<b>straighten</b> 163:8	<b>submitted</b> 7:15 7:21 8:25 9:3 19:15 63:7 65:19 67:4 77:24 79:4,12 118:17 167:24 168:2,10	<b>supply</b> 6:6 14:20 35:23 44:20 52:11 62:15 69:14 78:13 79:10 84:10 90:12 91:19 113:3 120:10 122:16 123:5 123:14,14,19 124:11 130:4 136:23 143:20 146:11,16 147:10 150:20 161:12 170:17		
<b>strategies</b> 129:13	<b>submitted</b> 7:15 7:21 8:25 9:3 19:15 63:7 65:19 67:4 77:24 79:4,12 118:17 167:24 168:2,10	<b>supply</b> 6:6 14:20 35:23 44:20 52:11 62:15 69:14 78:13 79:10 84:10 90:12 91:19 113:3 120:10 122:16 123:5 123:14,14,19 124:11 130:4 136:23 143:20 146:11,16 147:10 150:20 161:12 170:17		
<b>strategy</b> 89:14	<b>submitted</b> 7:15 7:21 8:25 9:3 19:15 63:7 65:19 67:4 77:24 79:4,12 118:17 167:24 168:2,10	<b>supply</b> 6:6 14:20 35:23 44:20 52:11 62:15 69:14 78:13 79:10 84:10 90:12 91:19 113:3 120:10 122:16 123:5 123:14,14,19 124:11 130:4 136:23 143:20 146:11,16 147:10 150:20 161:12 170:17		

88:9,17,20	101:14 119:16	24:8 136:22	40:11,13 47:25	160:21 168:13
89:4 93:11,20	122:21 136:11	138:11,16	48:1,2 49:9	173:19 178:13
93:22,23	144:3,4 149:23	<b>ten</b> 18:14 103:24	53:5 55:25	192:7 194:6
100:17 101:7	<b>talked</b> 10:19	103:25 176:21	56:5 58:12	<b>things</b> 30:5,18
104:25 105:3	11:11 40:14	<b>tend</b> 61:7 127:7	61:19,21,25	59:12 82:11
108:16 142:21	82:11 109:25	<b>tended</b> 61:16	67:11,12,18,22	85:2,4 101:14
142:24 160:11	121:1 137:12	<b>tenths</b> 45:10	68:21,22 69:4	114:22 117:7
161:3 170:21	148:22 191:12	46:8	69:5 76:1,2	120:11 129:22
193:10,12	<b>talking</b> 10:21	<b>term</b> 104:14	84:2 86:1,3	129:22 148:23
<b>systems</b> 62:14	11:1 22:4 33:9	110:2 112:8,8	87:25 88:2	149:13,15
62:15 68:13	33:25 35:6	118:6 129:25	92:3,5,8 98:2	151:15 158:7
133:2 185:23	77:13 98:22	130:6 168:19	100:6,7 105:11	159:4 164:23
	135:10 137:4	179:19,20	105:12,14,18	168:18 172:9
<b>T</b>	142:11 175:11	<b>terms</b> 20:25	111:10,22	176:4 177:2,8
<b>table</b> 29:20	177:11	35:23 38:8	113:18 114:25	193:13,17
73:24,24	<b>Tamara</b> 3:10	78:9 80:25	115:1,7 116:10	<b>think</b> 7:6 8:13
152:21 188:18	<b>Tammie</b> 3:9	101:18,20	118:9 123:20	10:19 11:12,13
189:15	<b>Tammy</b> 181:1	102:11 113:9	123:21 127:10	12:20 24:13
<b>tactics</b> 135:6	<b>tank</b> 102:22	118:5 158:11	127:15 130:12	27:23 29:13
<b>tags</b> 174:9	<b>tanks</b> 129:13	159:4 160:17	130:13 131:22	32:19 33:11,17
<b>tail</b> 70:25	<b>tap</b> 129:7,19	160:17 162:8	131:23 132:1	34:14,23 35:15
<b>tailor</b> 79:19,23	<b>taps</b> 135:8	167:2,16 170:1	134:12,13	38:8 41:22
<b>take</b> 5:7 8:24	<b>taught</b> 134:5	176:17 178:13	136:14,15,18	43:17 44:4
41:15 46:8	<b>TDS</b> 56:24,25	193:11 198:13	139:5,7,10	45:5 46:6,10
51:22 62:2	57:6,8,8 72:18	<b>terrific</b> 151:25	141:15,15,18	47:6,19,23,23
67:12 88:23	84:14,16,18	<b>territory</b> 120:4	141:25 143:8,9	56:1 59:16
97:13 101:3	175:21	177:15 180:7	145:18,19,22	60:7 61:10,22
103:1,8 109:7	<b>team</b> 14:9,12	193:19	147:17,18	63:9 67:15,25
109:11,15	111:20 149:21	<b>test</b> 24:4,14,15	148:17 150:7,8	75:23 76:7
115:10 118:10	151:25 191:16	24:16 25:17,18	152:4,11,16	82:7 84:3,23
118:19 126:19	<b>Teamsters</b> 11:19	26:5 129:2	153:3 156:6,7	84:24 87:17
129:17,20	<b>technical</b> 7:24	133:13 136:3,5	161:19 165:10	88:25 89:10,17
143:1 148:9	23:21 180:24	139:3,6	165:16,17	92:6,18 106:10
149:5 171:14	184:22	<b>tested</b> 51:13	171:5,6 179:3	113:5 114:6
177:4 181:1	<b>technically</b>	94:13 133:23	189:24 191:19	115:20 116:9
187:7,7 192:13	180:9	<b>testing</b> 25:21	192:22 195:12	116:11,15
196:14,15	<b>Ted</b> 128:5,7	27:17 94:15,15	198:11 199:5	117:5,6,11
199:6	<b>telephone</b> 11:21	94:16 104:2	<b>thankful</b> 149:21	119:17,18
<b>taken</b> 2:17 62:1	<b>tell</b> 40:18 49:3	173:10	<b>thanks</b> 178:18	121:2,18,21
76:9,10 119:9	74:23 89:12	<b>tests</b> 26:6,8	<b>Thea</b> 105:15,17	127:8 129:18
120:8 128:9	116:23 118:2	<b>thank</b> 10:13,16	<b>they'd</b> 104:4	130:19,20
129:1	137:12 143:15	11:10 12:13,14	<b>thing</b> 22:7 28:6	131:16 134:7
<b>takes</b> 88:6	150:4,5 173:22	13:20,25 25:9	33:8 61:12	134:21,23
140:14,22	181:20 194:18	25:11,15 28:22	89:12 98:22	135:17,18
143:25	<b>telling</b> 165:6	28:24 30:25	104:16 107:22	136:5,9 140:25
<b>talk</b> 8:19 19:2,4	<b>tells</b> 127:18	33:7,12 34:2	126:1 132:8,12	144:8 149:11
23:2 80:19	<b>temporary</b> 19:7	34:18,19 36:7	133:12 151:16	149:15,18

150:2 151:21	<b>threat</b> 168:24	64:9,16,22,22	97:18,20	69:24 93:21
153:4 158:5,18	<b>threatened</b>	64:25 65:2	111:13 154:13	102:14 140:16
159:18 160:14	120:13 187:10	68:13 73:20	167:16 185:2	169:4 186:3
160:16,16,21	<b>three</b> 9:20 12:23	74:8 78:6 80:1	185:21 186:2,6	<b>topic</b> 142:5
161:4,11,13,13	13:1 15:20	81:1,4,8,10,13	<b>TMDL</b> 73:7,9,12	<b>total</b> 17:9,10
162:19,25	17:15 23:13	96:1 97:1	177:22	25:20 32:5
163:11 166:3	26:25 27:12	101:3 102:25	<b>to-do</b> 160:21	71:22 72:18
166:25 167:7,8	28:8 30:9,10	109:15 111:9	<b>today</b> 5:12,17	84:11 95:8
168:21 169:6	37:25 48:13	112:2,11,12	10:7 11:23	102:8 131:25
170:5 171:25	65:16 83:17	113:12,17	13:24 14:8,21	147:6 175:2,4
172:1,14,16	88:22,24 89:19	114:1,23 115:3	19:11,11 22:4	176:14 191:9
173:1,3,4,11	89:25 90:5	117:7 119:17	22:24 29:24	<b>totaled</b> 13:6
174:5,13	93:3,12 107:7	121:3 125:9,21	42:24 44:10	<b>touched</b> 39:2
176:22 177:6	118:18 122:6	128:2 131:16	53:1 67:18	<b>touching</b> 21:16
178:10,14	125:18 126:19	133:1 136:2,18	69:5,17 76:25	<b>tough</b> 174:3
179:8,17,22,23	127:17,19,23	146:6,8,13,13	77:5,10,23	<b>tourism</b> 124:8
180:4,6,8,11	128:1 130:16	151:18 153:15	78:18,25 86:13	138:22 146:15
186:13 189:19	131:24 134:14	154:16 156:18	86:19 92:15	147:3,9
193:3,3,6,9,16	141:14,16,21	156:24 157:25	114:7,19 117:8	<b>tourist</b> 146:4
194:3 195:3,24	147:19 149:23	162:23 163:23	120:15 123:17	<b>tourist-based</b>
196:3,5,9,11	150:17,21	164:9 167:5	125:5,10,16	129:21
197:20,22	156:25 170:2	170:16,20,24	130:8,22	<b>tourists</b> 123:25
198:7,15,21,24	170:15 174:25	171:9,23	131:21 137:13	138:24
<b>thinking</b> 86:10	176:20 179:11	172:17 175:14	137:14 138:8	<b>tower-type</b>
142:9	181:17,22,24	178:1 179:25	142:6,7 150:14	79:22
<b>thinks</b> 51:17	184:25 189:9	182:18 188:5	153:5 171:17	<b>town</b> 30:20
156:4	<b>three-level</b> 23:2	190:11 191:25	172:14 178:22	31:25 129:3
<b>third</b> 40:7	<b>three-month</b>	193:12,18	184:23 189:17	<b>toxic</b> 40:17
181:21 188:4	26:23	194:3,4,6,19	191:22 193:21	144:3
<b>third-party</b> 21:1	<b>threshold</b>	196:18	198:10	<b>tracer</b> 24:4,10
93:25 94:14	190:20	<b>timely</b> 7:15	<b>toilet</b> 144:6,13	24:10 25:17,19
<b>Thomas</b> 3:8	<b>thresholds</b>	<b>times</b> 18:14	<b>toilets</b> 129:16	25:25 29:9,14
<b>Thompson</b> 14:7	153:18	30:17 127:7	144:3,14,16,17	65:1,5,15,18
<b>thought</b> 32:14	<b>thrilled</b> 192:15	143:21 172:14	144:22	65:25 66:9,11
77:4 83:1,22	<b>tidewater</b> 87:12	183:25	<b>told</b> 11:23	67:7 85:23
133:16 149:2	<b>tied</b> 96:11	<b>timing</b> 104:10	137:14 140:6	133:13 136:3,5
154:25 158:1	<b>tight</b> 87:11	110:25 130:4	141:12 143:5	139:3,6 194:11
158:19 163:5	<b>time</b> 5:10 8:17	<b>Tina</b> 4:13 128:5	<b>tolerable</b> 64:3	<b>track</b> 110:22
173:12 180:12	12:19 13:6,7	130:14,15	<b>toll</b> 129:20	158:18 192:25
182:19	13:19 16:19	<b>tiny</b> 17:21	<b>Tom</b> 8:14	<b>tracking</b> 31:6,12
<b>thoughts</b> 54:3,10	24:15,17,24	<b>Title</b> 15:11	113:25 149:14	32:25 130:23
160:8 161:8	25:1 26:8,9,24	22:23 23:1	149:17 171:15	<b>trade</b> 45:3
<b>thousand</b> 46:1,6	27:7 28:19	24:3,4 48:8,23	<b>tongue</b> 46:7	<b>trade-off</b> 197:3
<b>thousand-year</b>	33:6 34:8	62:19,25 63:7	<b>tons</b> 108:8,8	<b>trading</b> 44:9
93:8 103:5,23	37:12 43:19	67:3 68:20	<b>too-conservati...</b>	45:1
104:20	45:19 47:13,15	69:8 91:6	149:2	<b>TRANSCRIPT</b>
<b>thread</b> 116:12	48:25 61:24	92:11,23,24	<b>top</b> 41:2 61:9	1:19 2:17

<b>transfer</b> 44:8	<b>Tribune</b> 152:14	73:15,23 74:5	177:14 180:6	<b>unique</b> 146:5
<b>translates</b>	<b>tried</b> 165:22	88:5 89:14	193:19	<b>unit</b> 92:14
198:23	<b>triggers</b> 28:1	91:6 93:5	<b>unclear</b> 142:19	<b>units</b> 14:23
<b>transport</b>	<b>troublemakers</b>	94:24 101:2,10	<b>unconditionally</b>	145:7
108:15 193:12	198:24	101:19 102:18	196:19	<b>unknowns</b>
<b>travel</b> 15:21,22	<b>troubling</b> 149:9	102:19 103:6	<b>underdeveloped</b>	110:25
24:17,24 25:1	<b>truck</b> 101:4	103:25 104:17	145:16	<b>unmitigable</b>
<b>traveling</b> 18:25	<b>trucked</b> 129:4	106:18 111:6	<b>underflow</b> 16:13	43:21
<b>treat</b> 10:6	<b>trucks</b> 102:22	113:8 115:23	16:14 21:20,23	<b>unpermitted</b>
<b>treated</b> 15:18	<b>true</b> 29:6	119:23 121:21	31:19,22	138:6
56:11 57:25	<b>trust</b> 139:23,23	127:1 145:2	<b>underground</b>	<b>unquestionably</b>
63:14 64:10	191:15	150:12,22	15:19 16:6,12	140:19
69:19 70:7,9	<b>trustee</b> 143:11	151:8 156:9,15	17:7 21:4 26:2	<b>unrealistic</b> 114:2
70:10 71:19	<b>try</b> 43:5 108:11	159:12 160:22	132:20	<b>unreasonably</b>
78:20 80:21	109:18 110:6	166:10,11	<b>underneath</b>	72:7 184:19
90:17 122:3	133:7 144:1	173:8 174:14	93:19 138:9	<b>unregulated</b>
192:13 196:10	169:21 177:19	178:16 180:23	<b>understand</b> 8:21	63:20
<b>treating</b> 122:17	191:22	185:20 188:14	37:21 47:17	<b>unusable</b> 185:16
<b>treatment</b> 5:20	<b>trying</b> 25:2	<b>two-foot</b> 23:4	73:22 76:6	<b>unusual</b> 158:11
14:23 15:6	36:25 37:21	103:4,22	82:18 104:23	188:9 193:24
16:6,11,22	58:13 84:18	104:19	114:5 119:18	<b>up-gradient</b>
17:4,14 18:1	127:5 132:4	<b>two-month</b>	135:15 142:22	58:5,22 59:8
18:15 22:3	148:15 166:5	29:17 30:19	143:25 149:14	<b>update</b> 73:24
23:7 63:17,21	169:22 194:1	<b>two-page</b> 11:4	162:2 165:25	171:19,22
64:12,19,21	<b>Tryon</b> 103:14,23	<b>two-pathway</b>	166:5 168:14	172:7,9,11,13
68:14 70:5,18	104:2 105:17	19:12	168:18 169:22	172:20
72:19 73:4,4	105:17 152:7	<b>two-step</b> 36:22	169:24 170:13	<b>updated</b> 74:1
73:15 81:3,12	<b>turbidity</b> 17:23	<b>type</b> 45:1 68:19	194:21	194:17
81:17 82:14	<b>turn</b> 30:16 39:23	79:19 99:23	<b>understanding</b>	<b>upper</b> 60:5,10
84:12,13 91:13	39:24 40:2	107:1 111:19	76:12 102:18	140:17
92:20 104:11	111:20 154:24	<b>types</b> 177:1	157:22,25	<b>upset</b> 64:12,12
104:25 108:16	<b>turned</b> 65:6	190:3	<b>understood</b>	<b>upstream</b> 86:14
122:6,8 128:16	133:15 137:2	<b>typical</b> 18:15	191:2	<b>uptight</b> 145:6
130:3,9 176:10	159:5 165:20	32:11 106:25	<b>undertake</b>	<b>urge</b> 130:18
176:19 184:4	173:14	<b>typically</b> 35:3	117:12 193:22	145:23 164:4
<b>tree-lined</b> 71:5	<b>turning</b> 129:19	57:9 79:17	<b>undertakes</b>	194:15
<b>trees</b> 70:3,4	<b>turns</b> 113:13	82:23 194:19	155:17	<b>urgencies</b>
<b>tremendous</b>	<b>turtle</b> 87:13	<b>typo</b> 74:2	<b>undertaking</b>	193:25
157:17	<b>two</b> 5:13,18 7:2		40:9	<b>urine</b> 144:7,9
<b>trench</b> 15:1	10:1,3,8 11:13	<b>U</b>	<b>underway</b> 195:4	<b>usable</b> 64:5
133:5 166:25	13:1 14:5	<b>ultimate</b> 182:24	<b>undisinfected</b>	<b>usage</b> 95:11
<b>trenchers</b>	15:19,22 16:3	<b>ultimately</b> 52:20	136:7	124:1 125:2,3
159:13	18:25 19:5	58:3 59:1	<b>UNIDENTIFI...</b>	<b>USCA</b> 187:14
<b>trenching</b> 138:7	29:8 30:6,23	120:22	141:19	<b>use</b> 16:2 17:25
<b>trends</b> 97:11	32:25 39:17,18	<b>unanimously</b>	<b>unintended</b>	19:3,6 20:23
<b>triangulation</b>	51:4 64:16,18	143:17,21	49:19 64:14	29:16 30:14
179:15	65:17 69:17	<b>uncharted</b>	192:17	32:3,6 35:3

44:7,12 55:8 68:18 88:16 104:6,7 125:20 129:5 134:2 135:14 144:12 144:22 145:7 146:1 183:14 190:17 <b>users</b> 128:22,23 144:20 184:2 <b>uses</b> 35:10 63:14 71:17 72:7 73:12 75:16 129:12 164:2 184:7,19 187:16 <b>USGS</b> 50:19 57:4 89:20 <b>usually</b> 95:21 177:8 <b>utility</b> 66:16 132:20 <b>utilize</b> 94:17 <b>UV</b> 18:9,15,16 106:14 <b>UV-hydrogen</b> 63:24	<b>verify</b> 96:21 <b>versus</b> 19:7 31:17 <b>vertically</b> 41:17 <b>vested</b> 153:9,10 <b>vet</b> 33:17 <b>viability</b> 120:14 <b>vice</b> 3:3 14:6 136:19 150:9 <b>view</b> 21:17 147:1 168:14 195:7 <b>viewed</b> 182:15 <b>VIN</b> 129:4 <b>virus</b> 64:6,23 <b>viruses</b> 17:24 18:4 <b>visitors</b> 147:4,4 <b>volume</b> 103:4 154:8 <b>voluntary</b> 170:6 <b>vote</b> 4:21 181:16 189:25 <b>voted</b> 143:16,17 143:21 182:25 <b>voting</b> 197:25	133:12 152:3 153:7 156:18 156:19 157:18 163:24 164:15 172:13 173:1,1 173:16 178:8 181:1 182:1,23 188:12 193:24 195:1 196:12 197:11 <b>wanted</b> 13:5 51:20 118:21 148:17 153:16 165:3,9 171:23 186:13 196:6 <b>wants</b> 9:20 113:7 137:5 141:2 <b>warning</b> 127:18 <b>wash</b> 145:1 <b>washing</b> 129:8 145:7 <b>wasn't</b> 13:25 42:22 51:12 99:15 102:22 113:15 165:7 169:20 191:3 194:2 <b>waste</b> 1:9,9,14 2:8,8,13 49:5 92:15 93:1 97:12 106:15 108:8 109:13 111:13,15,16 111:19,19 113:10,12 141:13 154:10 154:14 180:17 180:18 186:19 186:22,23 189:16 <b>wastewater</b> 16:11,22 30:13 30:15 56:10 62:16 71:5 73:2,4 81:2,3 81:11,17 82:2	82:4 104:11 108:15 136:7 140:1,3,7 176:19 179:20 <b>wastewaters</b> 56:11 <b>watch</b> 87:11 195:10 <b>watching</b> 194:25 <b>water</b> 1:3,10 2:2 2:9,21 5:19,23 5:23 6:6,7,9,13 6:16,17 13:3 13:24 15:6,9 15:14,17,17 16:4,6,10,14 16:16,20,25 17:1,2,7,9,14 17:22 18:16,20 18:23 21:11,15 21:18 22:8,12 22:16,21 23:5 23:6,7 24:2 25:23 30:12,14 30:14,15,18,22 31:4,5,10,17 32:3,6,10 34:21 35:3,6,7 35:9,10,18,23 36:17 39:20 40:2,8,23 41:19 44:7,12 44:19 48:4,5,6 49:17,20 50:3 50:5 52:11 53:11,11 55:7 55:9,11,18 56:9 57:16,25 57:25 58:1,2 58:10 59:9,14 59:17,18,19 60:12 61:2,7,9 61:11 62:7,10 62:14,15,15,18 62:22,24 63:14 63:14,17,18,19 64:10,11,18,25	65:4,21,22 66:11,18,22 67:1,9,14,15 68:13 69:13,19 69:24,25 70:5 70:9,11,18,20 70:20,24 71:2 71:15,16,19,25 72:8,11,14,15 72:19,25 73:9 73:11 74:18 75:3,4,7,17,17 76:14,19,22 77:5 78:8,13 78:20 79:20 80:5 81:22 82:9,10,14 83:6,10 84:10 84:24,25 86:17 86:20,21 87:5 87:6 88:8,8,9 88:16,17,19,20 88:23 90:2,12 90:18 91:8,11 91:19,20,22 92:13,14,20 102:4 104:25 113:3 116:6 119:21,22 120:6,8,9,10 120:11,21 121:2,23,25 122:2,3,3,4,5 122:12,16,25 123:5,14,14,19 124:5,7,7,11 124:14 128:10 128:13,16,20 128:24 129:5,7 129:7,12,14,17 129:24 130:3,3 130:5,9,10 133:2 134:10 134:24 135:6,9 135:11,14,17 136:20,23,23 137:24,24
<b>V</b>	<b>W</b>			
<b>vacation</b> 147:6 <b>vacuum</b> 75:14 155:9 <b>valid</b> 154:3 <b>Valley</b> 177:16 <b>Van</b> 60:2 140:21 166:10 <b>vapor</b> 88:16 <b>variety</b> 174:23 <b>various</b> 14:17 198:13 <b>veil</b> 135:2 <b>verbalizing</b> 190:4 <b>verbally</b> 186:18 189:12 <b>verbiage</b> 44:16 <b>verified</b> 64:25	<b>wait</b> 77:4 157:3 180:3 182:3,3 <b>waiting</b> 13:14 79:11 80:9 99:18 119:25 <b>walking</b> 95:19 <b>wall</b> 105:4 161:5 <b>walls</b> 105:3 <b>want</b> 7:1 9:10 10:14 13:8 16:19 23:2 36:16 41:16 54:9 67:13 74:10 76:4 85:13 94:25 101:22,24 103:18 114:17 114:21 124:9 124:18 127:21 132:2,8,18			

138:23 142:5 142:19,25 143:20 144:1 144:15,24 145:2,14,22,24 146:9,11,15,20 146:22 147:10 147:13 148:7,9 150:13,16,20 151:4,19 152:1 154:20 155:1 155:14,18,22 160:19,23,25 161:2,3,12 166:9,13 167:25 168:6 168:21,22,25 170:4,17,18,20 170:21,22,25 171:2,3,4 174:1,6,8,8 175:5,15,15,18 175:20,22 176:6,8 177:19 177:23 178:12 179:16,19 180:8,19 183:14,15,16 183:18,19,22 183:24,25 184:5,8,11,12 184:13,20 185:7,8,9,11 185:15,19 186:4,24 189:15,15,16 190:19,21,25 192:14 193:4,7 195:5,23,23 196:3,6,9,16 196:18,19,21 197:3,5,22 <b>Water's</b> 62:13 191:9 <b>water-quality</b> 91:16 <b>watering</b> 138:3	<b>waters</b> 187:17 <b>watershed</b> 72:21 <b>watertight</b> 94:13 <b>Watsonville</b> 109:14 173:2,4 173:4 <b>way</b> 26:1 49:1 54:14 55:15 59:11 61:10 75:18,22 84:21 91:7 99:24 105:22 115:10 122:4 128:3,11 131:21 136:17 137:6 138:13 140:18 153:13 155:7 161:16 166:20 177:7 182:16 188:9 193:11,25 194:23 195:24 197:20 <b>ways</b> 194:13 <b>wayside</b> 160:11 <b>WDR</b> 153:9,18 <b>WDRs</b> 153:6,7 154:12,20 <b>we'll</b> 8:23 13:1 13:18 17:18 28:15 78:15 84:11 97:12 115:10 116:12 118:10,11,16 118:16 128:17 144:13 147:23 153:2 159:20 165:16 172:6,6 175:24 194:10 194:12 197:14 197:15 199:6,6 <b>we're</b> 5:11 10:24 11:22 12:18 16:2 19:18,19 19:23 20:2,4,6 20:9,19,20 21:5 22:4 24:21,22 27:11	27:14 28:2,5 29:15 33:9,15 33:25 36:6 40:23 43:1 47:21 50:3 51:16,17 57:20 59:16 61:17 62:6 65:4 67:7 74:3 75:15,16 75:17 77:22 78:4 80:9 83:3 84:22 85:2,5 88:3 92:18 98:22 105:5 109:23 115:13 118:22 119:10 127:5 130:2 133:5 134:2 135:6 137:19 137:21,25 138:20,21,22 141:19 142:11 148:5 150:14 152:9 157:6,10 158:3,6,17 160:18 175:11 177:14,21 180:4,11 181:4 189:8 192:8,11 192:12 193:13 194:1 198:15 198:24 <b>we've</b> 20:16 37:24 44:20 50:18 53:20 61:13 63:8 68:19 75:22 82:19 87:4 88:22 89:25 90:23 105:7 112:3 129:15 131:14 133:19 134:7 135:18 136:21 143:22 144:16 148:3 150:12 153:5 156:24 157:25	161:11 172:14 177:15,17 191:12 197:12 <b>wearing</b> 150:15 <b>weather</b> 23:15 41:3 95:1 96:11 98:18 100:11,12,14 100:16,17 103:11 <b>Webb</b> 4:14 10:1 134:15 136:16 136:19,19 139:3,6,8 <b>wedge</b> 61:8,17 <b>week</b> 7:5,6,7 8:7 27:16 120:16 121:20 159:8 <b>weekends</b> 178:22 <b>weekly</b> 26:9,12 63:9 80:3 84:15 87:8 <b>weeks</b> 11:17 27:18 51:4 63:10 99:18 143:17 <b>weigh</b> 173:25 174:2 <b>weighed</b> 196:19 196:25 <b>welcome</b> 67:13 182:16 <b>weld</b> 94:12 <b>well-being</b> 147:14 <b>wellhead</b> 64:21 <b>wells</b> 15:19 16:4 19:1 21:19 22:11,14 25:23 28:1 29:4,8,15 29:16 30:10,10 30:21 31:7,11 31:16,21,24 33:5 49:16,23 50:10 51:4,15 52:11,22 53:16	55:10 57:2 65:3 70:4 84:10 85:18,21 93:12 122:22 123:1 175:15 176:9 <b>went</b> 24:9 25:25 45:2 51:14 131:17 133:14 176:20 <b>weren't</b> 156:21 <b>west</b> 60:4 94:20 122:11 <b>wet</b> 22:18 <b>wet-weather</b> 157:7 <b>whichever</b> 51:15 190:10 <b>white</b> 94:8 106:16 178:16 <b>wife</b> 150:11 <b>wildlife</b> 95:18,21 95:25 132:16 132:17 139:17 142:12 159:11 <b>willing</b> 75:13 <b>wind</b> 23:17 41:4 95:2 98:17,18 122:10,11 <b>winter</b> 157:6 175:13 <b>wire</b> 159:12 <b>wired</b> 95:1 <b>wish</b> 11:16 169:21 <b>Wolff</b> 1:5 2:4 3:2 34:5 69:11 113:19 142:2 147:24 <b>wonderful</b> 146:25 <b>word</b> 45:7 50:24 183:9,10 190:18 <b>words</b> 9:25 35:10 67:22 189:25
--	---	--	---	--

<b>work</b> 11:19 19:21 25:7 43:13 51:13 55:15 99:24 108:7 110:1,7 110:7,18 111:7 114:13,21,22 121:18 157:10 157:12,17 158:24 159:14 165:20 178:9 183:5 192:7 193:5	166:16 <b>wound</b> 18:3 <b>wrap</b> 119:12 139:2 141:11 <b>wrapped</b> 37:7 <b>write</b> 54:8 178:23 <b>writing</b> 161:4 <b>written</b> 9:23 52:21 53:2 126:11 143:4 152:13 <b>wrong</b> 23:18 68:2 134:24 148:10 162:24 174:20 180:1 <b>wrote</b> 140:5 165:8 <b>wrung</b> 28:7	136:24,25 139:1 147:7 149:18 158:13 171:18 172:5 172:22 173:8 174:25 191:13 194:9 <b>year's</b> 93:7 <b>years</b> 11:19 29:21 31:18,23 32:12 36:16,21 36:24 37:25 39:17,18 44:14 45:14 48:13 64:15 75:21 83:13,14 88:22 89:14,19,25 90:6 94:24 95:10 101:12 101:20 102:1,8 102:18 104:17 106:6,10,17 111:1,6 115:19 119:23 121:19 121:19,21 125:18 132:9 136:21 145:17 150:11,13 153:14 154:15 160:22 161:1 173:8 176:21 179:21 193:6 <b>yesterday</b> 8:14 10:2,22 29:3 31:3 114:1 131:17 137:22 156:21 <b>Young</b> 3:6 25:14 28:23,24 29:19 29:25 30:9,25 54:17 67:20 88:1,2,21 89:3 89:20 90:3,5 90:13,17,20 91:1,3,17 92:1 92:3 123:23,24 124:9,19,24	173:6,7,18,20 174:11,17 196:1,2 <b>Young's</b> 32:14	<b>10:00</b> 73:19 87:10 178:24 <b>100</b> 50:4 59:13 60:13,20 61:3 88:12 122:13 <b>100-gallon-a-...</b> 17:2 <b>100,000</b> 85:16 <b>106</b> 25:1 <b>119</b> 4:10 <b>11th</b> 149:10 <b>12</b> 39:11 67:7,24 132:9 <b>12-log</b> 64:5 <b>120</b> 56:16 <b>12203</b> 1:23 2:23 <b>12th</b> 65:19 <b>13</b> 4:4 <b>130</b> 4:13 <b>136</b> 4:14 <b>139</b> 4:15 <b>14</b> 1:21 2:20 5:1 185:2 <b>142</b> 4:16 <b>143</b> 4:17 <b>144,000</b> 85:19 142:23 176:1 <b>145</b> 4:18 <b>15</b> 12:20 13:5 19:10 31:5 32:22 134:3 170:7 <b>15-minute</b> 61:23 119:1 199:6 <b>150</b> 4:19 <b>1526</b> 185:3 <b>1531</b> 187:15 <b>1544</b> 187:15 <b>16</b> 187:14 <b>160</b> 58:25 <b>16D1</b> 51:9 84:7 <b>17</b> 79:3 <b>180</b> 137:13,16 <b>180-day</b> 137:15 <b>1800050</b> 183:6 <b>189</b> 4:21 <b>19</b> 7:3 74:3
<b>worked</b> 11:20 100:5 110:1 148:18 198:14	<b>writing</b> 161:4 <b>written</b> 9:23 52:21 53:2 126:11 143:4 152:13 <b>wrong</b> 23:18 68:2 134:24 148:10 162:24 174:20 180:1 <b>wrote</b> 140:5 165:8 <b>wrung</b> 28:7	<b>year's</b> 93:7 <b>years</b> 11:19 29:21 31:18,23 32:12 36:16,21 36:24 37:25 39:17,18 44:14 45:14 48:13 64:15 75:21 83:13,14 88:22 89:14,19,25 90:6 94:24 95:10 101:12 101:20 102:1,8 102:18 104:17 106:6,10,17 111:1,6 115:19 119:23 121:19 121:19,21 125:18 132:9 136:21 145:17 150:11,13 153:14 154:15 160:22 161:1 173:8 176:21 179:21 193:6 <b>yesterday</b> 8:14 10:2,22 29:3 31:3 114:1 131:17 137:22 156:21 <b>Young</b> 3:6 25:14 28:23,24 29:19 29:25 30:9,25 54:17 67:20 88:1,2,21 89:3 89:20 90:3,5 90:13,17,20 91:1,3,17 92:1 92:3 123:23,24 124:9,19,24	<b>Young's</b> 32:14	<b>10:00</b> 73:19 87:10 178:24 <b>100</b> 50:4 59:13 60:13,20 61:3 88:12 122:13 <b>100-gallon-a-...</b> 17:2 <b>100,000</b> 85:16 <b>106</b> 25:1 <b>119</b> 4:10 <b>11th</b> 149:10 <b>12</b> 39:11 67:7,24 132:9 <b>12-log</b> 64:5 <b>120</b> 56:16 <b>12203</b> 1:23 2:23 <b>12th</b> 65:19 <b>13</b> 4:4 <b>130</b> 4:13 <b>136</b> 4:14 <b>139</b> 4:15 <b>14</b> 1:21 2:20 5:1 185:2 <b>142</b> 4:16 <b>143</b> 4:17 <b>144,000</b> 85:19 142:23 176:1 <b>145</b> 4:18 <b>15</b> 12:20 13:5 19:10 31:5 32:22 134:3 170:7 <b>15-minute</b> 61:23 119:1 199:6 <b>150</b> 4:19 <b>1526</b> 185:3 <b>1531</b> 187:15 <b>1544</b> 187:15 <b>16</b> 187:14 <b>160</b> 58:25 <b>16D1</b> 51:9 84:7 <b>17</b> 79:3 <b>180</b> 137:13,16 <b>180-day</b> 137:15 <b>1800050</b> 183:6 <b>189</b> 4:21 <b>19</b> 7:3 74:3
<b>working</b> 11:25 14:16 20:18 33:16 36:11 69:13 109:23 121:20 142:22 149:12 158:7 178:11,12,21 178:25	<b>wrote</b> 140:5 165:8 <b>wrung</b> 28:7	<b>year's</b> 93:7 <b>years</b> 11:19 29:21 31:18,23 32:12 36:16,21 36:24 37:25 39:17,18 44:14 45:14 48:13 64:15 75:21 83:13,14 88:22 89:14,19,25 90:6 94:24 95:10 101:12 101:20 102:1,8 102:18 104:17 106:6,10,17 111:1,6 115:19 119:23 121:19 121:19,21 125:18 132:9 136:21 145:17 150:11,13 153:14 154:15 160:22 161:1 173:8 176:21 179:21 193:6 <b>yesterday</b> 8:14 10:2,22 29:3 31:3 114:1 131:17 137:22 156:21 <b>Young</b> 3:6 25:14 28:23,24 29:19 29:25 30:9,25 54:17 67:20 88:1,2,21 89:3 89:20 90:3,5 90:13,17,20 91:1,3,17 92:1 92:3 123:23,24 124:9,19,24	<b>Young's</b> 32:14	<b>10:00</b> 73:19 87:10 178:24 <b>100</b> 50:4 59:13 60:13,20 61:3 88:12 122:13 <b>100-gallon-a-...</b> 17:2 <b>100,000</b> 85:16 <b>106</b> 25:1 <b>119</b> 4:10 <b>11th</b> 149:10 <b>12</b> 39:11 67:7,24 132:9 <b>12-log</b> 64:5 <b>120</b> 56:16 <b>12203</b> 1:23 2:23 <b>12th</b> 65:19 <b>13</b> 4:4 <b>130</b> 4:13 <b>136</b> 4:14 <b>139</b> 4:15 <b>14</b> 1:21 2:20 5:1 185:2 <b>142</b> 4:16 <b>143</b> 4:17 <b>144,000</b> 85:19 142:23 176:1 <b>145</b> 4:18 <b>15</b> 12:20 13:5 19:10 31:5 32:22 134:3 170:7 <b>15-minute</b> 61:23 119:1 199:6 <b>150</b> 4:19 <b>1526</b> 185:3 <b>1531</b> 187:15 <b>1544</b> 187:15 <b>16</b> 187:14 <b>160</b> 58:25 <b>16D1</b> 51:9 84:7 <b>17</b> 79:3 <b>180</b> 137:13,16 <b>180-day</b> 137:15 <b>1800050</b> 183:6 <b>189</b> 4:21 <b>19</b> 7:3 74:3
<b>works</b> 45:4,22 134:20 137:3	<b>wrote</b> 140:5 165:8 <b>wrung</b> 28:7	<b>year's</b> 93:7 <b>years</b> 11:19 29:21 31:18,23 32:12 36:16,21 36:24 37:25 39:17,18 44:14 45:14 48:13 64:15 75:21 83:13,14 88:22 89:14,19,25 90:6 94:24 95:10 101:12 101:20 102:1,8 102:18 104:17 106:6,10,17 111:1,6 115:19 119:23 121:19 121:19,21 125:18 132:9 136:21 145:17 150:11,13 153:14 154:15 160:22 161:1 173:8 176:21 179:21 193:6 <b>yesterday</b> 8:14 10:2,22 29:3 31:3 114:1 131:17 137:22 156:21 <b>Young</b> 3:6 25:14 28:23,24 29:19 29:25 30:9,25 54:17 67:20 88:1,2,21 89:3 89:20 90:3,5 90:13,17,20 91:1,3,17 92:1 92:3 123:23,24 124:9,19,24	<b>Young's</b> 32:14	<b>10:00</b> 73:19 87:10 178:24 <b>100</b> 50:4 59:13 60:13,20 61:3 88:12 122:13 <b>100-gallon-a-...</b> 17:2 <b>100,000</b> 85:16 <b>106</b> 25:1 <b>119</b> 4:10 <b>11th</b> 149:10 <b>12</b> 39:11 67:7,24 132:9 <b>12-log</b> 64:5 <b>120</b> 56:16 <b>12203</b> 1:23 2:23 <b>12th</b> 65:19 <b>13</b> 4:4 <b>130</b> 4:13 <b>136</b> 4:14 <b>139</b> 4:15 <b>14</b> 1:21 2:20 5:1 185:2 <b>142</b> 4:16 <b>143</b> 4:17 <b>144,000</b> 85:19 142:23 176:1 <b>145</b> 4:18 <b>15</b> 12:20 13:5 19:10 31:5 32:22 134:3 170:7 <b>15-minute</b> 61:23 119:1 199:6 <b>150</b> 4:19 <b>1526</b> 185:3 <b>1531</b> 187:15 <b>1544</b> 187:15 <b>16</b> 187:14 <b>160</b> 58:25 <b>16D1</b> 51:9 84:7 <b>17</b> 79:3 <b>180</b> 137:13,16 <b>180-day</b> 137:15 <b>1800050</b> 183:6 <b>189</b> 4:21 <b>19</b> 7:3 74:3
<b>workshops</b> 14:18	<b>wrote</b> 140:5 165:8 <b>wrung</b> 28:7	<b>year's</b> 93:7 <b>years</b> 11:19 29:21 31:18,23 32:12 36:16,21 36:24 37:25 39:17,18 44:14 45:14 48:13 64:15 75:21 83:13,14 88:22 89:14,19,25 90:6 94:24 95:10 101:12 101:20 102:1,8 102:18 104:17 106:6,10,17 111:1,6 115:19 119:23 121:19 121:19,21 125:18 132:9 136:21 145:17 150:11,13 153:14 154:15 160:22 161:1 173:8 176:21 179:21 193:6 <b>yesterday</b> 8:14 10:2,22 29:3 31:3 114:1 131:17 137:22 156:21 <b>Young</b> 3:6 25:14 28:23,24 29:19 29:25 30:9,25 54:17 67:20 88:1,2,21 89:3 89:20 90:3,5 90:13,17,20 91:1,3,17 92:1 92:3 123:23,24 124:9,19,24	<b>Young's</b> 32:14	<b>10:00</b> 73:19 87:10 178:24 <b>100</b> 50:4 59:13 60:13,20 61:3 88:12 122:13 <b>100-gallon-a-...</b> 17:2 <b>100,000</b> 85:16 <b>106</b> 25:1 <b>119</b> 4:10 <b>11th</b> 149:10 <b>12</b> 39:11 67:7,24 132:9 <b>12-log</b> 64:5 <b>120</b> 56:16 <b>12203</b> 1:23 2:23 <b>12th</b> 65:19 <b>13</b> 4:4 <b>130</b> 4:13 <b>136</b> 4:14 <b>139</b> 4:15 <b>14</b> 1:21 2:20 5:1 185:2 <b>142</b> 4:16 <b>143</b> 4:17 <b>144,000</b> 85:19 142:23 176:1 <b>145</b> 4:18 <b>15</b> 12:20 13:5 19:10 31:5 32:22 134:3 170:7 <b>15-minute</b> 61:23 119:1 199:6 <b>150</b> 4:19 <b>1526</b> 185:3 <b>1531</b> 187:15 <b>1544</b> 187:15 <b>16</b> 187:14 <b>160</b> 58:25 <b>16D1</b> 51:9 84:7 <b>17</b> 79:3 <b>180</b> 137:13,16 <b>180-day</b> 137:15 <b>1800050</b> 183:6 <b>189</b> 4:21 <b>19</b> 7:3 74:3
<b>workweek</b> 178:20	<b>wrote</b> 140:5 165:8 <b>wrung</b> 28:7	<b>year's</b> 93:7 <b>years</b> 11:19 29:21 31:18,23 32:12 36:16,21 36:24 37:25 39:17,18 44:14 45:14 48:13 64:15 75:21 83:13,14 88:22 89:14,19,25 90:6 94:24 95:10 101:12 101:20 102:1,8 102:18 104:17 106:6,10,17 111:1,6 115:19 119:23 121:19 121:19,21 125:18 132:9 136:21 145:17 150:11,13 153:14 154:15 160:22 161:1 173:8 176:21 179:21 193:6 <b>yesterday</b> 8:14 10:2,22 29:3 31:3 114:1 131:17 137:22 156:21 <b>Young</b> 3:6 25:14 28:23,24 29:19 29:25 30:9,25 54:17 67:20 88:1,2,21 89:3 89:20 90:3,5 90:13,17,20 91:1,3,17 92:1 92:3 123:23,24 124:9,19,24	<b>Young's</b> 32:14	<b>10:00</b> 73:19 87:10 178:24 <b>100</b> 50:4 59:13 60:13,20 61:3 88:12 122:13 <b>100-gallon-a-...</b> 17:2 <b>100,000</b> 85:16 <b>106</b> 25:1 <b>119</b> 4:10 <b>11th</b> 149:10 <b>12</b> 39:11 67:7,24 132:9 <b>12-log</b> 64:5 <b>120</b> 56:16 <b>12203</b> 1:23 2:23 <b>12th</b> 65:19 <b>13</b> 4:4 <b>130</b> 4:13 <b>136</b> 4:14 <b>139</b> 4:15 <b>14</b> 1:21 2:20 5:1 185:2 <b>142</b> 4:16 <b>143</b> 4:17 <b>144,000</b> 85:19 142:23 176:1 <b>145</b> 4:18 <b>15</b> 12:20 13:5 19:10 31:5 32:22 134:3 170:7 <b>15-minute</b> 61:23 119:1 199:6 <b>150</b> 4:19 <b>1526</b> 185:3 <b>1531</b> 187:15 <b>1544</b> 187:15 <b>16</b> 187:14 <b>160</b> 58:25 <b>16D1</b> 51:9 84:7 <b>17</b> 79:3 <b>180</b> 137:13,16 <b>180-day</b> 137:15 <b>1800050</b> 183:6 <b>189</b> 4:21 <b>19</b> 7:3 74:3
<b>world</b> 46:3 81:2 150:2 151:12 180:8	<b>wrote</b> 140:5 165:8 <b>wrung</b> 28:7	<b>year's</b> 93:7 <b>years</b> 11:19 29:21 31:18,23 32:12 36:16,21 36:24 37:25 39:17,18 44:14 45:14 48:13 64:15 75:21 83:13,14 88:22 89:14,19,25 90:6 94:24 95:10 101:12 101:20 102:1,8 102:18 104:17 106:6,10,17 111:1,6 115:19 119:23 121:19 121:19,21 125:18 132:9 136:21 145:17 150:11,13 153:14 154:15 160:22 161:1 173:8 176:21 179:21 193:6 <b>yesterday</b> 8:14 10:2,22 29:3 31:3 114:1 131:17 137:22 156:21 <b>Young</b> 3:6 25:14 28:23,24 29:19 29:25 30:9,25 54:17 67:20 88:1,2,21 89:3 89:20 90:3,5 90:13,17,20 91:1,3,17 92:1 92:3 123:23,24 124:9,19,24	<b>Young's</b> 32:14	<b>10:00</b> 73:19 87:10 178:24 <b>100</b> 50:4 59:13 60:13,20 61:3 88:12 122:13 <b>100-gallon-a-...</b> 17:2 <b>100,000</b> 85:16 <b>106</b> 25:1 <b>119</b> 4:10 <b>11th</b> 149:10 <b>12</b> 39:11 67:7,24 132:9 <b>12-log</b> 64:5 <b>120</b> 56:16 <b>12203</b> 1:23 2:23 <b>12th</b> 65:19 <b>13</b> 4:4 <b>130</b> 4:13 <b>136</b> 4:14 <b>139</b> 4:15 <b>14</b> 1:21 2:20 5:1 185:2 <b>142</b> 4:16 <b>143</b> 4:17 <b>144,000</b> 85:19 142:23 176:1 <b>145</b> 4:18 <b>15</b> 12:20 13:5 19:10 31:5 32:22 134:3 170:7 <b>15-minute</b> 61:23 119:1 199:6 <b>150</b> 4:19 <b>1526</b> 185:3 <b>1531</b> 187:15 <b>1544</b> 187:15 <b>16</b> 187:14 <b>160</b> 58:25 <b>16D1</b> 51:9 84:7 <b>17</b> 79:3 <b>180</b> 137:13,16 <b>180-day</b> 137:15 <b>1800050</b> 183:6 <b>189</b> 4:21 <b>19</b> 7:3 74:3
<b>world's</b> 151:12	<b>wrote</b> 140:5 165:8 <b>wrung</b> 28:7	<b>year's</b> 93:7 <b>years</b> 11:19 29:21 31:18,23 32:12 36:16,21 36:24 37:25 39:17,18 44:14 45:14 48:13 64:15 75:21 83:13,14 88:22 89:14,19,25 90:6 94:24 95:10 101:12 101:20 102:1,8 102:18 104:17 106:6,10,17 111:1,6 115:19 119:23 121:19 121:19,21 125:18 132:9 136:21 145:17 150:11,13 153:14 154:15 160:22 161:1 173:8 176:21 179:21 193:6 <b>yesterday</b> 8:14 10:2,22 29:3 31:3 114:1 131:17 137:22 156:21 <b>Young</b> 3:6 25:14 28:23,24 29:19 29:25 30:9,25 54:17 67:20 88:1,2,21 89:3 89:20 90:3,5 90:13,17,20 91:1,3,17 92:1 92:3 123:23,24 124:9,19,24	<b>Young's</b> 32:14	<b>10:00</b> 73:19 87:10 178:24 <b>100</b> 50:4 59:13 60:13,20 61:3 88:12 122:13 <b>100-gallon-a-...</b> 17:2 <b>100,000</b> 85:16 <b>106</b> 25:1 <b>119</b> 4:10 <b>11th</b> 149:10 <b>12</b> 39:11 67:7,24 132:9 <b>12-log</b> 64:5 <b>120</b> 56:16 <b>12203</b> 1:23 2:23 <b>12th</b> 65:19 <b>13</b> 4:4 <b>130</b> 4:13 <b>136</b> 4:14 <b>139</b> 4:15 <b>14</b> 1:21 2:20 5:1 185:2 <b>142</b> 4:16 <b>143</b> 4:17 <b>144,000</b> 85:19 142:23 176:1 <b>145</b> 4:18 <b>15</b> 12:20 13:5 19:10 31:5 32:22 134:3 170:7 <b>15-minute</b> 61:23 119:1 199:6 <b>150</b> 4:19 <b>1526</b> 185:3 <b>1531</b> 187:15 <b>1544</b> 187:15 <b>16</b> 187:14 <b>160</b> 58:25 <b>16D1</b> 51:9 84:7 <b>17</b> 79:3 <b>180</b> 137:13,16 <b>180-day</b> 137:15 <b>1800050</b> 183:6 <b>189</b> 4:21 <b>19</b> 7:3 74:3
<b>worried</b> 197:1,2	<b>wrote</b> 140:5 165:8 <b>wrung</b> 28:7	<b>year's</b> 93:7 <b>years</b> 11:19 29:21 31:18,23 32:12 36:16,21 36:24 37:25 39:17,18 44:14 45:14 48:13 64:15 75:21 83:13,14 88:22 89:14,19,25 90:6 94:24 95:10 101:12 101:20 102:1,8 102:18 104:17 106:6,10,17 111:1,6 115:19 119:23 121:19 121:19,21 125:18 132:9 136:21 145:17 150:11,13 153:14 154:15 160:22 161:1 173:8 176:21		

<b>1976</b> 141:7	<b>2015</b> 180:3	121:7,10	<b>45-day</b> 126:22	<b>77</b> :18
<b>1979</b> 163:11	<b>2050</b> 187:13	125:13,14,19	<b>450</b> 57:9	<b>70</b> 175:2,10
<b>1980s</b> 146:5	<b>2097</b> 187:14	135:8 137:18	<b>454</b> 24:7,19,23	<b>700</b> 150:21
<b>1988</b> 141:6,7	<b>20th</b> 26:21 27:1	137:20 138:19	<b>46</b> 74:2	176:15
<b>1993</b> 162:15	27:2 126:18	138:20,21,22	<b>4th</b> 43:18	<b>700,000</b> 70:8
163:10	<b>21</b> 1:13 2:12 5:5	143:4,7 160:3	<hr/> <b>5</b> <hr/>	<b>71</b> 139:14
<b>19th</b> 71:8	5:16 127:20	160:7 168:17	<b>5</b> 4:3	<b>75</b> 35:4 196:7
<hr/> <b>2</b> <hr/>	141:20 181:15	168:19 169:12	<b>5,000</b> 56:24	<b>750</b> 84:16
<b>2</b> 21:19 22:11	189:1,20	169:17,24	<b>5:00</b> 146:24	<b>79</b> 4:8
29:4 47:1	<b>218</b> 148:2	170:7,8,16	188:8	<hr/> <b>8</b> <hr/>
49:16 66:5	<b>22</b> 24:3,4 48:8	186:3 188:18	<b>50</b> 32:3 125:3	<b>8</b> 91:19 175:8
74:1 92:17,19	62:19,25 63:7	189:15	128:24 138:4	<b>8.5</b> 188:22
92:24 93:13	67:3 68:20	<b>3:00</b> 146:24	146:13 170:7	189:17
97:20,24	69:8 131:10	<b>3:40</b> 199:8	196:4	<b>80</b> 30:13 38:5
138:19 139:15	<b>24</b> 121:20	<b>30</b> 13:9 25:21	<b>50-year</b> 48:11	89:20 148:1
139:18 170:6,8	<b>24-hour</b> 103:23	106:6 117:19	<b>500</b> 84:16	<b>800</b> 176:15
188:16 189:3,4	<b>24/7</b> 27:8,13,21	137:9 145:2	<b>55</b> 57:16	<b>80s</b> 57:4
<b>2.3</b> 91:21 175:1	75:23	146:12 155:16	<b>56</b> 4:5	<b>82</b> 24:25 85:25
175:7	<b>240</b> 175:3	<b>30-day</b> 95:12	<b>57</b> 128:23	<b>820,000</b> 85:24
<b>2:00</b> 119:5	<b>25</b> 6:12 35:3	<b>300</b> 16:7 17:5	<b>58</b> 24:17 65:11	<b>895</b> 2:18
<b>20</b> 1:8 2:7 5:5,15	135:14	24:25 124:3	133:14	<b>8R3</b> 51:12 56:20
5:16 13:9 32:4	<b>250</b> 16:8	<b>3073WQSLO</b>	<b>594</b> 17:10	61:13
35:3 48:15	<b>26-year</b> 31:6,8,8	1:25	<hr/> <b>6</b> <hr/>	<hr/> <b>9</b> <hr/>
69:10 75:21	31:13	<b>30th</b> 66:23 73:18	<b>6</b> 7:18 93:4	<b>9</b> 7:22 67:2 74:3
91:24 100:22	<b>27</b> 15:11 22:24	<b>35</b> 128:22	170:5 175:4	170:5
114:3 118:20	23:1 48:23	155:16	<b>6,032</b> 34:23	<b>9:35</b> 2:19 5:2
127:20 131:11	91:6 92:11,23	<b>35,000</b> 57:1	<b>6,100</b> 35:8	<b>90</b> 65:8 66:10
141:19 150:25	92:24 97:19,20	<b>350</b> 57:15	<b>6,200</b> 34:23 35:8	96:21
175:9,10	111:13 150:11	168:21	<b>6,500</b> 174:6	<b>92</b> 4:9 88:13
180:16 181:15	154:13 167:16	<b>390</b> 95:13	<b>60</b> 48:4 58:4	<b>93-2014-0050</b>
181:15 188:13	176:13 185:21	<b>3rd</b> 79:8	91:24 175:2,8	1:11 2:10
189:14,18	186:2,6	<hr/> <b>4</b> <hr/>	<b>60-day</b> 25:2,16	<b>96</b> 11:2
<b>200</b> 163:2	<b>28</b> 37:2	<b>4</b> 74:2	<b>600</b> 57:20 58:18	<b>97</b> 10:23,24 11:5
<b>2001</b> 168:22	<b>281</b> 189:18	<b>4:00</b> 199:7	<b>600,000</b> 70:7	11:5
<b>2005</b> 146:3	<b>29</b> 29:13,14	<b>40</b> 31:25 32:6,7	<b>62</b> 4:6	<b>98</b> 139:15
<b>2009</b> 81:8	32:19	58:2,25 59:3	<b>65</b> 123:6,24	<b>9P7</b> 16:24 53:13
<b>2010</b> 34:22	<b>29th</b> 29:13 32:20	146:13 148:7	175:10	54:18,20 57:20
131:7	<hr/> <b>3</b> <hr/>	148:12 169:2	<b>67</b> 24:14,19	58:4 59:2 70:2
<b>2011</b> 79:6 80:12	<b>3</b> 21:19 22:11	<b>40-year</b> 134:17	25:20	70:20 84:8
147:7	29:4 32:2 36:6	<b>400</b> 24:23 57:18	<b>67-day</b> 32:18	140:22 175:16
<b>2013</b> 128:21	38:2,9,13,20	57:21 58:14	<b>67th</b> 32:19	175:23 176:7
131:9	46:19 47:1	66:3,4,6 84:16	<b>68-16</b> 183:13	176:12
<b>2014</b> 1:21 2:20	49:16 73:24	<b>401</b> 167:2	<b>69</b> 4:7	<b>9th</b> 29:13
5:1 6:12 31:12	88:3 93:14	<b>41</b> 128:20	<hr/> <b>7</b> <hr/>	
63:2 65:10	112:25 117:2	<b>43</b> 183:7		
67:3	117:17 118:8	<b>45</b> 16:15		