

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

STATE OF CALIFORNIA  
REGIONAL WATER QUALITY CONTROL BOARD  
SAN DIEGO REGION

In the matter of:  
State of California Regional Water Quality Control  
Board San Diego Region Meeting Notice and Agenda  
for November 13, 2013

CITY OF SAN DIEGO PUBLIC UTILITIES DEPARTMENT  
WASTEWATER BRANCH AUDITORIUM  
9192 TOPAZ WAY  
SAN DIEGO, CALIFORNIA

REPORTER'S PARTIAL TRANSCRIPT OF PROCEEDINGS

---

ITEM NO. 10, PUBLIC WORKSHOP: REGIONAL NPDES PERMIT -  
MUNICIPAL SEPARATE STORM SEWER SYSTEMS (MS4s) -  
TENTATIVE ORDER NO. R9-2013-0001, NPDES NO. CAS0109266  
TUESDAY, NOVEMBER 13, 2013  
9:00 A.M.

Reported by: Kersten Song, CSR No. 12796

CALIFORNIA REPORTING, LLC  
52 LONGWOOD DRIVE  
SAN RAFAEL, CALIFORNIA 94901  
(415) 457-4417  
CALIFORNIAREPORTING@SBCGLOBAL.NET/CALIFORNIAREPORTING.COM

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I N D E X :

	Page
Proceedings (Item 10.)	4
Certificate of Reporter	228

-o0o-

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

APPEARANCES:

BOARD MEMBERS PRESENT:

Grant Destache, Chairman  
Gary Strawn, Vice Chairman  
Eric Anderson  
George Loveland  
Tomas Morales  
Henry Abarbanel

EXECUTIVE STAFF:

David Gibson, Executive Officer  
James Smith, Assistant Executive Officer.  
Chris Witte, Executive Assistant

STATE BOARD STAFF COUNSEL:

Catherine Hagan, Esq.  
Jessica Jahr, Esq.

STATE BOARD MEMBER LIAISON:

Frances Spivy-Weber

REGIONAL BOARD STAFF:

(PRESENTERS)

CHRISTINA ARIAS, Water Resource Control Engineer-C  
LAURIE WALTERS, Water Resource Control Engineer-C

-o0o-

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

PROCEEDINGS

TUESDAY, NOVEMBER 13, 2013 10:40 A.M.

(Heretofore noted, for the record,  
proceedings were recorded prior to but not  
requested to be transcribed.)

AGENDA: \_\_ITEM\_NO.\_10  
\_\_\_\_\_

CHAIRMAN DESTACHE: We are going to move on  
to the workshop.

Due to the fact that this is a workshop, I  
have a statement that I'm going to make that indicates  
the order and the schedule today so that everyone is on  
the same page. So I don't know if we have people that  
are leaving for -- oh, they're all on the consent?  
Okay.

All right. So at this point I'm going to  
read the Chair's statement and we will move on from  
there:

"This is a time and a place for the Public  
Workshop on the Tentative Order No. R9-2013-0001,  
the NPDES Permit for San Diego Region.

This is not a public hearing, nor will the  
board be hearing comments. The board is not  
accepting evidence or taking testimony on the  
tentative order at this time. The board will not

1           be take any action at today's workshop. The  
2           public hearing for consideration of the permit  
3           will be held at a later date, and there will be  
4           opportunities for submitting evidence and  
5           testimony at that time.

6                    The purpose of the workshop is for the board  
7           to receive information about the tentative order  
8           from the staff, to hear from those affected by or  
9           interested in the proposed permit about the issues  
10          that concern them.

11                   Holding the workshop during a public board  
12          meeting provides a valuable opportunity for the  
13          board to seek clarification from the staff and  
14          also from speakers, and gives the board members an  
15          opportunity to discuss the issues among themselves  
16          in a public setting prior to being asked to take  
17          action.

18                    The board members may ask questions  
19          throughout the workshop."

20                    We have a full schedule today so we're going  
21          to try to keep this to a pretty regimented order.

22                    First we will hear from Regional Board Staff  
23          for 45 minutes.

24                    Then we're going to hear from the US EPA for  
25          15 minutes.

1                   Who's giving the US EPA?

2                   DR. LIN: I am.

3                   CHAIRMAN DESTACHE: Okay, Cindy.

4                   Apparently we have a two-hour block of time;  
5 that San Diego county co-permittees and Orange County  
6 and Riverside have pooled their time so, hopefully,  
7 that saves us an hour. We'll see. We'll probably have  
8 a lot of questions there.

9                   The City of San Diego has a 10-minute  
10 presentation.

11                   Environmental Group of San Diego Coast  
12 Keeper, 45 minutes.

13                   And NRDC 15 minutes.

14                   And then we go to interested persons, two to  
15 three minutes depending on the time and number. We'll  
16 see how many we get there. I know Gary's trying to get  
17 those organized.

18                   We have elected officials, and we have set  
19 aside a specific time for elected officials today,  
20 between 1:00 and 1:30. That order will be the chairman  
21 of the board of supervisors, the county board members,  
22 the mayors, starting with San Diego and moving down the  
23 size of cities that are in San Diego. And I don't know  
24 how I'm going to even determine that. Then City  
25 Council members. And hopefully -- I mean, half an

1 hour, that's stretching that one -- but hopefully  
2 they'll keep their comments relatively quick.

3           But with that, we should be able to hear all  
4 the parties that have an impact on this permit going  
5 forward. So with that, we're going to go right into  
6 the Regional Board Staff presentation. And then we'll  
7 deal with the US EPA. And then we'll probably take a  
8 quick break and come back and see where we stand with  
9 the counties. All right?

10           MS. WALSH: Good morning, Mr. Chairman, and  
11 Members of the Board.

12           My name is Laurie Walsh. I'm a Water  
13 Resource Control Engineer with the Storm Water Staff.  
14 I am a part of the regional MS permit writing team.  
15 Christine Arias is on our team. Wayne Chiu is project  
16 lead on our team. David Barker is our branch chief  
17 leading us on our team. I think Eric is in the back.  
18 So Eric Becker. We were all party to on this project  
19 to write this tentative order you have before you.

20           It's my pleasure to introduce this item  
21 before you today, Tentative Order R9-2013-01. It is  
22 the NPDES Permit and Waste Discharge Requirements for  
23 Discharges from Municipal Separate Storm sewer systems  
24 drain watersheds within the San Diego region.

25           These separate storm sewer systems serve

1 greater than a hundred thousand people, according to  
2 the 1990 census, and we regularly refer to them as  
3 "Phase 1 MS4s."

4 The tentative order will be implemented on a  
5 regional scale by the co-permittees in the San Diego  
6 County, the southern Orange County and the southwestern  
7 Riverside counties in a phased manner as the current  
8 MS4 permits expire.

9 The purpose of this workshop is for the  
10 Water Board to receive information and to have a public  
11 discussion of the tentative order. We released this  
12 tentative order on October 31, 2012. It is your  
13 Supporting Document No. 1.

14 During this public workshop, it is staff's  
15 goal to highlight for you some of the most significant  
16 changes made during this fifth term of this Phase 1 MS4  
17 permit renewal.

18 As Chairman Destache mentioned, we will not  
19 be making a recommendation to you today, as this is a  
20 public workshop for us to explain the contents of the  
21 tentative order.

22 I want to begin by going back, back to the  
23 basics about why we have this permit and why we need  
24 this permit.

25 Forty years ago, water quality was terrible.

1 We've done a good job to improve the water quality dis  
2 charges from waste water treatment plants and other  
3 point source discharges. However, the health of our  
4 receiving water bodies still remain impaired. Polluted  
5 storm water is the leading cause of that impairment and  
6 most often because it hits our receiving waters  
7 untreated. And when left uncontrolled, the water  
8 pollution can result in a degradation and a destruction  
9 of fish and wildlife, habitat, a loss of esthetic value  
10 and increase the threats to public health from food and  
11 drinking water supplies and recreational waterways. We  
12 still have to stay out of the water 72 hours after a  
13 rain event before we can go and enjoy that beneficial  
14 use.

15           So why do we need this permit? We need it,  
16 quite frankly, because we need to do better. We need  
17 this permit because we still have a long way to go.  
18 It's the objective of the Clean Water Act to restore  
19 and maintain the physical, chemical, and biological  
20 integrity of the waters. Therefore we need this permit  
21 because we need to improve and protect our water  
22 quality.

23           We also need this permit to preserve,  
24 enhance, and restore the quality of California's water  
25 resources and ensure their proper allocation and

1 efficient use for the present and future generations.

2           This is the San Diego Water Board's mission  
3 statement. And it's the last part of our mission  
4 statement that's really the driving factor behind why  
5 we need this permit and why we need to change this  
6 permit.

7           We need this permit to help us provide for  
8 our sustainable future, for our children and our  
9 children's children. It's what we all want and if we  
10 truly want this, then we need to do better. And we  
11 need to change this permit because we need this permit  
12 to help us get there.

13           We asked ourselves this question: How can  
14 we change this permit? To meet the requirements of the  
15 Clean Water Act, the mission of the water boards, and  
16 to give us a way to provide a sustainable future for  
17 our children and our children's children, we decided to  
18 get back to the basics and re-examine what the permit  
19 is required to do to be considered effective.

20           The Clean Water Act requires permits to  
21 include requirements to effectively limit the nonstorm  
22 water discharges and to include controls that reduce  
23 pollutants in the storm water to the maximum extent  
24 practicable. And it is these controls and requirements  
25 that we need to achieve the goal of the Clean Water Act

1 to restore and maintain the physical, chemical, and  
2 biological integrity of receiving waters. In order for  
3 us to reach these goals we need to change the permit;  
4 restructuring it so that we can do better.

5 We need the storm water program to be able  
6 to be run more efficiently. Our own storm water  
7 regulatory program as well as those of the  
8 co-permittees'.

9 And we also need the storm water programs to  
10 be more effective in accomplishing our goals, outcomes,  
11 namely the goals of the Clean Water Act and our  
12 Regional Board Mission.

13 So we expanded our bases of knowledge and we  
14 sought inputs and ideas from the co-permittees,  
15 multiple environmental groups, the buildings and  
16 industry association, US EPA and a whole host of other  
17 persons.

18 As recorded in your Supporting Document  
19 No. 2, it's our regional MS4 permit time line. We  
20 began speaking to the co-permittees in early 2011  
21 asking them what in the existing requirements  
22 facilitated effective management of their storm water  
23 programs to achieve the goals of the Clean Water Act  
24 and what didn't.

25 We also spoke to the environmental

1 communities and other stakeholders to get their input  
2 on how to change the permit to increase its  
3 efficiencies and effectiveness to achieve improvements  
4 in water quality.

5           We spent about a year listening to ideas and  
6 inputs crafting permit language and re-drafting permit  
7 language based on innovative ideas and new perspectives  
8 we've been exposed to.

9           We then prepared something what we called an  
10 administrative draft of a tentative order. It's  
11 basically a draft of a draft. We sent it to EPA. We  
12 got their early input on it. And then we turned around  
13 and sent it to all the co-permittees, to anyone else  
14 that we could think of that was interested in storm  
15 water regulations.

16           In the spring of 2012 we began a series of  
17 facilitated Focus meetings. And took over 20 months to  
18 focus on draft requirements and we prepared after our  
19 initial solicitation. And we got more input from the  
20 co-permittees and interested persons.

21           The facilitated focus meetings were very  
22 effective. And we were able to further revise the  
23 administrative draft into its current form, the  
24 tentative order you have in your agenda. All of the  
25 revisions were made to address the numerous comments we

1 had received. And out of the original 100 pages that  
2 the permit had in the administrative draft, only five  
3 of those drafts pages were left untouched.

4           Based on the inputs we received and the  
5 objective to stay consistent to the Clean Water Act, we  
6 re-drafted the permit requirements as to allow the  
7 co-permittees to be more strategic, more adaptive and  
8 more synergistic.

9           Strategic in terms of the long-term and  
10 short-term planning to achieve goals that are  
11 strategically focused to focus their resources and  
12 their efforts, adapted for their ability to adapt their  
13 plans as new information is learned from failures, and  
14 to be able to build upon successes. And synergistic to  
15 work together with other agencies and other  
16 stakeholders toward common goals, share information,  
17 remove duplicatory efforts, and become more efficient  
18 with the use of their resources. And in order to do  
19 this, we had to be willing to let go of the top-down  
20 regulatory approach that had traditionally been  
21 incorporated into the permits, where we essentially  
22 dictated to the co-permittees what must be implemented  
23 with the "do everything everywhere" sort of approach  
24 with the constant threat and fear of noncompliance.

25           Current permits require the co-permittees to

1 comply with minimum requirements dictated by the permit  
2 which has removed any incentive to try to solve  
3 problems, and find innovative solutions to improving  
4 water quality. Therefore we decided a new approach was  
5 needed that would provide for those incentive to find  
6 solutions and solve the water quality problems.

7           We needed the approach that would allow the  
8 discharges to make progress and pursue success by  
9 learning from failures. Remove the fear of failure and  
10 instead create conditions of incentives and innovative  
11 solutions.

12           So what are we going to do to this permit to  
13 change it so it allows the co-permittees to be more  
14 strategic, adaptive, and synergistic?

15           This has actually become our favorite  
16 figure. It's something that the co-permittees put  
17 together and showed to us when they were preparing  
18 their report of waste discharge. And it's really very  
19 true. We struggle with it as much as they do  
20 sometimes. And it shows the complexity of the permit  
21 when the co-permittees think about how to implement its  
22 requirements. And the co-permittees, again, were  
23 driven by what the permit required them to do, and not  
24 necessarily driven by their need to improve water  
25 quality.

1                   The current permits are action-oriented,  
2 base permits that generally measure compliance through  
3 measuring the number of actions, rather than measuring  
4 the improvements in water quality.

5                   So we changed the way this permit was  
6 structured and provided for a clear set of expectations  
7 through strategic integrated planning. And that  
8 planning needed to be based on the goal for improving  
9 water quality, instead of just programs to achieve  
10 specific number of actions.

11                   You're going to see this as our figure. And  
12 Christina will use this quite a bit when she goes  
13 through some of the specifics about what we changed  
14 through the permit.

15                   But what this will illustrate is that we  
16 changed the focus and structure of the permit to try  
17 and provide for a true iterative process in the form of  
18 adaptive management framework.

19                   And the adaptive management framework will  
20 be more transparent through each step of the planning  
21 stages of the implementation phase. And when they  
22 monitor, use the monitor data to turn around and inform  
23 the assessments, and then go ahead and change the plan,  
24 with reporting all along the way, both open to us and  
25 members of the public as well.

1                   So what we have here is a new paradigm; a  
2 set of requirements focused on outcomes through  
3 programs that can be adaptively managed under the  
4 premise fail early, fail often. Learn from your trials  
5 and errors and reach the objective of improved water  
6 quality to create a sustainable future for our children  
7 and our children's children.

8                   At this point, I'd like to turn the  
9 presentation over to Christina who is going to give you  
10 a highlight about more noteworthy changes we made to  
11 the permit.

12                   MS. ARIAS: Good morning, Chairman Destache,  
13 and Members of the Board.

14                   My name is Christine Arias, and I'm a Water  
15 Resource Control Engineer in the Southern Watershed  
16 Unit. Also part of the permit writing team.

17                   Today I'm going to build upon what Laurie  
18 has introduced. Now, Laurie gave you sort of a global  
19 overview describing why the changes to the municipal  
20 storm water permit are needed. And I'm going to  
21 specifically talk about how the various elements work  
22 together and what important changes we've made.

23                   To help me explain the changes, I will use  
24 Laurie's graphic, which really depicts the iterative  
25 process. I would like to stress that these elements

1 within the iterative process are not new, but the  
2 approach is new, and the result is the process that  
3 really embraces the adaptive management idea. So I'm  
4 going to start at the top with the plan. Obviously  
5 planning is very fundamental to everything we do, every  
6 program we administer within the San Diego Water Board.  
7 So the concept is not new, but today I'd like to  
8 introduce to you the Water Quality Improvement Plan.

9           The purpose is an overarching planning  
10 document unique to each watershed. It sets priorities  
11 and recognizes that co-permittees cannot effectively  
12 address all pollutants all of the time. This picture  
13 shows the standing over Water Board's jurisdiction and  
14 the breadth of coverage under the tentative order. The  
15 orange lines towards the top shows the county  
16 boundaries and each of the dark lines shows the edge of  
17 each of the 10 watershed management areas.

18           Within each of these watershed management  
19 areas, co-permittees will jointly develop a unique  
20 Water Quality Improvement Plan through a public process  
21 which will in turn be improved by the San Diego Water  
22 Board's executive officer.

23           The Water Quality Improvement Plan will  
24 describe what we are calling "the highest water quality  
25 conditions." This can include constituents or

1 conditions such as degraded stream habitat.

2           In addition, the plan will include specific  
3 goals related to the high priority water quality  
4 conditions, strategies and schedules to achieve the  
5 desired goals, monitoring and assessment to determine  
6 progress in achieving the goals which are in turn  
7 related to the highest priority water quality  
8 conditions. The strategies must also include, to some  
9 degree, identifying opportunities for retrofitting  
10 existing development and stream rehabilitation.

11           Moving on to the implementation mechanism  
12 for the Water Quality Improvement Plan.

13           If any of you have been involved in our  
14 previous municipal storm water permit reissuance  
15 process, you'll know that the JURMP component -- it's  
16 actually called Jurisdictional Runoff Management  
17 Program, we call it "JURMP" for short. You'll notice  
18 that this is a very integral part of what the  
19 co-permittees do. I think of it as sort of a standard  
20 operating procedure document, or a document associated  
21 with the program that describes how co-permittees run  
22 their jurisdictional programs with the goal of  
23 protecting water quality. And I might add at this  
24 point it will specifically address the issues that are  
25 identified in the Water Quality Improvement Plan.

1                   In the past, whereas before the JURMP  
2 provisions were very specific and scripted, you will  
3 see that the provisions in the tentative order provide  
4 much more flexibility to the co-permittees and indeed  
5 embraces the adaptive management concept.

6                   So the JURMPs have several components.  
7 First of all, there's an Illicit Discharge Detection  
8 and Elimination Program which strives to eliminate  
9 nonstorm water discharges.

10                  The remaining key provisions aimed to keep  
11 storm water clean to the maximum extent practicality  
12 standard. This includes programs that address existing  
13 development, specifically municipal, industrial,  
14 commercial, and residential areas. There's a  
15 construction component and a land development planning  
16 component. Each program component requires a  
17 implementation of best management practices, or BMPs.  
18 Now, the BMPs can take the form -- can take several  
19 different forms, as I've tried to show you here in  
20 these pictures. What it really comes down to it is  
21 about preventing the generation of pollutants or  
22 treating the pollutants as close to the source as  
23 possible.

24                  As Laurie mentioned while we were developing  
25 the concepts in the tentative order we met with the

1 co-permittees several times to gain input. We are  
2 really asking what parts of the JURMP programs are  
3 useful and can be improved. And we ended up learning  
4 quite a bit about the specific changes we have  
5 incorporated into the tentative order.

6           First of all, let's talk about the Illicit  
7 Discharge Detection and Elimination program. As I  
8 said, this is the one program that really focuses on  
9 nonstorm water. In the past, the focus has been on  
10 detecting and eliminating pollutants in the discharge.  
11 The co-permittees told us that the requirements were  
12 extremely costly and extremely ineffective because  
13 identifying sources can be difficult when the sources  
14 are very transient in nature. In this tentative order,  
15 the focus is not really on eliminating pollutants, but  
16 rather on eliminating the flows altogether.

17           Taking a step back, another reason why this  
18 makes so much sense is because doing so is consistent  
19 with the Clean Water Act which states that nonstorm  
20 water discharges are to be effectively eliminated. We  
21 believe strides towards eliminating nonstorm water  
22 discharges are achievable and, arguably, the most  
23 achievable aspects under the JURMP programs, because  
24 nonstorm water over-irrigation is a chronic problem in  
25 the San Diego region, as I'm sure many of us are aware

1 when we drive to work and see sprinklers going crazy.

2 Now moving on to provisions which really  
3 address storm water.

4 Historically we describe what BMPs were to  
5 be used where. We set the priority for construction  
6 sites based on size. And we set the minimum of  
7 inspection frequency required of the co-permittees  
8 during the rainy season.

9 So as I said in our previous permits, our  
10 requirements were very specific, but what ended up  
11 happening is there were some unintended consequences.

12 In some cases we found that the  
13 co-permittees were really sacrificing quality of  
14 inspections for quantity of inspections. They were so  
15 busy being in compliance with the number required in  
16 inspections throughout their jurisdictions that  
17 sometimes they didn't really spend the time needed to  
18 do a better job on sites.

19 The proposed requirements deviate from this  
20 model of specificity and instead substitute flexibility  
21 in its place. Now the co-permittees will set the  
22 minimum BMP requirements, prioritization schemes, and  
23 require minimum inspection frequencies as they see fit.  
24 The idea is that they will be able to spend more time  
25 at problem sites and use their enforcement authority to

1 get those sites into compliance and spend less time at  
2 sites that are minimal threats to water quality. In  
3 other words, the tentative order gives much more  
4 control to the co-permittees to design and implement an  
5 effective program and really use their resources as  
6 needed.

7           Moving on to existing development  
8 management.

9           Similarly, as with construction management  
10 program, we built much more flexibility so that the  
11 co-permittees can design their programs to be most  
12 effective and efficient.

13           So, in other words, if for certain  
14 co-permittee mobile business, for example, is causing  
15 problems, or that type of business, that they can spend  
16 the time chasing after the bad players. The  
17 co-permittees also gave us some useful feedback on how  
18 to change this provision, and as a result, the  
19 tentative order allows the co-permittees to utilize  
20 drive-by inspections where appropriate, and also  
21 utilize volunteer groups to complete their inspections.

22           We found that this is a welcome change to  
23 other stakeholders because volunteer groups have  
24 already shown an interest in partnering with  
25 co-permittees in this area.

1                   Now on to the Land Development Planning  
2 provision.

3                   This provision has some pretty significant  
4 changes, so I'm going to use the next four slides to  
5 really describe all the changes in detail.  
6 Historically this permit provision has included  
7 requirements for structural BMPs to be built within  
8 each priority development project. So the structural  
9 BMPs, for example, can be trash-capturing devices or  
10 filters for storm drain inlets.

11                  The idea was to capture or treat pollutants  
12 to the NEP standard before the pollutants leave the  
13 site. In the early days of municipal storm water  
14 permitting, the focus was the treatment of chemical  
15 constituents associated with urbanized areas.

16                  In the last two permit terms, or roughly the  
17 last 10 years or so, the permit requirements evolved to  
18 include structural BMPs on priority development  
19 projects for the control of increased flows associated  
20 with land development. Why was this needed? Because  
21 we learned that, in addition to chemical constituents,  
22 elevated peak flows and durations of these flows are  
23 highly erosive, and such flows are responsible for  
24 eroding creek beds and banks such as this one shown.  
25 And obviously this destroys sensitive habitat in our

1 receiving waters. This phenomenon is called  
2 "hydromodification."

3           As a result of a land development provision  
4 of the earlier permits, the co-permittees have either  
5 developed or are developing hydromodification  
6 management plans. Practically speaking, in order to  
7 address hydromodification, priority development  
8 projects must implement BMPs as this detention basin.  
9 Such BMPs are designed to control flows such that the  
10 flow is not erosive before leaving the site. As you  
11 can manage, implementation of such BMPs can be  
12 challenging because more often than not they require a  
13 significant amount of space. In the current storm  
14 water permits, in order to be relieved of  
15 hydromodification management requirements, a project  
16 must first establish technical unfeasibility or  
17 demonstrates that it discharges to a channel that is  
18 concrete lined from the point of discharge all the way  
19 to the ocean.

20           Okay, this is my sort my of grand finale  
21 slide on this provision. I'm really excited about  
22 this.

23           The tentative order includes a proposed  
24 approach that sidesteps the emphasis on technicality  
25 unfeasibility, and instead looks at water quality

1 benefits that can be achieved by examining the water  
2 quality holistically.

3           Recall when I first talked to you about the  
4 Water Quality Improvement Plan, I stated that part of  
5 the plan was to identify opportunities to retrofit  
6 existing development and identify streams which can  
7 possibly be rehabilitated. So these are a couple of  
8 local examples showing both of these.

9           So the proposal is that instead of strictly  
10 requiring flow-control BMPs on site for every priority  
11 development project where a benefit to water quality  
12 may be minimal, co-permittees may instead allow the  
13 project to utilize other options such as implementing  
14 BMPs off-site, or contributing to another project in a  
15 completely different area of the watershed where a  
16 greater water quality benefit may be achieved.

17           In other words, the tentative order fosters  
18 the information of the best water quality benefit for  
19 the entire watershed, instead of just the best water  
20 quality benefit for each individual site.

21           Okay, moving on. Let's talk about  
22 monitoring.

23           Monitoring establishes the means by which we  
24 can measure whether or not we've reached the outcomes  
25 we seek. It used to be a separate component of the

1 permit, but now it is intricately included as part of  
2 the iterative process and more closely linked to the  
3 implementation arm.

4           Historically storm water programs have been  
5 doing extensive monitoring that have been really useful  
6 for characterizing the health of our receiving waters,  
7 but not so useful in terms of finding sources of  
8 pollutants or deciphering whether or not the JURMP  
9 programs have been effective.

10           In turn, this monitoring program is  
11 question-driven, is much more geared towards locating  
12 sources of pollutants than in previous storm water  
13 monitoring programs.

14           There's much more emphasis on discharge or  
15 outflow monitoring, less emphasis on receiving water  
16 monitoring. The structure also includes an aggressive  
17 use of resources towards eliminating nonstorm water  
18 discharges in tandem with the Illicit Discharge  
19 Detection and Elimination Program.

20           There is also requirements that the  
21 co-permittees perform special studies. In the past, we  
22 have included requirements for special studies, but we  
23 really dictated what those studies should be based on  
24 what we felt were priority conditions. Now we're  
25 giving full control to the co-permittees to design

1 those special studies for their watersheds in however  
2 manner they see fit.

3 I'd also like to add that we feel that the  
4 monitoring program really reflects the epitome of the  
5 collaborative process that we saw when we began shaping  
6 the tentative order. We proposed an initial monitoring  
7 plans the co-permittees really reacted. They had a lot  
8 to recommend, and we ended up incorporating those  
9 recommendations. And that's really what you'll see in  
10 the tentative order, what the co-permittees came up  
11 with. And we agree that the result is a very strong  
12 monitoring program.

13 So this monitoring program includes new and  
14 important concepts, but I'd like to add that it builds  
15 upon important work initiated by our earlier pioneers.

16 CHAIRMAN DESTACHE: I didn't authorize that.

17 (Laughter)

18 MS. ARIAS: Finally let's talk about  
19 assessment. This is where we evaluate programs and  
20 strategies and evaluate the water quality improvement  
21 plans themselves. We've had assessment programs in the  
22 past, and they've been really focused on programmatic  
23 assessment. Counting the number of actions such as the  
24 number of inspections completed, the number of streets,  
25 the number of miles of streets swept.

1                   Now the assessment is focused on the  
2 achievement of the goals stated in the in the Water  
3 Quality Improvement Plan. The assessment will include  
4 answering or attempting on answering the following  
5 questions:

6                   Are the priorities and goals within the plan  
7 still appropriate or are they outdated?

8                   Are the strategies within the plan working?

9                   Are they including schedules appropriate, or  
10 must they be adjusted?

11                  Are adaptations needed to the Water Quality  
12 Improvement Plan?

13                  Or does the plan as written need more time  
14 in the implementation phase before it can be properly  
15 evaluated?

16                  Our expectation is that the co-permittees  
17 will closely evaluate their programs to make any  
18 adaptations needed to make the programs more effective  
19 and efficient.

20                  So as with any permit reissuance process,  
21 there are going to be some remaining outstanding  
22 issues, so I'd like to briefly give you some background  
23 on these issues. We've received three comments to  
24 date. They're in your agenda packet as supporting  
25 documents 5, 6, and 7. So I'm just going to briefly

1 summarize the issues.

2                   The first one. Provision A of the Tentative  
3 Order includes discharge prohibitions and receiving  
4 waters limitation language that some co-permittees are  
5 comfortable with.

6                   The language is consistent with State Water  
7 Board order WQ99-05 which is a precedential order that  
8 directed MS4 permits to contain separately enforceable  
9 receiving water limitation provisions requiring  
10 discharges to be controlled so as not to cause or  
11 contribute two exceedences of water quality standards of  
12 receiving waters.

13                   I'd like to point out that the language in  
14 the tentative order is consistent with all six previous  
15 municipal storm water permits issued by this board  
16 since the precedential order took effect in 1999. This  
17 issue has gotten attention recently at the State Water  
18 Board level, and, as a result, the State Board is  
19 holding a workshop on November 20th to solicit input on  
20 how or if this language should be changed. For now we  
21 believe it is appropriate to leave the language as is,  
22 and there is a reopener clause in Provision H of the  
23 Tentative Order that will allow changes to be made  
24 following suit if the State Water Board makes changes.

25                   No. 2. The land development planning

1 provision includes a new framework that, instead of  
2 strictly requiring structural BMPs on-site, allows for  
3 alternative off-site solutions, which I discussed with  
4 you.

5           Some stakeholders object to allowing the  
6 alternative off-site options unless on-site and  
7 technical unfeasibility for meeting the design  
8 standards can be established.

9           Other stakeholders believe the proposed  
10 requirements circumvents exemptions specifically  
11 allowed in the San Diego County Hydromodification  
12 Management Plan, or HMP.

13           We believe the approach in the tentative  
14 order is sound and consistent with a watershed-based  
15 approach. The approach involves evaluating the  
16 watershed in a holistic manner and emphasizes making  
17 improvements to the watershed where water quality  
18 benefits will be achieved.

19           We disagree that the approach is in conflict  
20 with the San Diego County HMP, and in fact we believe  
21 the approach builds upon the findings in the San Diego  
22 County HMP.

23           And No. 3. The tentative order includes  
24 water quality-based effluent limits derived from total  
25 maximum daily loads. Now, in case anyone is not

1 familiar with a "TMDL," let me just say quickly that a  
2 TMDL is a number -- this is how I think of a TMDL --  
3 it's a quantity or load of a pollutant that a water  
4 body can assimilate and still meet water quality  
5 standards. If loading into the water body exceeds this  
6 number, then water quality standards are not met, and  
7 all contributing sources must reign in the pollutant  
8 loading such that the TMDL is not exceeded. So water  
9 quality based effluent limits are derived from the  
10 TMDLs and are essentially the bridge from the TMDL  
11 program and the NPDES permitting program.

12 Water quality based effluent limits must be  
13 met for certain pollutants and receiving waters in  
14 accordance with specified compliance and water  
15 schedules.

16 The co-permittees are uneasy with inclusion  
17 of the effluent limitation in the tentative order, most  
18 notably those associated with the bacteria TMDLs that  
19 were adopted by this board in February 2010.

20 This is an area where we as permit writers  
21 have very little, if any, discretion. The Clean Water  
22 Act clearly states that water quality based effluent  
23 limits, must, must, be included, within NPDES permits.

24 If co-permittees would like to see changes  
25 to the TMDLs, they can request that the changes be

1 made, but it's not appropriate in this process. What  
2 they need to do is request changes be made, and the  
3 proper avenue is the Basin Plan Amendment process.

4           If a TMDL were to be changed with a Basin  
5 Plan amendment, then we could include the plan with the  
6 new TMDLs. Until then we must comply with the Clean  
7 Water Act and include them here.

8           Aside from the remaining outstanding issues,  
9 I'd like to thank you for your attention. I know I've  
10 given you a lot of information, but I just would like  
11 to finish by stating that, on behalf of the permit  
12 team, we're really excited about this project. And  
13 we've been really inspired by the collaborative  
14 process.

15           Really, we hope that Laurie and I have  
16 convinced you that the tentative order really  
17 represents an innovative and important tool for the San  
18 Diego Water Board in achieving its mission, which is,  
19 again, to preserve, enhance, and restore the quality of  
20 our water resources, and ensure the proper allocation  
21 and efficient use for the benefit of present and future  
22 generations.

23           So, thank you. And we would be happy to  
24 answer any questions.

25           CHAIRMAN DESTACHE: We'll start on my right,

1 I guess, with you.

2 MR. ABARBANEL: Sure. Thank you. Very nice  
3 presentation from both of you. I have really only one  
4 question.

5 It's my understanding that under the present  
6 structure of the permit, that each co-permittee must  
7 make separate reports of their compliance. Is that  
8 correct?

9 MS. ARIAS: Yes. We didn't really discuss  
10 the reporting requirement, but the way we've set it up  
11 is there will be annual reports, and there's also --  
12 there will be annual reports related to the water  
13 quality permit plan, but also annual reports on behalf  
14 of each of the jurisdictions.

15 MR. ABARBANEL: So my question then -- thank  
16 you for the answer -- but my question, then, if we are  
17 turning, as the board discussed in public before and  
18 has been discussed by Mr. Gibson, to nonpoint sources  
19 to watersheds, should we not permit jurisdictions in a  
20 watershed to report together instead of having to  
21 report separately on all issues? Some issues may be  
22 specific to the City of Escondido but some issues may  
23 be specific to watershed.

24 MS. ARIAS: Right. So the annual report  
25 that will be submitted by each of the jurisdictions,

1 it's going to be, more or less, a two- or three-page  
2 report where they tell us very succinctly what they've  
3 completed in the last year. But the water quality  
4 permit plan annual report is where we expect to really  
5 learn whether, as I've mentioned, whether or not the  
6 strategies are working. So if there are nonpoint  
7 sources within the watersheds, that, say, the  
8 co-permittees have learned a lot about those nonpoint  
9 sources, then that will be the place where we learn  
10 about it. And in fact, the water quality permit plan  
11 annual report will involve the co-permittees in each of  
12 the watershed management areas to report to you their  
13 findings from the last year.

14 MR. ABARBANEL: Thank you. That's all.

15 CHAIRMAN DESTACHE: Actually, I'm going to  
16 go a little further with your question.

17 MR. ABARBANEL: That's fine.

18 CHAIRMAN DESTACHE: So the structure would  
19 be that each watershed would have its own WQIP?

20 MS. ARIAS: Yes.

21 CHAIRMAN DESTACHE: And within that  
22 watershed it could have four co-permittees?

23 MS. ARIAS: Yes.

24 CHAIRMAN DESTACHE: They're going to  
25 collaborate --

1 MS. ARIAS: Yes.

2 CHAIRMAN DESTACHE: -- on that report for  
3 that individual watershed?

4 MS. ARIAS: Yes.

5 CHAIRMAN DESTACHE: Okay. And is that the  
6 only report they're going to do? Or they're going to  
7 do a report as a co-permittee also?

8 MS. ARIAS: They will also do their own  
9 report, but I really want to stress that it's really  
10 truncated. Like I said, it's going to be.

11 CHAIRMAN DESTACHE: The Calvary is coming  
12 in.

13 MR. CHIU: Let me simplify it for you. And  
14 each one of those will have one annual report.

15 The annual report will be primarily focused  
16 on reporting the monitoring data and the assessments  
17 that are generated based on the monitoring data.

18 What we've done with the jurisdictional  
19 programs in terms of their annual reporting  
20 requirements, they're part of the Water Quality  
21 Improvement Plan Annual Report, but it's been boiled  
22 down to a two-page form, essentially, which kind of  
23 reports on the numbers that they've collected over  
24 their fiscal year and basically just confirms that they  
25 are complying with the requirements of the permit.

1                   We, as staff, then, would be using those  
2 jurisdictional annual reports, the numbers essentially,  
3 to go out, speak with the co-permittees, take a look at  
4 their programs, see what generated the numbers. See  
5 what types of strategies they're implementing, and make  
6 sure that they are implementing the water quality  
7 improvement plans as stated.

8                   Does that clear it up a little bit?

9                   CHAIRMAN DESTACHE: So if a co-permittee is  
10 in five watersheds, arguably City of San Diego is going  
11 to be --

12                  MR. CHIU: Yes.

13                  CHAIRMAN DESTACHE: -- more than that.

14                  MR. CHIU:: Correct.

15                  CHAIRMAN DESTACHE: So in fact they are in  
16 five watersheds, their annual report, their two or  
17 three page reports on their monitoring requirements per  
18 each individual WQIP and they could take that report  
19 and put it in the WQIP and highlight the watershed  
20 requirements in each one of those individual  
21 watersheds?

22                  MR. CHIU: I think the answer is yes.

23                  CHAIRMAN DESTACHE: I'm trying to  
24 extrapolate what the implementation of the  
25 co-permittees are, or what their requirements are,

1 because each watershed is going to have a WQIP.

2 MR. CHIU: Correct.

3 CHAIRMAN DESTACHE: And, say, they're over  
4 five of them, they're going to have monitoring across  
5 the breadth of those WQIPs that they could do one  
6 report for, but when they send it in for WQIP(a),  
7 they're going to have that highlighted, the monitoring  
8 that they did in that section, or that watershed?

9 MR. CHIU: Yes. So for the co-permittees  
10 that are within multiple watershed management areas,  
11 they're going to have to kind of break up the way they  
12 report things.

13 But, you know, the water quality improvement  
14 plans and the jurisdictional program documents will  
15 kind of tell us, and the public, what they plan on  
16 implementing within each watershed management area.

17 They'll be able to, you know, prioritize  
18 their resources among those watershed management areas  
19 as well to focus their resources on specific areas as  
20 they see fit. And as it fits within each watershed  
21 management area.

22 But then, you know, the jurisdictional  
23 annual reports, like I said, are basically just  
24 numbers, and will just be reporting that they are  
25 implementing the programs as they state within their

1 water quality improvement plans and within their  
2 jurisdictional program documents. And then it's sort  
3 of incumbent upon staff to make sure that they are  
4 implementing in accordance with their water quality  
5 improvement plans and their jurisdictional program  
6 documents.

7 CHAIRMAN DESTACHE: Okay.

8 MR. ABARBANEL: May I follow up?

9 Who is going to prepare the watershed  
10 report?

11 MR. CHIU: The co-permittees within each  
12 watershed management area will designate a principal  
13 co-permittee, but I imagine that there will be some  
14 collaborative effort in putting those plans in and  
15 annual reports together.

16 But the concept is to try to minimize the  
17 number of reports that are being generated and then  
18 take the most useful information and provide that to  
19 the regional board and public so that we know what's  
20 going on.

21 MR. ABARBANEL: So we know there are 10  
22 watersheds and there are 18 cities in the county. What  
23 will be missed if we only had 10 watershed reports?

24 MR. CHIU: So we have 10 watershed  
25 management areas within the region. We have 39

1 co-permittees total --

2 MR. ABARBANEL: I'm sorry, I forgot the  
3 other counties.

4 MR. CHIU: We have 13 of them, Orange County  
5 and five of them in Riverside, and 21 down here.

6 MR. ABARBANEL: If we had 10 watershed  
7 reports, what will be missed?

8 MR. CHIU: I don't think we'll miss  
9 anything. If anything, what we're going to miss is a  
10 lot of reports.

11 MR. ABARBANEL: Why have the over 39?

12 MR. CHIU: I'm sorry?

13 MR. ABARBANEL: I understood you to say that  
14 individual jurisdictions have to make reports --

15 MR. CHIU: Right.

16 MR. ABARBANEL: --that comes to you? Say 39  
17 reports, right? Why not just have 10 watershed reports  
18 and not ask the individual jurisdictions to have  
19 additional watershed reports?

20 MR. CHIU: I'm sorry. So there is one  
21 annual report per watershed management area. They're  
22 two-page kind of number thing. It's kind of a piece of  
23 that. So there's not 39 annual reports being submitted  
24 to us in addition to the water quality improvement plan  
25 annual reports. So there's one annual report per

1 watershed management area with kind of an attachment  
2 at the end that gives us the numbers.

3           Right now as it stands, we actually receive  
4 actually 60 annual reports, some of them in excess of a  
5 hundred or more pages. We have very little time, if  
6 any, to do a thorough review of them. We believe it's  
7 much more efficient for us to get some basic numbers  
8 and then we actually spend what time we would have  
9 spent reviewing the report going through their programs  
10 with them to kind of see what's kind of behind the  
11 numbers.

12           MR. ABARBANEL: I think that is the answer  
13 to the question that I asked. We're changing from  
14 whether it's 39 or 60 reports to 10 watershed reports  
15 perhaps with some contributions from some of the other  
16 jurisdictions that may have some other information.

17           A VOICE: Mr. Chairman, if I could chime in  
18 after Mr. Abarbanel, if I may, please.

19           One thing that would be missing would be the  
20 ability of the staff to evaluate compliance with the  
21 NEP standard by the municipalities themselves. So in a  
22 watershed where you may have three out of the four  
23 municipalities working very effectively through their  
24 jurisdictional plan, you may have one that does not,  
25 and those three would expect you to weigh, adjudicate

1 an issue there. And if we don't have reports from  
2 municipalities individually that would also be  
3 difficult to do.

4 I have also been told anecdotally by  
5 representatives and co-permittees here in the room  
6 today that they need to be able to report individually  
7 to their councils, to their boards, as well as to us in  
8 order to keep themselves on track. So the reports  
9 we've tried to distill down, we've tried to make them  
10 as useful as practicable so we can spend more time with  
11 the municipalities to work with them on the watershed  
12 scale and still be able to assess compliance as  
13 necessary as EPA would expect us to be able to do,  
14 jurisdiction by jurisdiction, should it come down to  
15 that.

16 CHAIRMAN DESTACHE: I like the fact that  
17 we're paring down the number of reports we're doing,  
18 and I respect the fact that each agency or jurisdiction  
19 has to report to their board or their governing body.  
20 And I like even more so the fact that if you have a  
21 watershed group that has five permittees and one of the  
22 permittees is not doing their job, then potentially the  
23 other four permittees could help them do their job  
24 better and I think that...(laughter).

25 MR. CHIU: We'd like to think that everyone

1 within a watershed can support the others. But I think  
2 again, within this framework, it's incumbent upon staff  
3 also to be part of the solution and provide the support  
4 where necessary.

5           Where we see shortcomings, we want to make  
6 sure that we can provide that guidance and support to  
7 make sure they're brought up to the same level and  
8 expectations in performance as the others within the  
9 watershed.

10           CHAIRMAN DESTACHE: But it is, you know,  
11 working together sometimes -- I didn't get a big laugh,  
12 but I got a decent one -- so the reality is that we all  
13 have to look at each other as partners in each  
14 watershed, and find the answers, the correct answers.  
15 Because to dictate what the answer is to do the job in  
16 the watershed is the wrong answer because only the  
17 people on the ground will know what the right answer is  
18 and the monitoring will prove that out eventually.

19           Gary, do you have any questions?

20           VICE CHAIRMAN STRAWN: I'm okay.

21           CHAIRMAN DESTACHE: But anyway, do you see  
22 where I'm looking to that? It also allows staff by not  
23 having to look at 60 reports to help those watersheds  
24 themselves. And, you know, hopefully the agencies will  
25 help each other. I know that's...

1                   MR. CHIU: I think if we put in the  
2 conditions, it will evolve to that point at some point  
3 in time. It's a little early to say now, but I hope  
4 so.

5                   CHAIRMAN DESTACHE: I'm going to pass.  
6 Eric?

7                   MR. ANDERSON: No.

8                   CHAIRMAN DESTACHE: Gary?

9                   VICE CHAIRMAN STRAWN: Real quick. And  
10 maybe try and truncate this a little bit.

11                   If it's not already included in your  
12 presentations, I would like to hear as each of the  
13 co-permittees come up and talk to us throughout the  
14 day, a quick statement whether you believe this new  
15 tentative order will have a significant reduction in  
16 the amount of reporting and paperwork that you're  
17 required to do? Thank you.

18                   CHAIRMAN DESTACHE: Tomas?

19                   MR. MORALES: Well, I do have a question,  
20 but it's actually for Ms. Arias. It's not about the  
21 reporting.

22                   MR. CHIU: I can do it all. More the  
23 presentation.

24                   MR. MORALES: The presentation described the  
25 ability for folks under the new proposed MS4 to do

1 erosion control in a manner that was in the best  
2 interest of, let's say, the watershed or a broader area  
3 of our region as opposed to something site-specific.

4 My question was, how far away from where the  
5 development in the past, which would have required  
6 something like that, can the, let's say, the alternate  
7 work or the project be done?

8 I know it almost sounds like, I was telling  
9 one of my fellow board members, our version of Captain  
10 Craig kind of, but the devil is always in the details.  
11 But what I wouldn't want to see is for the -- a lot of  
12 the or a particular area for example to say we don't  
13 want these catch basins, but we can do something over  
14 here in this other area where other folks are in  
15 fact --

16 MR. CHIU: So the way the requirements are  
17 currently set up, it basically encourages that they do  
18 any projects within the same hydraulic sub areas,  
19 fairly small watershed. But no further than the  
20 hydraulic unit that they are within. So that would  
21 limit them to the watershed management area.

22 But the key component there is that it  
23 provides the best water quality benefit to the  
24 watershed. So you know even though they may say, you  
25 know, we think that we can get something over here,

1 cheaper, better, if it doesn't provides the best water  
2 quality benefit to the watershed as the co-permittees  
3 within that watershed management area determine, then,  
4 you know, a project wouldn't be allowed to do something  
5 like that. But, again, We're trying to, you know, kind  
6 of broaden the way we think about how we utilize our  
7 development planning and development resources to best  
8 achieve water quality benefits.

9                   So the more we can do that, the more  
10 holistically and watershed scale thinking, the better  
11 we will be off in the long run, I believe.

12                   CHAIRMAN DESTACHE: Okay.

13                   MR. CHIU: Thank you.

14                   CHAIRMAN DESTACHE: I think we'll move on to  
15 US EPA and words of wisdom we have for us.

16                   MS. LIN: Good morning, Mr. Chair, members  
17 of the board. My name is Cindy Lin and I'm US EPA's  
18 liaison for your board. I'm here to speak on behalf of  
19 US EPA and our report for this regional and your permit  
20 and tentative order before you today.

21                   First, I want to commend your staff on their  
22 tireless effort to date working on those permits with  
23 all the co-permittees both up in Orange County and up  
24 in Riverside. It's been very, very encouraging to see  
25 trying to work out the very many, many details that

1 we're going to hear more of.

2                   Also we support the direction of a regional  
3 permit where you are trying to collaborate with  
4 multiple co-permittees for one permit so there is  
5 consistent language across the board.

6                   In our view Regional Board 9 is one of the  
7 few boards that's leading the effort in finding an  
8 effective and workable permit and we believe this  
9 permit is a reflection. There's flexibility, there's  
10 specificity, and also a still maintained clear numeric  
11 goal. So there's a lot in this permit to talk about,  
12 but I'm going to truncate my comments today and just  
13 focus on a few items of interest.

14                   Specifically I want to comment on a few  
15 sections in the permit that was up for discussion and  
16 challenges that Christina had brought up. Before I do  
17 that I want to mention that perhaps the most important  
18 message that the EPA can send today is that we believe  
19 that clear and measurable enforcement goals are  
20 necessary in a permit.

21                   Regarding the inclusion of what we see in  
22 the current language that's clearly in this tentative  
23 order, the language in Provision A we strongly support  
24 that language. EPA supports this language which is  
25 also a reflection that's been reflected in your state

1 board adoption of Resolution 99-05 that Christina  
2 mentioned earlier. The language again is clear,  
3 measurable. It directly ensures water quality as a  
4 tactic, and we believe it is the best and most  
5 appropriate interpretation of the Clean Water Act. We  
6 also believe this language should remain as is and  
7 should not be modified.

8           And I've mentioned this. I've been to many  
9 of the workshops along with John Kemmerer from our  
10 office and this language has come up, and we've  
11 repeatedly said that to the other stakeholders.

12           The second part which has to do with the  
13 inclusion of TMDLs. This permit includes all the TMDL  
14 waste allocations and the applicable water quality  
15 objectives. Specifically we support the language in  
16 keeping TMDL waste allocation or water quality based  
17 effluent allocation or the use of a BMP, or best  
18 management project base, approach is acceptable, but  
19 there must be documentation and details in record that  
20 the numeric value or target will be achieved. This is  
21 consistent with our guidance. Documentation must  
22 demonstrate that the BMP-based approach will be  
23 successful in achieving the waste allocation that's  
24 been included in the TMDLs that now has been included  
25 in this tentative order. Water quality based effluent

1 limitations is included in the permit and is a great  
2 definition of a TMDL waste allocations.

3           We believe that the documentation for these  
4 waste allocations must be incorporated into the permit  
5 and if there are any changes or so we'll talk to your  
6 staff but we believe that the current language is good  
7 effort in including some of that language and includes  
8 the type of water quality based effluent limitations  
9 and their values we want to see.

10           On the third issue of priority development  
11 project structural BMP performance requirements. I  
12 just want to read this so that you're familiar with it.  
13 I don't know that that specific language was covered  
14 earlier. In a section where it states, "The design  
15 capture volume is equivalent to one of two, either the  
16 volume of storm water produced from a 24 hour 85th  
17 percentile storm water event or the volume of storm  
18 water that would be retained on site if the site is  
19 fully developed and naturally vegetated as determined  
20 using continuous simulation modeling techniques based  
21 on site-specific soil conditions and typically  
22 vegetative power.

23           We support the first part, which is that the  
24 volume of storm water produced from a 24 hour 85th  
25 percentile storm water event. We do not recommend the

1 second part. We do not recommend the second part of  
2 the design capture because we believe it is not clear,  
3 not easy to interpret and provides a potential for  
4 confusion as to what the requirements are. So this is  
5 not a hearing today to act on the resolution, but I  
6 just wanted you to know, because you'll probably hear  
7 more about it later and we'll provide more information  
8 to your staff, too.

9           One of the last things I want to talk about  
10 is something that Mr. Morales brought up and I want to  
11 thank you for your comment on the alternative  
12 compliance, off-site compliance. EPA supports your  
13 current tentative permit language stating that  
14 technical infusibility must be demonstrated on site  
15 before going off site.

16           When referring to the alternative compliance  
17 option for off-site cases, we support that permit's  
18 language. Specifically that the co-permittee must  
19 determine that implementation of alternative compliance  
20 option will have a greater overall water quality  
21 benefit for the watershed management area than those  
22 performance requirements defined meeting the compliance  
23 of on site cases.

24           We believe it's always best to try and treat  
25 on site first because that is where the modification of

1 the natural environment is impacted, although off site  
2 treatment may be acceptable in specific certain cases.  
3 To meet on site requirement, this should not be viewed  
4 as equivalent.

5           So we support your language provided in the  
6 permit currently that provides for greater overall  
7 water quality benefit. And we see this as a really  
8 clear and important inclusion in your tentative  
9 language. We are very encouraged to see that language  
10 and the distinction between the two. So thank you, for  
11 your staff, for including that.

12           Finally, we want to thank the opportunity to  
13 comment on this and to be able to be part of this  
14 effort. And I want to remind as this tentative permit  
15 moves forward to keep in mind that the permit is a  
16 critical tool, not just a regulatory tool, but a  
17 planning tool too, to define on how to meet water  
18 quality objectives and protection and the beneficial  
19 uses. So we do support very specific detailed numeric  
20 language in your permit.

21           Thank you.

22           CHAIRMAN DESTACHE: Okay, any questions.

23           I have a couple. I'll ask the first  
24 question I was going to ask last because it's more  
25 esoteric than anything else.

1                   As far as hydromodification goes and the  
2 fact that there are sites that are developed that have  
3 soil types and conditions that provide sedimentation  
4 into stream beds, I think that issue is one of the  
5 issues that needs to be clarified specifically within  
6 the permit because if in fact for a hundred years that  
7 site was providing sediment to a stream and then you  
8 remove that sediment to the stream it's going to have  
9 an effect on the bio side of that stream. Therefore I  
10 think that if we don't look at that in a planning  
11 document, in a planning situation, we're going to get  
12 to a point where we're cutting off all that, not -- and  
13 I don't want to use the word "intrusion" -- but the  
14 adding of minerals, resources to stream beds to help  
15 the bio side of all streams that are getting  
16 watershed -- water distributed into.

17                   What's your feeling on that side of it? And  
18 how would you look at a change to really reduce the  
19 effect on the land development side of it?

20                   I know that's a pretty broad question, but  
21 I'd like some kind of input on that.

22                   MS. LIN: If I can understand, you are  
23 asking what our position is on situations where the  
24 removal of sediment would not be beneficial?

25                   CHAIRMAN DESTACHE: Yes.

1 MS LIN: Okay. So I guess what our response  
2 would be is that we think it's critical to do your  
3 homework first, to evaluate what the necessary  
4 requirements are to have a healthy biological system,  
5 and to understand what those goals are, and then to try  
6 to understand basically what the requirements would be  
7 for trying to test technical feasibility or  
8 unfeasibility on the site, and then to make the various  
9 decisions that affect that.

10 Which is why I think in this permit it does  
11 have all of those different options that you can go off  
12 of. So I mean I think that's the new wave, and that is  
13 one way we're trying to incorporate this flexibility  
14 language, more planning and more specificity. So that  
15 covers every body's concerns, right? I think for us we  
16 just want to make sure there's clarity on what that  
17 means. So I think that situation could come up, but if  
18 that's the case I think it's outlined in the permit of  
19 how then you would try to move down the decision tree  
20 of what you would do.

21 So if it's the case, for example, on site,  
22 that it would be less beneficial, for example, to  
23 remove additional sediment, that's where you would have  
24 to try and make the case for a technical unfeasibility  
25 on site and move off site, as an example.

1                   CHAIRMAN DESTACHE: Okay. Yeah. And we'll  
2 push staff to think outside the box on that, because  
3 that really is a different way to think about how you  
4 approach storm water.

5                   The second question is if you could go back  
6 to a point in that you would like to see the watersheds  
7 get cleaned up to, how would you depict what that date  
8 would be? It's not an easy question, but I've been  
9 asked that.

10                  MR. ABARBANEL: Is that a hard question for  
11 you?

12                  MS. LIN: It is a hard question and I've  
13 been asked that question before. And in fact I would  
14 point to Los Penasquitos which is the very same  
15 question we have, which is do we go back a hundred  
16 years, a thousand years, thirty years. And I would say  
17 it's very case-specific. I would point to two  
18 examples. The first example is EPA established a  
19 wetlands creek estuary. In that situation, based on  
20 the information we had, we actually requested that we  
21 would go back 120 years. Now, there's a lot of details  
22 in that, but I'm just saying -- I'm making the case it  
23 very much depends on what our situation is and what our  
24 goal is. In Los Penasquitos we went back to...1973?

25                  A VOICE: '74.

1 MS. LIN: '74. So you can see that  
2 difference. And I think part of I think the overall  
3 consideration is, one, what should we bring back our  
4 biological improvement to a point where it still  
5 maintains the beneficial protection of the uses, but  
6 also that is a practicable given development. So those  
7 are the things that I actually considered in both cases  
8 but we got different answers. So it's never just we  
9 always have to go back 500 years.

10 CHAIRMAN DESTACHE: I appreciate your answer  
11 because it is a hard question. It's a question that  
12 everyone should be asking themselves when they're  
13 looking at the planning side of it, and maybe the first  
14 question you asked: At what point do we go back to,  
15 and why?

16 There are streams that I've heard that  
17 they're talking about going back 500 years, but the  
18 sources of those have never been impacted. But it is a  
19 question that you should be asked up front. It allows  
20 for the quality planning of watersheds in a time frame  
21 that's achievable.

22 I mean, if we make it unachievable we're  
23 going to break our pick on it and that's not the right  
24 answer. So thank you very much.

25 MS. LIN: You're welcome.

1                   CHAIRMAN DESTACHE: I think we're going to  
2 take a five-minute break because I think probably  
3 everybody needs it.

4                   (A recess is taken.)

5                   CHAIRMAN DESTACHE: Okay, we are going to  
6 move on to the county of San Diego, Orange County, and  
7 Riverside counties combined proposal -- or  
8 presentations. And you're on.

9                   MR. PADRES: Thank you, Mr. Chairman and  
10 members of the board, and good morning. My name is  
11 Claudio Padres. I'm with the Riverside County Flood  
12 Control and Water Conservation District. And like I  
13 mentioned before, I'm just the first of what will be  
14 several speakers from the three counties. We'll  
15 generally go in the order of Riverside county and  
16 San Diego county and then Orange County.

17                   So, little bit about us, Riverside County  
18 Flood Control. We are the principal permittee on three  
19 separate phase one NPDES MS4 permits and because of  
20 that we have actually considerable experience with what  
21 it takes to focus on outcomes and really what programs  
22 work and which ones don't. So while we still have some  
23 concern with the regional permitting approach, the main  
24 gist of my presentation, at least, is going to be on  
25 the concept of focusing on outcomes and how to do that.

1 So in the last 20-plus years we've been regulated by  
2 activity-based permit or action-based permits as was  
3 presented by staff.

4           And while we have made progress, these  
5 permits haven't always allowed us to direct our  
6 resources on the strategies that we know will be most  
7 effective at addressing the unique issues in each of  
8 our watersheds. So we agreed that outcome-based  
9 permits are really the evolutionary next step. we  
10 agree on that point. And my comments are going to be  
11 focused on how to make sure the permits actually  
12 accomplish that. And based on the permits that were  
13 made in staff's presentation I would say that I agree  
14 with the majority of what they're saying so really what  
15 it comes down to is to make sure that the permits fully  
16 follows through with that vision.

17           And the shift that we're talking about  
18 towards outcome-based permitting is really not an easy  
19 one, nor is it likely that it can be achieved fairly  
20 quickly. It's such a big change that we need to take  
21 it slow, methodical and really think about the  
22 potential unintended consequences of what we're doing  
23 like we talked about self-conservation as well, and  
24 make sure we do it right.

25           So I really commend the permit writing team,

1 just to mention the ones I'm aware of, Wayne and  
2 Christine, Laurie and Eric and I'm sure there may be  
3 others, for really taking those important first steps.

4           Before we get into the specifics of the  
5 permit, though, I think we're willing to start with  
6 fundamental one point. We can talk all day about how  
7 to improve the permit itself and we likely will with  
8 the crowd we've got here. But if the current  
9 deficiencies in the basin plan, the receiving waters  
10 limitation language, and the TMDLS aren't addressed by  
11 the board concurrently, then the outcomes we're  
12 targeting may not be appropriate or achievable. And  
13 then any permit that's based on the achievement of  
14 those outcomes is destined to fail.

15           So I think while that's not going to be the  
16 focus of at least my presentation, I think we can't  
17 lose sight of that key point that we have to make sure  
18 the outcomes we're targeting are realistic.

19           Another point on that same -- I'm going to  
20 go back a slide -- another point I also don't want to  
21 miss is that we need to make sure that the burden of  
22 attaining those receiving water outcomes is not solely  
23 placed on the MS4 permittees. As the board well knows,  
24 there is multiple permitting programs out there from  
25 industrial to construction to ag waivers and all of

1 these parties have a stake or a role in addressing and  
2 attaining those desired outcomes. So one concern that  
3 we have is that we want to watch for what I have seen  
4 in the permit is an undue placement of that entire  
5 burden on just the MS4 groups. And I'm not going to  
6 downplay that we play a significant role in that, but  
7 we aren't the only one.

8           So board staff presented back in April and  
9 even in today's presentation a theme all long that they  
10 believe, and we agree with, are necessary to focus on  
11 achieving outcomes. So I'm going to start by  
12 identifying some common problems that we've seen in  
13 past permits that can stand in the way of a permittee  
14 being able to be strategic, adaptive and synergistic  
15 and in turn prevent us from focusing our resources on  
16 attaining those outcomes.

17           The first problem is that the continual  
18 layering on of more and more requirements of each  
19 permit site, simple because they think it's a good idea  
20 and in some cases they are or because of a  
21 misperception that simply by doing more we're more  
22 likely to achieve our outcomes.

23           And we all know that perpetually trying to  
24 do more is unnecessary and unsustainable, but yet that  
25 trend has been spiraling out of control. And further,

1 each of our programs already invest multiple millions  
2 of dollars each year and our programs have gained over  
3 20 years of experience with boots on the ground and  
4 have a good experience with the programs in our  
5 specific watersheds and the issues in those watersheds.  
6 So we have a good understanding of what works and what  
7 doesn't.

8                   And good things have been done. For  
9 example, in Riverside county we've successfully worked  
10 with California Department of Pesticide and Regulation  
11 to how we relabel pesticides which we label pesticides  
12 that we have seen to be causing toxicity in our  
13 watersheds. So that's a recent development, we've been  
14 able to pull through and get those relabeled to protect  
15 water quality. And further deployment of low impact  
16 development we've researched LID installations across  
17 the nation and developed an innovative LID BMP design  
18 manual and a two and a half million dollar LID testing  
19 and demonstrating facility to actually show and  
20 demonstrate and quantify the benefits of those specific  
21 BMPs that are in our manual.

22                   We're also working collaboratively with San  
23 Diego county on efforts to identify proper management  
24 of nutrients in the Santa Margarita/Laguna estuary, and  
25 that's an ongoing project.

1                   So the key is not simply doing more. The  
2 key is having a permit that allows us to implement  
3 focus and smarter programs that prioritizes the  
4 strategies that will best achieve the desired outcomes  
5 in our watersheds.

6                   Second. We need to avoid prescriptive one  
7 size fits all approaches. And we did hear this from  
8 staff, although you'll see later in my conversation,  
9 there are still elements of the permit that do this.

10                  And that approach, that one size fits all,  
11 is clearly the opposite of a favorite outcome-based  
12 approach. For example, if we're required to implement  
13 advanced programs to target sediment in a watershed  
14 that isn't impaired or doesn't see problems with  
15 sediment then every dollar we're putting into that is  
16 clearly diverting money staff time and resources that  
17 may be focusing on resources that may be of more  
18 relevance to that watershed. So ultimately what we  
19 need is a permit that allows us to redirect and focus  
20 our citizens' existing resources in a way that is more  
21 strategic and adaptive to the issues in each watershed.

22                  So with those potential pitfalls in mind,  
23 let's take a look at the permit.

24                  The water quality improvement plan that was  
25 described to you, while it's not perfect, we will

1 likely have comments on that, it does do a good job of  
2 focusing on outcomes and incorporates the concepts of  
3 being strategic and adaptive and synergistic.

4           But despite the fact that this planning  
5 document identifies those, the implementation  
6 documents, the JURMP and the monitoring program  
7 requirements, don't fully allow us to focus on those  
8 strategies. So instead of being a shift from an  
9 activity-focused permit to an outcome-focused permit,  
10 what we're seeing is a permit that requires both. As I  
11 discussed, activity based permits and outcome based  
12 permits really aren't compatible and activity prevents  
13 us from being able to focus on outcomes.

14           So the first thing we need to do moving  
15 forward is to work with your staff to review the draft  
16 permit for any requirements that as been drafted now  
17 currently prevent us from being fully strategic or  
18 adaptive or synergistic because otherwise all this talk  
19 about focusing on outcomes will never become a reality  
20 because our resources will continue to be split between  
21 what we know needs to be done and what the permit  
22 require us to do.

23           The next four slides are going to comprise  
24 some specific examples that I've identified from the  
25 permit that needs some work. And additional issues are

1 going to be brought up by subsequent speakers as well.  
2 And ultimately what I think we're going to be looking  
3 for is the board to direct staff to continue to work  
4 with permittees and other stakeholders as well to  
5 resolve these issues.

6           The first one I want to discuss is the  
7 receiving water limitations which certainly got some  
8 attention already in their earlier presentations. But  
9 in light of the Ninth Circuit court decision which  
10 you're possibly aware of which implies that this  
11 language requires strict compliance with water quality  
12 standards, the key point that needs to be known is that  
13 that requirement simply cannot be complied with.

14           It is absolutely imperative that the  
15 language be fixed because if it isn't, every other  
16 provision of this permit can become irrelevant. We  
17 won't be able to focus on outcomes. We won't be able  
18 to focus on the strategies we've developed or adapt  
19 those strategies, nor will we be able to be  
20 synergistic, because all of those efforts and all those  
21 resources can end up redirected to costly litigation  
22 and lawyer's fees because there is nothing a permittee  
23 can do to ensure their compliance with that language.  
24 It is effectively out of our hands. There are things  
25 that we can do, but we can't ensure our own compliance.

1                   It is effectively a provision that  
2 guarantees noncompliance from day one. And there is no  
3 reason it has to be written that way. There is  
4 discretion on this issue.

5                   So I would strongly support and encourage  
6 the board to participate in efforts at the state level,  
7 there's that workshop that is going into schedule for  
8 next Tuesday, on the 20th, to develop receiving water  
9 limitations language that can be complied with.

10                  Regardless, however, of what comes out of  
11 that state board workshop, I believe it is the  
12 responsibility of this regional board to not adopt  
13 permits that include language that cannot be complied  
14 with the presumption that it may be addressed in the  
15 future through potentially a reopener.

16                  Other regional boards including the L.A.  
17 board, have addressed -- have taken steps to address  
18 this. I can't comment on whether it's enough, but  
19 there is movement in other regional boards as well to  
20 try to address this issue and provide language that can  
21 be complied with. Doesn't mean it's easy, but it needs  
22 to be able to be complied with.

23                  The second issue I wanted to bring up is  
24 some low impact development, sizing and hierarchy  
25 changes that we're seeing in the permit. The LID

1 requirements have been actually significantly rewritten  
2 in this permit. And I believe I saw in the fact sheet  
3 where staff may have described that these aren't  
4 significant that they're generally compliant or  
5 consistent with the recent Orange County and Riverside  
6 county permits that were adopted, but that's simply the  
7 no the case. In fact, under those requirements as  
8 written, low impact development BMPs will be two to  
9 three times larger than under the permits that you've  
10 just adopted in 2009 and 2010. It will require a  
11 complete rewrite of our standard storm water mitigation  
12 plans; basically the plans for development projects to  
13 meet the standards.

14                 We would have to completely rewrite those  
15 documents that we've just recently prepared. And,  
16 getting closer to home, it effectively throws out our  
17 two and a half million dollar investment our citizens  
18 have made in that low impact development and testing  
19 facility because no longer are those BMPs the way they  
20 were designed and the way they were sized and the way  
21 we're testing them are no longer sufficient. The BMPs  
22 in this permit will be a different animal than what  
23 we've been working on and we've been working towards  
24 all along, and I believe that is unnecessarily so.

25                 The next issue which has already gotten some

1 discussion is hydromodificaiton. I think there are  
2 going to be more speakers after me that are going to  
3 address this issue, but I do want to highlight a few  
4 points from Riverside county's perspective and from the  
5 issue of the flood control district.

6 thep roblem is that those requirem3ents as  
7 drafted established unjustifiable standards that  
8 presume that our receiving waters will all be restored  
9 to their natural state.

10 But the reality is that many streams are  
11 managed by flood control districts in cities to provide  
12 necessary protection to our residents for their life  
13 and property in areas that would have otherwise been  
14 subject to flooding. These systems are by design not  
15 susceptible to hydromodificaiton, yet the tentative  
16 order nevertheless, kind of on the one size fits all  
17 approach, requires all priority development projects  
18 tributary to those developments are extremely costly to  
19 mitigation.

20 How big these BMPs can be, in many cases  
21 cost prohibitively so, such projects would be  
22 mitigating for impacts that in some cases are likely  
23 never to exist because the reality is the value of the  
24 developments protected by the those existing facilities  
25 that are managed by the flood control districts both in

1 terms of real property value and economic value and  
2 jobs for our citizens would preclude turning back the  
3 clock on those systems. We're not saying it can never  
4 be done, but we can't move forward with the presumption  
5 that it can never be done and design one size fits all  
6 requirements that expect that.

7           The solution may be simple, though. We've  
8 all been talking about focus on outcomes and if we  
9 apply that to hydromodificaiton, that will help address  
10 this.

11           The tentative order should use the water  
12 quality improvement plan as the tool to identify what  
13 is the proper management scenario for each of our  
14 streams, whether it's susceptible, whether it's not  
15 susceptible to hydromodificaiton. And based on that  
16 what is the right control measures to require  
17 development projects to do. I don't believe we should  
18 be predefining that in a permit when we don't have all  
19 of that information. The water quality improvement  
20 plan, through that process, we will have that  
21 information.

22           Further, we generally support actions to  
23 restore streams and restore beneficial uses in streams  
24 where it makes sense. But again the permit shouldn't  
25 presuppose that that can and will always happen until

1 there are real and viable plans that can make that  
2 happen, because we all know that there are multiple  
3 agencies that are involved in that process. If you're  
4 going to affect a stream, it's not just between us and  
5 the regional board. It's between us and Fish and Game  
6 and Army Corps and a myriad of other requirements that  
7 are put in place and in some cases will never be done  
8 so.

9           The last issue I'm going to bring up before  
10 I hand it off to some of my colleagues is the  
11 monitoring requirements.

12           It's true that many improvements have been  
13 made in the tentative order compared to where we  
14 started. And that is largely in response to proposals  
15 that were put forth by San Diego county permittees to  
16 your staff, and we appreciate those improvements.  
17 However, it's important to recognize that where staff's  
18 starting point was when we're talking about how it has  
19 improved. The monitoring program using their adapting  
20 language I heard in one of their focus meetings was  
21 originally drafted to include literally everything  
22 staff felt was allowable under the law. So while the  
23 current draft certainly is better, it still needs more  
24 work to be done to make sure our monitoring doesn't  
25 become its own roadblock to our ability to focus

1 resources on outcomes.

2           As an example of an area that I believe is  
3 costly and unnecessary, even the smallest of cities  
4 will be required as written in the permit to inspect 80  
5 percent of their outfalls twice a year during dry  
6 weather. And anytime there's evidence of dry weather  
7 flows, even just a puddle, as currently drafted a full  
8 source identification will be required. And that  
9 includes anything from just tracking to the source but  
10 including enforcement and resolution of that, source of  
11 that dry weather puddle. And those source studies can  
12 take weeks or months. That's not a small undertaking.  
13 That can take a significant portion of a staff person's  
14 time to address. Just based on some calculations that  
15 can easily take for a small city two and a half full  
16 time year around staff just for that one permittee and  
17 just for that one line of the permit. That's not  
18 including all the other requirements we have to comply  
19 with.

20           We also heard earlier as part of this slide  
21 the assessment requirements and the need to assess.  
22 And we agree there is a need to assess, but we also can  
23 dump a lot of money in assessment and we need to make  
24 sure we're doing assessments that are scientifically  
25 justified and with tools that are readily available.

1 For example in the permit the assessment requirements  
2 that the things or answers -- the questions that we're  
3 being asked to answer, excuse me, would require  
4 extensive pollutant models to be developed for a myriad  
5 of pollutants. This isn't just like one pollutant that  
6 we have like for a TMDL. For basically every pollutant  
7 that you might see in that watershed you would have a  
8 pollutant model for that. That is extremely and highly  
9 detailed and extremely expensive. I tried to get you an  
10 estimate before for today's meeting but unfortunately I  
11 didn't have time to do that. They are very expensive.

12 So really the assessment requirements need  
13 to be better vetted to make sure that the assessments  
14 we're being asked to do are at levels that are  
15 justified and balanced in terms of utilizing resources  
16 that we have already available to do them.

17 So at the end of at least my portion of this  
18 presentation my main request to the board, to the  
19 extent that I can do this because I know you're not  
20 taking action today, is to direct staff to continue to  
21 meet with the permittees to discuss and resolve these  
22 issues. There weren't more discussion and they're not  
23 well suited for comments. These are things that we  
24 really need to have a back and forth on to resolve.

25 So I appreciate your time. I'd be happy to

1 answer any questions. And if there aren't any, I'm  
2 happy to hand it to the next speaker.

3 CHAIRMAN DESTACHE: We will continue until  
4 twelve o'clock.

5 MS. RAMOS: Good morning, Chairman, board  
6 members. My name's Patricia Ramos. I am here from  
7 Riverside County Transportation Department. I'm the  
8 deputy director for the Transportation Department. And  
9 I'm here today to talk to you specifically about Public  
10 Works road projects and the redevelopment of existing  
11 public roads in southwest Riverside county.

12 The Riverside County Transportation  
13 Department is responsible for the maintenance and  
14 safety of several thousands of miles of road within  
15 Riverside county. Our obligation is to the traveling  
16 public to provide safe, efficient and reliable roads to  
17 travel on. Our motive is not profit driven but as  
18 public servants we strive to maintain and improve as  
19 many roads as possible within our budget each year.  
20 Each year we prioritize our improvement plan with  
21 safety projects being our top priority. The primary  
22 source of our revenue comes from gas tax or sales tax  
23 which is never really been enough and over these past  
24 several years have gotten even worse.

25 We take advantage of federal and state

1 safety grants as often as we can however these come  
2 with funding limits and time constraints. When we talk  
3 about redevelopment of a public road, yr definition is  
4 the widening of a shoulder, the addition of a turn  
5 lane, the improvements of an intersection and the  
6 correction of a sharp curve in the road or a severe dip  
7 in the road. These projects make corrections to roads  
8 that were built when Riverside county was a rural  
9 community and when repeat drivers traveled these roads.

10 Today we have several hundreds of thousands  
11 of residents in southwest Riverside county and many of  
12 these rural roads see more daily traffic than ever  
13 imagined which is why additional road right of way was  
14 never preserved when these roads were built. today  
15 when we develop new road projects we consider future  
16 development we purchase adequate road right of way for  
17 for future expansion. We purchase mitigation land to  
18 offset environmental impacts and we incorporate water  
19 quality features.

20 The county strives to be good stewards to  
21 the environment by protecting water quality and we  
22 believe that we have come up with an approach that can  
23 satisfy both the needs of the transportation  
24 department, the public, and the San Diego Regional  
25 Water Board. Two years ago the county worked closely

1 with the Santa Ana Regional Board to develop guidance  
2 specifically for Public Works roads projects. This  
3 guidance approved last month is substantially similar  
4 to the guidance being developed in Orange County and  
5 the guidance being considered by Los Angeles county for  
6 road projects. This guidance is developed around the  
7 Green Streets concepts and are the guiding principles  
8 that the county will develop all projects with. It  
9 provides a rigorous series of feasibility tests to  
10 ensure that all projects incorporate water quality BMPs  
11 and address hydromods to the maximum extent practical.  
12 By using this plan as a means to fully comply with the  
13 permit, the public is able to rely on us to provide a  
14 safe road to travel on. Where we're able to get these  
15 projects out to the public in a timely manner. We're  
16 able to take advantage of grant funding by meeting  
17 deadlines. The county reduces liability exposure due  
18 to dangerous road conditions and water quality is  
19 addressed to the maximum extent practical at each  
20 specific project site.

21                   Recently the county completed the  
22 construction of a roundabout in the Temecula area and  
23 Rancho California Road. The scope of this project was  
24 to improve an existing intersection deficiency.  
25 Several thousands of cars travel this road each day as

1 they tour the many wineries in this area. The road has  
2 multiple intersections and several are in need of  
3 traffic control devices to slow the traffic down to the  
4 area to improve safety and provide an opportunity for  
5 residents and tourists in the area to cross Rancho  
6 California Road or merge onto the road. A traffic  
7 signal would have been the appropriate solution in an  
8 urban setting. However, in this tranquil rural  
9 environment, a roundabout was the appropriate traffic  
10 control.

11 This project costs \$800,000 to build, but  
12 the total project costs doubled to \$1.6 million to  
13 purchase land and construct a basin to treat 100  
14 percent of the runoff from the site. We are now unable  
15 to build the remaining need of roundabouts due to a  
16 shortfall.

17 We believe a balanced approach that  
18 addresses quality to the NEP for the project while  
19 still allowing the department to meet its mission to  
20 protect public safety is necessary. Not only is the  
21 current approach problematic because of the cost, but  
22 also because of the context sensitivity of the  
23 surrounding community. Although the basin performs its  
24 function, it is not complementary to the surrounding  
25 environment. This area has rolling hills, balanced

1 landscape of vineyards, beautiful wineries, and most  
2 recently a nicely landscaped roundabout and a  
3 sliver-sized basin that was required to fully meet  
4 water falling and hydromod is a eyesore.

5           The public looks to us as both the county  
6 and the water board to as public servants to ensure  
7 that funds are spent to not only protect the  
8 environment, but the public as well. I urge you to  
9 reconsider your decision to eliminate the option in  
10 this new MS4 permit for the co-permittees to implement  
11 an NEP approach or Public Works Transportation  
12 projections that meet the intent of the US EPA Green  
13 Streets guidance.

14           These projects are very different from all  
15 other nonroad redevelopment projects, and we urge you  
16 to reconsider and allow for the development of guidance  
17 that addresses these unique needs.

18           We look forward to the opportunity to work  
19 hand in hand with board staff to develop guidance that  
20 is fair, reasonable, equitable, and compliant through a  
21 global approach in lieu of the typical project by  
22 project WQMP approach.

23           Thank you.

24           CHAIRMAN DESTACHE: I think that's going to  
25 be a pretty good place to break, because we're going to

1 come back at one o'clock for elected officials.  
2 Hopefully we can get through them in a -- we have a  
3 closed session during lunch that we will be discussing  
4 Items 11(a), (c), (d), and (f)

5 So at this point, we will resume at about  
6 five to 1:00 and let the elected officials get the  
7 queue and get them running through as fast as we can.

8 (Luncheon recess taken: 11:55 p.m.)

9 A VOICE: Good afternoon. I was here this  
10 morning and I enjoyed the presentation.

11 I am here at the direction of the entire  
12 board of supervisors, bar none. And the county of San  
13 Diego has a strong, clean water record and we support  
14 each and all goals of your program.

15 We collaborate and we cooperate consistently  
16 throughout the region with the public and the private  
17 sector to address clean water in a coordinated fashion.  
18 The county has been subject to a municipal storm water  
19 permit for 20 years. They've developed a comprehensive  
20 and vigorous storm water program that has made  
21 remarkable progress. Each water the county of San  
22 Diego spends over \$35 million on storm water  
23 programming. This regional collaboration has achieved  
24 real results, and our beaches today are cleaner than at  
25 any time in my memory.

1 Reasonable compliance standards are needed  
2 for clean water. We brought forward at the September  
3 26th County Board Supervisors meeting a call to action  
4 to protect the environment while controlling the  
5 mounting costs for increasing water quality regulations  
6 on local government, on business, and on industry, and  
7 we're concerned about the stifling effect on our  
8 economic growth. Last April the San Diego Regional  
9 Quality Water Control Board incorporated new  
10 requirements that are a financial threat to our region.  
11 While we did not object to all of the requirements, we  
12 are strongly opposed to the TMDL standards.

13 The new rule will require the county and 21  
14 other agencies in our region to comply with the total  
15 maximum daily loads of bacteria. And you do have  
16 discretion. I want to make that point. We're going to  
17 hear a lot more about that later as other presenters  
18 come up here. You do have discretion. I also want to  
19 present to you the letter that is signed by 19 of the  
20 21 local agencies. I'll leave this, Mr. Chairman, with  
21 you.

22 More scientific studies must be conducted on  
23 the TMDL to effectively analyze all sorts of bacteria  
24 and establish limits that are reasonable and effective.  
25 The bacteria TMDL requires that we return to pristine

1 conditions before the more than 3 million residents who  
2 make San Diego county their home.

3           The second thing I'm going to leave with you  
4 is an aerial of the area that the watershed at the Leo  
5 Carrillo Beach that we're using as the standard.  
6 There's very little development in this watershed  
7 that's being used as an example of what we're trying to  
8 achieve. I've spent most of my life working on clean  
9 air. Had we taken such a standard I can tell you there  
10 would have been no program. If we just said we're  
11 going to get back to prehistoric conditions, in effect,  
12 and that's going to be our standard, we are going to  
13 pull something out like that and make it the standard.

14           You can see from these, you can Google it  
15 if you haven't, you'll see that there is clearly very,  
16 very limited development in that watershed. Very  
17 different from San Diego. According to the county's  
18 technical experts, studies show that the current  
19 technology is not capable of removing bacteria to the  
20 levels that would meet water quality standards during  
21 rain events.

22           Doing so requires local jurisdictions to  
23 mitigate for bacteria that is caused both by man and  
24 caused naturally by birds, wildlife and other  
25 environmental sources. Without allowing us to

1 differentiate between manmade and naturally occurring  
2 bacteria, the county will find itself on hugely  
3 expensive and a nearly impossible regulatory journey.  
4 And we can't be throwing limited public funds at  
5 intangible targets.

6           For example, when we do air quality, we go  
7 after the precise sources, like cars and factories.

8           For many years I've been involved, as I  
9 mentioned to you, I'm a member of the California Air  
10 Resources Board. I know what criticism is and I've  
11 been there. But I can also remember back not too many  
12 years ago when we were regulating two-stroke jet ski  
13 engines, and what we found is a lot of the pollution  
14 was going into the water. But we have the regulatory  
15 authority to do something with the manufacturers that  
16 the water boards didn't have, and we did that. We did  
17 exactly that. And I have a couple of yellow ducks in  
18 my office of one of the experiments to show what a  
19 two-stroke engine did versus a four-stroke engine. And  
20 we helped clean indirectly, not directly, but helped  
21 clean up air quality. We have tools in our disposal  
22 that maybe don't have to go back to the source and make  
23 the changes there. Not after it gets into the water.  
24 Avoid getting it into the water to begin with.

25           Well, we need same type of point of

1 pollution standards here so we can directly identify  
2 the parking lots, the businesses, and the other sources  
3 of pollution that we need to address. The standards  
4 and the mandates by the Regional Quality Water Control  
5 Board are setting us up for failure. These new  
6 requirements have the potential to cost our region  
7 billions of dollars over the next 18 years, and the  
8 regulated parties may never meet the compliance  
9 standards. Unfortunately, these unsubstantiated  
10 requirements will ultimately affect local taxpayers who  
11 will pay for increasing compliance costs either  
12 directly or through diminished public services. The  
13 county show the total cost of the program is expected  
14 to be between 16 and \$31 million per year.

15           For perspective's sake, we recently broke  
16 ground on something that I'm very proud of, a new water  
17 front park. And it's something that's going to be here  
18 for generations. Under this new regulation, county  
19 taxpayers will be funding the equivalent of a new water  
20 front park in the next 18 months and never achieve the  
21 related clean water goal. As you can see, this new  
22 regulation from the San Diego County Water Quality  
23 Board is threatening our region in what I feel is our  
24 quality of life.

25           The permit also requires what would make it

1 significantly, significantly more difficult for  
2 development to move forward in this county by requiring  
3 the new and the redevelopment projects return to site  
4 hydrology to predevelopment conditions as opposed to  
5 preexisting project conditions. This is the current  
6 requirement, to return to the preexisting project  
7 conditions.

8 Returns urban in-fill projects that existed  
9 under natural preurban conditions are going to present  
10 a significant challenge, especially to redevelopment  
11 which is generally considered an environmentally  
12 friendly mode of development. I'm thinking again of  
13 our waterfront park, what we would have to do where we  
14 took out enormous parking lots to put in a park and the  
15 rules we would come under had this been in place as we  
16 start to redevelop this property. Just start to  
17 imagine that and keep that as an example. The benefits  
18 of putting in a park it seems to me are clear, but the  
19 challenges this would have proposed to us would have  
20 been enormous. Let's work together to stop this  
21 unsubstantiated attack on our taxpayers, on our economy  
22 and on our environmental goals.

23 We should table the wet weather portion of  
24 the bacteria TMDL because its compliance targets are  
25 not reasonable or attainable based on technology. And

1 we should suspend the dry water portion until adequate  
2 scientific information is available to reevaluate the  
3 numeric standards and accurately quantify inputs from  
4 natural sources.

5           We need to work collaboratively with the  
6 local agencies to draft permit language to ensure that  
7 the water quality language are reasonable,  
8 cost-effective and scientifically based. I'm stressing  
9 that. That's the basis of which we've made incredible  
10 progress on the air quality in San Diego and throughout  
11 California. We stand by it. We want to work with you.  
12 We do share the goals of cleaning up the water but the  
13 methodology here we think is flawed.

14           With that, if I can approach you and leave  
15 you these documents, the letter and the aerial that  
16 shows you the beach.

17           CHAIRMAN DESTACHE: Thank you. Next we'll  
18 go to Supervisor Slater, Slater Price.

19           MS. PRICE: Thank you very much,  
20 Mr. Chairman.

21           Good afternoon. I'm Pam Slater Price,  
22 District 3 County Supervisor for the county of San  
23 Diego. And as my colleague said, we are committed at  
24 the county for clean water. Personally many of you who  
25 know me know that my entire career has been focused on

1 environmental protection and enhancement. And I've  
2 been very proud to be the recipient of numerous awards  
3 including the Water Woman award from Surfrider  
4 Foundation. So I'm here to commend you for everything  
5 that you do and say that I strongly support what you do  
6 and what your efforts are.

7           That being said, I have to say that we have  
8 to look at what can be done as opposed to what ideally  
9 might be done. And we have to make consideration for  
10 this kind of regulation as being the art of the  
11 possible because we all do want to cooperate. I will  
12 tell you that we want clean water. Our constituents  
13 demand clean water. Our constituents, regardless of  
14 their party or other affiliation, want to have clean  
15 water in the seas. They want clean and available water  
16 to drink. And this crosses all the other boundary  
17 lines. So with that in mind, I'm here to plead a  
18 little bit with you to say that we would like to work  
19 with you. We would like to work with you to come up  
20 with a plan that will achieve the goals that we see  
21 before us that will do so in a way that doesn't cripple  
22 our attempts and cripple government, because sometimes  
23 if the bar is too high or if the bar is set in such a  
24 way that we cannot possibly attain the result, there's  
25 a growing level of frustration that occurs not only

1 with the elected officials but with the county staff  
2 members and other cities, the other agencies that  
3 participate with us in this permit.

4 I think it's safe to say that all of our  
5 co-permittees have the same goal. We all want the same  
6 clean water. We all want to work with you in the  
7 cooperative fashion. And we support the goals.

8 That being said, we know that we've improved  
9 water quality in the past. We would constantly get bad  
10 report cards from Heal the Bay and other organizations  
11 like that. In the past few years, we've been getting  
12 90 percent and A-plus ratings at most of our beaches.  
13 So that says a lot to me because, as Supervisor Roberts  
14 said, there are many things out of our control that  
15 happen upstream that we really can't control. And they  
16 happen as a result of wildlife, of other people upstream  
17 dumping things in that we can't control. It's nonpoint  
18 source pollution. We don't know where it comes from.  
19 And so we want to reduce that bacteria in the water.  
20 We want to see the water be pristine. Ideally I'd love  
21 to have water like we had a millennium ago. You know,  
22 I'd love to see that happen. But I don't see how we  
23 can do that unless we make it possible and make it so  
24 we can cooperate to achieve the goals that we all have.  
25 I commend you for taking this on. I mean,

1 this is something that doesn't win you any popularity  
2 contests, but it's something that needs to be  
3 addressed.

4           And I think we need to address the number  
5 one concern that we have. The number one concern is  
6 the biggest unsubstantiated cost driver in the permit  
7 which is the bacteria TMDL. The cost estimates to take  
8 action in the six watersheds that the county shares  
9 jurisdiction is estimated to be 2.2 to \$4.2 billion  
10 over the 20-year compliance time frame.

11           And we believe that more scientific studies  
12 are needed to ensure that the bacteria TMDL is  
13 effectively analyzed all sources of bacteria in  
14 establishing limits that are reasonable and effective,  
15 things that we can actually do.

16           Current studies show that with current  
17 technology we're not capable of removing bacteria to  
18 levels that would meet water quality study standards  
19 during rain events.

20           The draft permit also includes receiving  
21 water limitation language that we now know  
22 unnecessarily exposes local government to third-party  
23 litigation. I've seen it, recently, action taken  
24 against L.A. County by NRDC. And by the way, I'm a  
25 strong supporter of NRDC. I think they do great work.

1 But what we don't want to do is we don't want to have  
2 government/public agencies that are supported by  
3 taxpayers and there's limited funds, and there will  
4 continue to be limited funds in the future, for all of  
5 our needs to see them subjected to lawsuits that really  
6 even I don't think are intended by the legislation.

7 I think the legislation goes in one  
8 direction and leaves some loopholes that unfortunately  
9 lawsuits can be initiated against the agency and costs  
10 a lot of money. And those monies are taken out to  
11 defray the cost of defending and then paying for the  
12 lawsuits are monies that are taken directly out of  
13 benefit areas for the public.

14 So what we want to do is make a situation  
15 that is cooperative for all of us where we can be a  
16 valid and good partner with you to get the job done  
17 along with all our co-permittees in the region.

18 We want to see the water cleaned. We would  
19 love to work with you and have your cooperation. and I  
20 appreciate the opportunity today to speak before you.

21 Thank you so much.

22 CHAIRMAN DESTACHE: Thank you very much for  
23 your time.

24 We will go to Mr. Felin.

25 MR. FELIN: It's Gary Felin from Oceanside

1 City Council. And I'd like to echo many of the  
2 comments that my colleagues made.

3 I'd certainly like for any decisions to be  
4 made based on sound science. We'd certainly like the  
5 baseline to be based on a local watershed rather than  
6 something that's along way away so that we have  
7 something fair to compare. Also we want the board to  
8 be sensitive to creating massive unfunded mandate and  
9 the huge cost that's going to entail when there's not a  
10 ready source of funds for these kind of expensive  
11 requirements.

12 In terms of the City of Oceanside itself,  
13 I'd certainly like to make sure that the rules are  
14 structured so that when the water is tested at the  
15 mouth of the San Luis Rey River that it's netted  
16 against what the river was like when it came into the  
17 city and that as a city we're not held responsible for  
18 events we can't control that are upstream.

19 Also, I would certainly echo the belief that  
20 the daily bacteria counts are going to add billions in  
21 costs with what seems to be limited benefit. And I  
22 hope the board will balance out the cost-benefit  
23 structure. And I certainly don't see anything new when  
24 we recognize that that last 10 percent of the benefit  
25 is usually 90 percent of the cost and it's usually, you

1 know, never cost-effective to try and get to 100  
2 percent.

3           Also, I'd like to echo the issue on the  
4 in-fill requirement for the City of Oceanside, you  
5 know, for environmental reasons that's what we're  
6 trying to encourage, in-fill developments. And the  
7 requirement that you're going to -- that the developer  
8 has to meet some predevelopment standard doesn't seem  
9 to be realistic. It seems to be counterproductive to  
10 other environmental goals.

11           Also, the bacteria count requirement in the  
12 City of Oceanside at the San Luis Rey River don't  
13 properly account for the effective birds and natural  
14 wildlife. Certainly we shouldn't be penalized because  
15 more birds come into the city because we create a  
16 natural watershed. So I hope that will be properly  
17 accounted for in the rules.

18           And I think the larger issue that I'd like  
19 to comment is on the impact on the economy overall. In  
20 the state of California, we seem to have all kinds of  
21 boards going for their own reasons establishing  
22 regulations irrespective of the cost of the larger  
23 economy. And it seems that California's always in  
24 competition, if not exactly at the top, we have the  
25 highest cost of water, the highest cost of electricity,

1 the highest cost of gas, the highest cost for workmen's  
2 comp, the highest sales tax, the highest income tax.  
3 At some point you reach the straw that breaks the  
4 camel's back, and we've already seen the impact of the  
5 neverending regulatory costs with the fact that  
6 California's has more out-migration rather than  
7 in-migration. Most of the out-migration is the very  
8 people you want to attract to have a strong economy in  
9 terms of college educated, you know, people trying to  
10 raise families. And as a result, California, as we all  
11 know, has lower growth than the rest of the nation as a  
12 whole. And I'd like to emphasize it's far easier to  
13 protect the environment and have the support to do that  
14 in economically prosperous times. So please keep the  
15 larger economy in mind as you're drafting these rules.

16 Thank you very much.

17 CHAIRMAN DESTACHE: Thank you for your  
18 comments. And Deputy Mayor Jim Cunningham, City of  
19 Poway.

20 DEPUTY MAYOR CUNNINGHAM: Thank you. Thanks  
21 so much for having this workshop. This has been quite  
22 an education. Thank you for your comments,  
23 supervisors.

24 I come from a bit of a different  
25 perspective. Earlier this morning you guys mentioned

1 that you wanted to have this workshop because you  
2 wanted to prevent unintended consequences, and there  
3 are significant unintended consequences I think that  
4 come out of this permit process.

5           First and foremost, in all of our cities  
6 and, there's 11 or 12 of us in this county, we don't  
7 have sufficient funding to maintain the bacteria levels  
8 that are in this permit process. We certainly don't  
9 have the funding to monitor it. So what are the  
10 unintended consequences? We have about a hundred miles  
11 of horse trails in Poway, and the irony is it's many of  
12 the horse trails that the Indians have traveled on in  
13 our valley down there. We would have to close them  
14 down. we can't monitor them. The quality of life  
15 would be dramatically changed in our region, not just  
16 in our city. And the one size fits all problem that  
17 this permit process has, I'll just give you a few  
18 examples and then I'll be done.

19           Poway as a result has many, many  
20 single-family residential developments -- not many, but  
21 some -- remaining that are very difficult to develop  
22 because of the topography in the area. Under the new  
23 permit process the majority of the single-family  
24 residence developments would be identified as priority  
25 properties even though the actual potential for a new

1 generation is relatively low. For instance in our area  
2 we have many valleys and hills. To build a home in  
3 those areas require long driveways just to have ingress  
4 and egress. Your permit process shows that the length  
5 of the driveway, it becomes the priority of the project  
6 and puts them into the new standard which is incredibly  
7 expensive, and I don't think they'd be able to  
8 immediate the US NEP requirements.

9           Also, the soils, the soils throughout our  
10 county are different. Poway soils are mostly  
11 designated as type D soils which are somewhat  
12 impervious. Placing a driveway in type D soil is a lot  
13 different than putting a driveway in a pervious area.  
14 That's not accounted for in the permit pocess. Poway  
15 and our region are in the front lines, as you guys  
16 know, of fires.

17           We're the first ones to be impacted by  
18 wildland fires. Putting in many, many ordinances to  
19 protect our community and the rest of the particular  
20 county. Our fire department requires wider driverways  
21 and turnouts and areas for our trucks to get into that  
22 otherwise would not be required. These additional  
23 widths and lengths of driveways are not included in the  
24 permit process, not even considered in the permit  
25 process, and puts all of those new properties better on

1 the fire lines into the -- into the permit process.

2 We also have fuel modifications. The whole  
3 city does. But we went another step. Fuel  
4 modifications meaning we have to take out, and we have,  
5 much of our vegetation. Well, you know your permit  
6 process puts us back into the requirements and takes  
7 away what we're trying to accomplish, and that's to  
8 have flame/fire retardant properties and fuel. Again  
9 the development standards should be based on  
10 pre-project conditions and not the predevelopment  
11 natural conditions. We love our natural area in Poway.  
12 We have 45 percent of our community is in a natural  
13 area. We maintain that. But I agree with the  
14 supervisors who so eloquently stated this is a matter  
15 of collaboration. This is not one size fits all. The  
16 unintended consequences will be dramatic. We can't  
17 afford it. So consequently we'll be shutting down some  
18 areas that you guys work so hard to protect and our  
19 community so greatly enjoys.

20 Thank you.

21 CHAIRMAN DESTACHE: Thank you for your  
22 comments and I will echo this is about collaboration.  
23 It's not about one size fits all. That's the direction  
24 the EO has been given and the staff. It really is  
25 about answering the questions that are related to

1 individual watersheds and how they are affected by the  
2 permits.

3           And your comments on the TMDLs, we're going  
4 to look at that closely and make sure that we  
5 understand that, and that it's a permit that takes into  
6 account the -- those limitations and how we meet those  
7 and when we meet those.

8           So it's -- but your comments are very much  
9 appreciated. We appreciate your time and your efforts  
10 to come here. And in the interest of keeping this  
11 moving, thank you very much, and we'll get onto -- I  
12 don't know if it's County of Orange is next or the City  
13 of San Diego? Oh, the counties.

14           I'm going to ask a couple of questions here.  
15 We have lots of cards from the county, Todd Snider,  
16 Richard Crompton. Are all these people going to speak  
17 or --

18           MR. SNIDER:: Actually, I'm going to be the  
19 only person from the county of San Diego speaking right  
20 now. I'll hand it over to a couple of other  
21 co-permittees. We do have additional county speakers  
22 that will use their three minutes at the end if that's  
23 appropriate.

24           CHAIRMAN DESTACHE: Okay, very good.

25           MR. SNIDER: Good afternoon. My name's

1 Todd Snider. I'm a watershed planning manager with the  
2 county of San Diego.

3 I'm going to be kicking off the san diego  
4 co-permittees portion of this joint presentation.

5 After I go through a few slides I'm going to pass it  
6 off to Ruth Cole of the City of San Diego and she's  
7 going to speak very specifically about the TMDLs.

8 I wanted to start off by saying that we do  
9 really appreciate the regional board staff put into  
10 this permit reissuance.

11 This permit reissuance process is much  
12 improved over the previous processes, just the fact  
13 that we had so many earlier drafts to be able to  
14 comment on is much appreciated. I think the dialogue  
15 we've had through the focus meetings over the last six  
16 months have really been excellent. And I think we have  
17 a better permit today than when it was first released  
18 back in April.

19 Also, to echo what you heard from Riverside  
20 county, when I'm going through these slides these  
21 positions that I'll be stating here really represent  
22 the opinions of all of our co-permittees. The county  
23 is the lead permittee in San Diego. there's quite a  
24 bit of coordination. So these are all consensus points  
25 that represent the opinions of all 21 of our San Diego

1 co-permittees.

2                   We do very much support the watershed-based  
3 approach through the Water Quality Improvement plan.  
4 We think the direction the board staff laid out is  
5 excellent and I think the intention and the vision are  
6 very good. We do want to be encouraging innovation.  
7 We do want to be encouraging strategic approaches and  
8 the watershed scale is an appropriate scale to be doing  
9 that.

10                   Staff did make significant changes to the  
11 early version of this draft that came out. We very  
12 much appreciate that. A good example is the monitoring  
13 requirements. When the draft first came out in April  
14 we had a very onerous very expensive monitoring program  
15 that really wasn't bringing much value in terms of the  
16 data that would have been collected and how it would  
17 fed into the adaptive management process. To their  
18 credit, board staff heard our recommendations,  
19 incorporated our suggestions, and I think today,  
20 although there are some significant technical issues  
21 with the monitoring we'd like to continue to dialogue  
22 on I think we're very much in support of the changes  
23 that were made and it was a very positive direction.

24                   So that said, I think kind of what you've  
25 been hearing, you've been hearing a consistent theme

1 from all the speakers today. There's really three  
2 critical issues that remain. A lot us feel like board  
3 staff have done most of what they could to improve this  
4 permit. I think the key issues that remain are really  
5 policy issues, they're very high level issues, but  
6 they're very important to get right. So part of what  
7 we'll be talking about today is what our concerns are  
8 with these three issues you see here: compliance  
9 provisions, TMDLs, and the development requirements.  
10 And we actually have very specific, very simple fixes  
11 to suggest and we hope you'll consider this.

12                 So, first of all, just to echo some of the  
13 themes you've heard today, we have demonstrated success  
14 over the last several years. If you look at our beach  
15 closure data, compared to 10 years ago there is real  
16 change that has happened. And that's not just  
17 happening magically. It's actually a real commitment to  
18 infrastructure upgrades, a diversion to many areas, if  
19 not most, of the coastal storm drains to the sewer  
20 system. We have several UV treatments up the coast. I  
21 was at a presentation the other day, and I saw the City  
22 of San Diego staff presenting a number of beach  
23 closures from 10 years ago to present. And it was  
24 dramatic. 99 percent improvement during dry weather.  
25 So we have improved beach water quality, and a lot of

1 it has to do with the efforts of our co-permittees.

2           Another good example of the success is we  
3 had local co-permittees who worked at the state level  
4 to do exactly what Chairman Roberts suggested, deal  
5 with the source. So there was legislation passed that  
6 would remove copper from break pads. That's the most  
7 efficient way to deal with pollutants. Before  
8 introducing it into the environment you deal with it at  
9 the source. and of course we have revised how we deal  
10 with development. The low impact development and  
11 hydromodificaiton programs have really made a  
12 difference in terms of mitigating development before it  
13 happens.

14           With that said, there are some significant  
15 challenges that remain. Water quality objectives can  
16 and will be exceeded even when treatment is in place.  
17 There was an interesting -- board staff acknowledged  
18 this in their presentation as well -- you can't  
19 prioritize every drain, you can't priortize every  
20 portion of the watershed. You need to be strategic and  
21 being strategic and directing your resources to  
22 priority problems, that means that something else has  
23 got to give.

24           There was a really interesting article, if  
25 you haven't seen it, in a couple of -- it might have

1 been a month or two ago, in "Storm Water" magazine that  
2 went through the BMP treatment effectiveness dealing  
3 with bacteria for the BMPs that are available today.  
4 Virtually no available technology can remove bacteria  
5 to levels that are required in this permit to meet the  
6 quarter quality objectives so there are real  
7 significant concerns about the feasibility of some of  
8 these standards.

9           Also in 2008, the National Academy Of  
10 Sciences came out with a report that talked a lot about  
11 why storm water, why MS4s are different than other  
12 traditional point sources of pollution. Storm water I  
13 think as we all recognize is a nonpoint source problem  
14 that's dealt with through a point source sort of  
15 permitting strategy, and there's problems with that.

16           I mean, there are thousands if not tens of  
17 thousands of points of entry from the storm drain  
18 system into receiving waters. Unlike a confined system  
19 such as waste water or your typical industrial  
20 facility, there's much less control over storm water  
21 systems than there are over those other facilities.

22           And really a lot of what the permit does is  
23 it requires us as municipalities to change behavior, to  
24 change behavior of residences, businesses. Of the  
25 people who contribute runoff or pollutants into our

1 systems the city's encountered. To we know behavioral  
2 change takes a long time to accomplish. It's not  
3 something that can easily happen overnight.

4           So the challenge is, how do we prioritize  
5 resources while maintaining accountability and a focus  
6 on water quality outcomes. And again we think that the  
7 water quality improvement plan does provide a path  
8 forward to a new paradigm to prepare more appropriately  
9 address this.

10           There's a lot of advantages to the WQIP  
11 process that board staff talked about today. Here's  
12 some of them. Currently we have permit requirements,  
13 TMDLs, areas of special biological significance all  
14 addressed in separate plans. So the water quality  
15 improvement plans really have an opportunity to bring  
16 these different regulations into a single place at the  
17 watershed scale. We support that approach.

18           To address Mr. Strawn's question about  
19 streamline reporting and what the co-permittees feel, I  
20 think from the San Diego co-permittees perspective, the  
21 level of reporting probably would not change under this  
22 new structure, but there will be fewer reports it to  
23 read so I think the information will be a little more  
24 user-friendly and accessible. That would be my  
25 response.

1                   WQIPs really provide an opportunity to  
2 prioritize resources. We're permitted to prioritizing  
3 water quality problems that need correction, the  
4 sources contributing to those problems as well as the  
5 geography of the watersheds that are focused on the  
6 most important problems.

7                   And as part of the WQIP process, we're  
8 committed to figuring out where our limited resources  
9 can be best put to use, because as everybody knows when  
10 everything is a priority nothing is a priority. So  
11 there's a number of features of the water quality  
12 improvement plans that really take the next step into  
13 accountability, measurability, and accountability for  
14 co-permittees.

15                   Each water quality improvement plan will  
16 have water quality based goals with associated time  
17 lines. Those are clear and measurable standards.  
18 Co-permittees will be given the flexibility to identify  
19 effective actions using sound science. That's a  
20 positive. The WQIPs will be vetted through a very  
21 significant public state or comment process. So before  
22 they get adopted by the executive officer, the public  
23 will have a chance to input.

24                   So the water quality improvement plan is not  
25 a free ride. It's a very rigorous process, and it's

1 very measurable and outcomes based.

2                   And of course the other benefit to you as a  
3 regional board is that developing very rigorous water  
4 quality improvement plans will obviate the need to have  
5 to develop really costly TMDLs in the future.

6                   So this is our first comment in terms of  
7 what would need to be changed in the current draft and  
8 it has to do with compliance provisions. How is  
9 compliance measured under this permit. There's been a  
10 lot of reference to Provision A which is the section of  
11 this Prohibitions and Limitations. Let me just  
12 describe some of what's required right now. We think  
13 some of the compliance requirements are conflicting so  
14 first of all, you have effluent limitations that  
15 require pollutants and storm water to be reduced to the  
16 maximum extent practicable. This was the standard that  
17 was the original intent of the Clean Water Act when it  
18 was amended to bring storm water into the NPDES  
19 program.

20                   NEP standard has been re-affirmed in both  
21 the state board and EPA policy. NEP is the appropriate  
22 standard because of a lot of the reasons I just  
23 described. Systems with thousands of outfalls, limited  
24 controls. You can't do everything everywhere, so  
25 maximum extent practicable is appropriate.

1                   And when a Blue Ribbon panel of experts was  
2 asked to look at that question they agreed and they  
3 recommended that NEP be the standard for MS4 permits.  
4 But at the same time in the provision of this permit  
5 you have receiving water limitations and what do those  
6 require? Those require that every outfall, every point  
7 of entry from the MS4 into a receiving water you may  
8 never discharge any kind of pollutants or flow that  
9 causes or contributes to a violation of water quality  
10 standards. Those receiving water limitations apply to  
11 every point of the watershed. So that's why you're  
12 hearing consistently that there's a risk of  
13 noncompliance from day one. We know that we will never  
14 be able to comply at every drain at all times so that  
15 presents a real risk of liability for co-permittees.

16                   Even if you ignore the possibility of money  
17 being wasted on fighting potential lawsuits, the  
18 receiving water limitations as written seem to be  
19 inconsistent with the direction you heard from board  
20 staff today in terms of prioritizing drains,  
21 prioritizing resources, so that you're focused on real  
22 change. Figure out what your most important problem is  
23 and try to improve it the best you can. With this  
24 receiving water limitation language in the permit, you  
25 just have conflicting standards.

1                   And then finally, in Attachment E you have  
2 TMDLs. So TMDLs are really developed for prioritized  
3 water bodies. And the irony of this is where as a TMDL  
4 we definitely have the concerns about the attainability  
5 and achievability of the TMDL. Even in cases where  
6 TMDLs have been developed for priority waters, they're  
7 given a time line; 10 years, 20 years to comply. So  
8 you really have this kind of perverse situation where  
9 your TMDLs have a compliance schedule yet you have a  
10 receiving water language that applies day one to every  
11 portion of your watershed. So it doesn't seem to make  
12 sense.

13                   So in terms of what we would request, we're  
14 asking to do exactly what the L.A. Board just did last  
15 week, which is to develop language that clearly links  
16 these innovative water quality improvement plans that  
17 are goal oriented and measureable to permit compliance  
18 because if those WQIPs aren't linked to permit  
19 compliance, what incentive is there for innovation and  
20 really pushing forward to make those plans creative and  
21 effective?

22                   So I think it's inappropriate as you might  
23 hear in other forums to refer to the watershed plan  
24 approach as constituting compliance as a safe harbor.  
25 It's not a safe harbor. These are very expensive

1 plans, and real change is going to happen.

2 So with that, I'm going to pass it over to  
3 Ruth Cole with the City of San Diego, and she's going  
4 to talk about some of our concerns with the TMDLs.

5 CHAIRMAN DESTACHE: Ruth, is this part of  
6 the City's ten minutes?

7 MS. COLE: Good afternoon. My name is Ruth  
8 Cole. I'm with the City of San Diego. And today I'm  
9 representing the co-permittees to talk about TMDLs.

10 But the whole thing is, you know, we've  
11 heard that the permit does not include an option for  
12 expressing the WQ bells as BMPs, okay? This was  
13 allowed and written into the TMDL, particularly the  
14 bacteria TMDL on page A-41. And we've heard it's  
15 acceptable by US EPA to have BMP-based compliance as  
16 long as it's able to demonstrate that we are in  
17 compliance with the wasteload allocations that are  
18 written out during the TMDL process.

19 The WQ bells as written are likely to  
20 consist of the receiving water limitations and will  
21 require, and we want them to require, the implementation  
22 of the BMP program to achieve the TMDL requirements  
23 within the receiving water.

24 The BMP-based WQ bells for TMDLs are already  
25 in some California permits. In Region 4, the L.A.

1 trash TMDL has BMP-based requirements. The Santa Ana  
2 Regional Board also has the Santa Ana River bacteria  
3 TMDL that is BMP-based.

4           So what we're asking for is in Attachment E  
5 to add an option for BMP-based compliance with the  
6 wasteload allocations as envisioned by the TMDLs. The  
7 BMPs can be laid out in the outcome-based WQ, water  
8 quality, improvement plans, so everybody knows what  
9 we're talking about. And the numeric WQ bells can  
10 remain as a backstop to the BMPs if they don't succeed.  
11 So there's an option here to do the BMP-based and  
12 therefore move forward if they don't work with the WQ  
13 bells.

14           Our third comment is by applying the water  
15 quality objectives as effluent limits. The permit  
16 limits the ability to target hot spots and increase  
17 efficiencies by each municipality and by each watershed  
18 collectively. The TMDLs included have extensive  
19 analysis and modeling already at this point.

20           We've gone through this with the bacteria  
21 TMDL. It took us, what, eight years to bring it  
22 forward? I was at the first meeting and I was at the  
23 last meeting, okay? We've done this with the Los  
24 Penasquitos lagoon TMDL where we, the City, stepped up  
25 at the request of the regional board to help with the

1 TMDL. And there's a lot of modeling, a lot of writing  
2 a lot of collaboration, but we brought forward I think  
3 the first TMDL to you that was supported by not only  
4 the EPA but the environmental groups and the  
5 municipalities, okay?

6           So what we're asking for is that Attachment  
7 E -- what we're asking for in our request is that the  
8 effluent limits in Attachment E should be based on the  
9 water quality -- on the wasteload allocations, not the  
10 water quality objectives.

11           In addition, the BMP-based compliance,  
12 Attachment E, should provide an option to demonstrate  
13 compliance by meeting load-based wasteload allocations.

14           Here I have a fairly cool little diagram for  
15 you. This is Chollas Creek. We have a dissolved  
16 metals TMDL in Chollas Creek, a lot of it caused by  
17 aerial deposition. you've heard us talk about copper  
18 break pads. The City was very active in that on behalf  
19 of the other co-permittees. But here's the watershed,  
20 the north fork and the south fork. Here's the north  
21 fork, here's the south fork, and then as we go through  
22 you'll see these are all the outfalls we have in  
23 Chollas Creek 831 outfalls. And here would be  
24 representative of major contribution locations just for  
25 us to sample within Chollas Creek.

1                   So getting in here and doing monitoring at  
2 all the outfalls with concentration-based TMDLs can be,  
3 let's just say, very costly, okay? And very  
4 time-consuming I honestly don't think we have enough  
5 people or laboratories to do that extensive amount of  
6 work, okay? And here's where we talk about the  
7 outfalls must be addressed by water quality objectives  
8 and then the wasteload allocations.

9                   So my last point, I wanted to talk to you  
10 particularly about the bacteria TMDL. As you heard, I  
11 was there from the beginning to the end, okay?  
12 Basically, it's one of the most challenging TMDLs in  
13 the United States. The weather requirements will  
14 require us to go back to prehuman because the  
15 weather-based requirements takes up the total wasteload  
16 allocation, okay? I mean nature takes up all of it.  
17 And so you're basically, and we said this during the  
18 TMDL hearings, we have to have our water quality  
19 comparable to drinking water standards to be discharged  
20 through any of the outfalls. So that's a really big  
21 deal for us.

22                   One of the things we want is to make sure  
23 that only include the TMDL requirements through the  
24 permit term, okay? During this permit, the TMDL's good  
25 for 20 years, right? It was adopted in 2010, approved

1 by EPA I believe approximately 12 months later, about  
2 March of 2011, and approved by the office of  
3 Administrative Law in October of 2010.

4           And we have 20 years to comply and there's  
5 all sorts of interim dates in there. Those interim  
6 dates, the ones that fall within this permit time span  
7 should be included but the ones for 20 years out,  
8 things may change, we may have our reopeners. We may  
9 bring back through special studies some of the  
10 information that you want to hear about to modify  
11 things. So we're recommending that you only put in the  
12 requirements that are during this time period. Let's  
13 see. And we also want the stakeholders. We are doing  
14 special studies. The co-permittees are doing a  
15 reference beach study again for the second time. We  
16 are also doing a reference creek study, and the City of  
17 San Diego has done bacteria work in Tecolote for 40  
18 years. It's not that -- we're not sitting back  
19 waiting, okay? We're getting out there to do the work.

20           And it seems like the permit conflicts with  
21 the revised TMDL, okay? There's some issues with that.

22           And then also you need to be aware that EPA  
23 is coming out with new standards for bacteria later  
24 this month. They had it advertised last spring,  
25 comments were due I believe last April or May, and now

1 they're going to be coming back out with their new  
2 bacteria standards which is going to change everything,  
3 okay? Change those compliance points for us. We may  
4 have to go back and recalculate everything anyways. So  
5 a reopener is very important in this TMDL because  
6 there's all sorts of things changing.

7 I also found it very interesting that staff  
8 told the stakeholders during the TMDL process that the  
9 implementation details would be worked out during the  
10 permit phase. Okay? This morning I heard you can't  
11 work out any of the details in the implementation phase  
12 in the permit because it had to be done during the  
13 TMDL. So I find that very disconcerting that we had  
14 staff telling us one thing during the development of  
15 the TMDL and now they're coming back saying -- and it's  
16 different staff, understand, different people, but  
17 we're still hearing conflicting things that, you know,  
18 we can do -- we can modify and change the  
19 implementation plans during the permit phase and now  
20 we've been told we can't.

21 So, at this point, I would like to turn it  
22 over to Julie Precopio with the City of Santee. She's  
23 going to talk to you about hydromodificaiton.

24 MS. PRECOPIO: Good afternoon. I'm going to  
25 talk briefly about the development planning aspect of

1 the draft permit.

2                   First I'd like to acknowledge that the  
3 regional board staff did make some significant changes  
4 to the section in particular and we believe that the  
5 workshop process was very effective and, you know, the  
6 changes that they made for the most part were good  
7 changes. So our comments were all related today to the  
8 hydromodification management plan. First, the draft  
9 permit revises the board adapted San Diego  
10 Hydromodification Plan prematurely and without  
11 technical basis.

12                   The San Diego HMP is a technically robust  
13 document by any standards. It was prepared by the best  
14 experts that we could find and reviewed by a technical  
15 advisory committee that comprised of well known and  
16 respected individuals from academia, consulting  
17 engineers, environmental groups, development industry  
18 representatives, and resource agencies. Development of  
19 San Diego's HMP took more than two years and cost the  
20 taxpayers over a million dollars. The document was  
21 fully vetted through a public review process and in  
22 2010 a San Diego HMP was adopted by the regional board.  
23 And last year we began implementing the plan and at  
24 this point, we have no data or information that the  
25 plan isn't working exactly as it's designed. In fact,

1 it's been used as a model for subsequent HMPs so we  
2 feel pretty good with it.

3           Now is not the time to change courses.  
4 We're in the process of conducting a one and a half  
5 million-dollar monitoring plan to collect real world  
6 data to support the science behind our HMP. Regional  
7 staff is proposing significant changes to a very robust  
8 document without technical data to support the change.

9           You heard regional board staff speak earlier  
10 and show the adaptive management diagram where you  
11 plan, you implement and you monitor and you assess.

12           Well, we're -- we're in the implementation  
13 just beginning to monitor and we're being asked to  
14 revise the plan and that's really setting us back.  
15 It's not the right way to move forward. So we ask that  
16 the San Diego permittees, we're requesting today, that  
17 the regional board reaffirm your previous resolution  
18 that adopted the San Diego HMP and that we be allowed  
19 to complete the monitoring plan to assess the HMP  
20 before any changes are made. We have a substantial  
21 investment in time and taxpayer dollars to make changes  
22 at this point. We believe it's a scarce waste of  
23 resources.

24           Specifically one of the changes that the  
25 regional staff is proposing to make to our adopted HMP

1 is fundamental. Where do we need to apply HMP  
2 controls?

3           The draft permit proposes to expand the  
4 application of HMP controls to areas where there will  
5 be no benefit. The goal of the hydromodification plan  
6 is to protect streams from unnatural erosion that can  
7 be caused by development so it's important to remember  
8 that we're talking about flow rates leaving a site and  
9 not water quality. Every site has to ensure water  
10 quality no matter what so water quality is protected.

11           But with erosion protection in mind, the San  
12 Diego HMP provided detailed recommendations where HMP  
13 should be applied. And after extensive modeling and  
14 technical analysis and after consulting with the  
15 technical advisory committee, it was determined that in  
16 some cases HMP controls are simply not needed to  
17 prevent downstream erosion. Certain areas do not have  
18 the potential to be impacted by upstream development.

19           For example the ocean streams that are  
20 deposition or they're building of sediment, they're not  
21 eroding; concrete line channels or other channels that  
22 are designed to accept increased flows without eroding;  
23 these do not require upstream HMP controls. So we  
24 believe that these areas should be exempt from the HMP  
25 requirements because they do not need to be protected

1 from unnatural erosion caused by development and  
2 applying costly HMP controls to these sites that drain  
3 to these areas will simply serve no benefit.

4           You heard Ms. Arias speak a little bit  
5 earlier about the options for off-site compliance and  
6 we think that is a great idea to allow a project to  
7 comply off site to some sort of channel restoration or  
8 creek restoration project. However, obligating a  
9 project to pay for some sort of off site HMP  
10 improvements when the project itself has no impact or  
11 no potential to cause downstream erosion just isn't  
12 appropriate. So we request that the HMP exemptions  
13 identified in the board-adopted San Diego HMP be  
14 maintained so HMP controls are only applied where  
15 they're needed.

16           And, finally, my last comment on the HMP is  
17 another change that the permit is proposing to make is  
18 to require projects to reduce flow to naturally  
19 occurring rates rather than to preproject rates. And  
20 you've heard this discussed by other folks today.

21           What does this mean? This means that  
22 previously developed sites have to drastically reduce  
23 the rate of flow leaving their site in order to match  
24 undeveloped sites conditions. What it means is much  
25 larger volumes of stored water translates into higher

1 costs and really without any benefit. So the result is  
2 redevelopment projects that are widely accepted and is  
3 beneficial to water quality are made less feasible.

4           And the particular challenge with this  
5 particular item is that this requirement mandates  
6 mitigation beyond project's impacts. You'll here later  
7 during the attorney's presentation that cities are  
8 limited to what we can require of a development  
9 project. Conditions and requirements must be tied to a  
10 project impact. This language goes beyond a project  
11 impact. So we believe that project should be required  
12 to match preproject flow rates. So our request here is  
13 very simple. We ask that the language in the project  
14 predevelopment naturally occurring be replaced with  
15 preproject, and in this way we can especially sure that  
16 projects are required to mitigate their impacts and not  
17 beyond.

18           And that concludes the comments from the San  
19 Diego co-permittees. In summary I'd just like to say  
20 that we really do appreciate the regional board's  
21 staff's efforts to work with us. It's been a great  
22 process to date and we hope to continue our work.  
23 There is more to be done and we very much -- we ask  
24 that you direct your staff to sit down with us to  
25 incorporate our requests, specifically direct staff to

1 work with co-permittees to develop water quality  
2 improvement-based compliance language, direct staff to  
3 incorporate the BMP-based compliance to include permit  
4 language to ensure consistency with adopted TMDLs,  
5 insert language that requires the permit be reopened,  
6 and only TMDL requirements that -- TMDL requirements  
7 that fall outside of this permit term not be included.  
8 And lastly, that you reaffirm your previously adopted  
9 San Diego HMP and replace the predevelopment naturally  
10 occurring language in the project --

11 (Interruption.)

12 MS. PRECOPIO: I'll just wrap up without the  
13 mike.

14 We believe that these requests ensure  
15 consistency with your previous direction. And that it  
16 will move us toward our shared goal of water quality  
17 improvement. And unless there's questions, then the  
18 Orange County co-permittees I believe are permitted to  
19 speak next.

20 CHAIRMAN DESTACHE: I think we're going to  
21 wait until all three of your presentations to ask  
22 questions of which I have a couple.

23 (A recess is taken.)

24 MR. BOONE: Good afternoon, Chair, members  
25 of the board. I'm Richard Boone with the County of

1 Orange. I'm going to bookend three technical  
2 presentations. It will certainly be becoming apparent  
3 to you there's a recurrent theme here, but I really  
4 think if you can stick with the Orange County piece of  
5 this we're going to bring some additional details to  
6 the issues that will really help you understand what  
7 the real policy issues are before you.

8           Just wanted to note before I start if you're  
9 following the news from Europe, King Richard, III was  
10 dug up from beneath a supermarket parking lot earlier  
11 this year and Shakespeare credits him with the immortal  
12 line, "My kingdom for a nine-volt battery." It goes  
13 downhill from there. So I'm going to very quickly go  
14 through some background information from the Orange  
15 County storm water program. We have three principal  
16 policy issues, three principal areas of concern for you  
17 that my colleagues are going to talk to.

18           So, very quickly, Orange County storm water  
19 program, we have 22 years of program implementation  
20 experience. Some of us were there for the very first  
21 permits, including myself, in 1990. Collectively  
22 without co-permittees cities we bring literally  
23 hundreds of years of experience to the practice of  
24 storm water management.

25           Every time we develop a new program element

1 to comply with the requirements of your staff or their  
2 counterparts in some other region, we apply nationally  
3 recognized consultant expertise. Over the years, we've  
4 gone through very credible recognition for some of our  
5 key program elements.

6           We've just completed at the start of this  
7 year a new program for land development, transitioning  
8 the way we condition land development from treat and  
9 release to on-site retention. It was recognized -- the  
10 engineering excellence was recognized by the Orange  
11 County Engineering Council, and we've also got  
12 California legislature recognition for that project,  
13 public education and outreach. We've gotten awards  
14 fromu or peers, California Water Association, as well  
15 as many public awards from the industry for our  
16 efforts.

17           The water quality management program that  
18 we've established for land development, it was the  
19 product of an 18-month very intensive collaborative  
20 advisory process. We estimate that we spent between  
21 1.2 and \$1.5 million putting the program in place. In  
22 north Orange County we now have 12 months of  
23 implementation experience.

24           Since 2002 we estimate that about 8 percent  
25 of the urban land area in Orange County has been

1 subject to, at least intially, the treat and release  
2 approach to the conditioning of the land development  
3 water quality protection. So literally hundreds of  
4 these projects have gone in with these water quality  
5 protections.

6 In terms of applying that expertise to that  
7 water quality renewal -- still getting over Richard,  
8 III?

9 CHAIRMAN DESTACHE: I abdicated.

10 MR. BOONE: I think one of our concerns is  
11 when we go through permit renewal, there is a period of  
12 introspection where we, the county, and the permittees  
13 put together our evaluation of the program. We  
14 document in a report of the waste discharges on permit  
15 application, and that really gives your staff an  
16 opportunity to tap into our experience and where we  
17 think the program should go. With a regional permit,  
18 we've circumvented the report of waste discharge  
19 process, and that is a concern.

20 In terms of water quality improvements what  
21 have we generated or what can we look back on over the  
22 last 22 years and hang our hats on? We'll talk  
23 extensively today what we'll continue to talk about  
24 water quality and bacterial water quality. We get most  
25 recently in the Heal A Bay report card. We are getting

1 excellent results and recognition for our efforts in  
2 Orange County.

3           We've also had a history of using innovative  
4 regional BMPs to solve particular water quality hot  
5 spot issues.

6           Lastly, we have spent tens of millions of  
7 dollars on monitoring. And I wanted to give you one  
8 very small piece of what we found from that. We would  
9 really like all of the work we do on environmental  
10 assessment to better inform the permit renewal process.  
11 We talked about beach water quality. This is a time  
12 series plot of fecal coliform bacteria and  
13 concentrations at the outlet of Aliso Creek. The red  
14 line marks water quality standard. And you can see  
15 since 2002 we have some pretty significant trends in  
16 the right direction and even in our inland stream  
17 systems in dry weather we're getting pretty close to  
18 contact standards. So there's some very laudable  
19 successes that we think we've achieved.

20           So the critical policy issues of why we're  
21 here today, we think the compliance needs to be  
22 attainable. And I'll talk very briefly about that and  
23 then my colleagues are going to focus in on three  
24 specific areas of concern.

25           The bacteria TMDL, Green Streets,

1 hydromodification, and I think they'll give you very  
2 useful information so you'll understand the issues.  
3 And then I will conclude with some wrapup remarks.

4           So compliance needs to be attainable. All  
5 of the speakers I think before me have talked about the  
6 receiving water limitations section of the permit.  
7 This notion that as soon as the permit is adopted we  
8 are in violation if we cause or contribute to an  
9 exceedence.

10           We know that runoff retention now is the  
11 preferred management strategy for addressing this  
12 condition of watershed imperviousness. And obviously  
13 sustained meaningful environmental outcomes are going  
14 to be tied to development cycle and retrofit  
15 opportunities where they present themselves.

16           So this really is certainly for wet weather  
17 a long-term endeavor. And I think the permit  
18 recognizes that with the WQIP concept that that needs  
19 to be the compliance mechanism.

20           And this has become an issue for us this  
21 year because of the ninth circuit decision. The ninth  
22 circuit, the opinion from the court is there in the  
23 second bullet. There is no textual support for the  
24 proposition of compliance with certain provisions, the  
25 management process, noncompliance with the discharge

1 provisions. So that decision is why this is suddenly  
2 of paramount concern to local agencies and districts  
3 regulating the storm water mandate.

4 We've noted the workshop, state board  
5 workshop, on November 20th, on December 4th, there's an  
6 aspect of that decision which is being argued in front  
7 of the U.S. Supreme Court.

8 So the recommendation, our recommendation to  
9 you, is direct your staff to work with the  
10 co-permittees to make the WQIP, the compliance  
11 mechanism for the permit. And also direct your staff  
12 to advocate for WQIP-based compliance mechanism for the  
13 state board workshop on November 20th.

14 So with that, I'm going to have the next  
15 policy issue, bacteria TMDL, over to my colleague.

16 MS. PALMER: Thank you. My name's Nancy  
17 Palmer. I'm with the City of Laguna Niguel. For the  
18 last 10 years I've been with the Orange County  
19 Stakeholder Advisory Group. That group started up  
20 actually not too long after this regional board issued  
21 a clean up and abatement order to Laguna Niguel for  
22 bacteria coming from one of the city's outfalls to  
23 Aliso Creek. So by the time the bacteria TMDLs were  
24 approved in 2010, I had already spent close to \$10  
25 million personally in city general funds and state

1 board grant funds to construct targeted treatment and  
2 source controls for bacteria in the Aliso water  
3 drainage. And I'm happy to report that the dry weather  
4 bacteria load in that area has dropped over 90 percent.  
5 So it's been a long road generally. Working on the  
6 bacteria TMDLs, it's taken 10 years of discussion, a  
7 lot of good faith effort by stakeholders, and that  
8 group included the permittees, the environmental  
9 groups, the federal EPA, your staff and this board. We  
10 didn't get everything that we would have preferred on  
11 those TMDLs, but together we were able to craft  
12 language for the TMDLs, and then for the basin plan  
13 amendments that all of us could support, because all of  
14 us really did want to move forward with it. And I can  
15 assure you that all of the permittees have continued  
16 moving forward in the two-plus years since the bacteria  
17 TMDLs were approved.

18           We spent that time developing our load  
19 reduction and monitoring plans and started critical  
20 local research projects based on what was agreed to in  
21 the TMDLs and the basin plan amendments. And those  
22 plans were actually just submitted to the board in  
23 September. So now we come to the point where the total  
24 maximum daily loads get formally incorporated into the  
25 MS4 permit. I will say I see a lot that I like in this

1 draft of the MS4 permit. I think your staff has done a  
2 great job in consolidating all of the different  
3 elements, and I do think the stakeholder workshops over  
4 the summer yielded some really good progress on all of  
5 the pieces and including Attachment E, the total  
6 maximum daily load piece of it, but I do think there  
7 are some really important issues in Attachment E that  
8 really still need to be resolved.

9           The basic problem is that the total maximum  
10 daily load provision in Attachment E of the permit are  
11 contrary in critical ways to what was approved by you  
12 in the TMDL basin plan amendments. This actually  
13 contradicts federal law. The TMDL provisions in MS4  
14 permits have to be consistent with the assumptions and  
15 requirements of basin plan amendments. So how is the  
16 draft permit different? First of all, it doesn't  
17 include the calculated maximum daily loads or the  
18 wasteload allocations that were based on those.

19           Second, it disregards the intention of basin  
20 plan amendments that the water quality based effluent  
21 limits can be based on BMP programs. Also the draft  
22 permit has moved our chronological starting line for  
23 the program, tightened prescription on our sampling  
24 performance. It's omitted key methods for us to  
25 demonstrate compliance, and it has failed to

1 acknowledge the reopener provision that assures us of a  
2 midstream course correction. The net result is it's  
3 not going to be feasible for us to stay in compliance.  
4 We will be violating numeric effluent limitations that  
5 are built into this draft permit and that means that we  
6 will all be looking at potentially mandatory minimum  
7 penalties. I want to take those points one at a time.

8           First a lot of time and effort was spent in  
9 developing the bacteria total maximum daily loads to  
10 calculate and allocate numeric, daily, monthly, and  
11 annual and seasonal bacteria waste loads to the MS4  
12 permittees. Those wasted allocations were then  
13 incorporated directly into the TMDL basin plan  
14 amendments. Federal law requires that water quality  
15 based effluent limits in an MS4 permit which is what  
16 makes the TMDLs enforceable have to be consistent with  
17 any available TMDL wasteload allocations. But the  
18 draft permit just leaves the calculated wasteload  
19 allocations entirely out. Instead the draft sets up  
20 bacteria concentrations as water quality based effluent  
21 limits. What's the practical difference? The  
22 wasteload allocation describes the total number of  
23 bacteria in the flow from MS4 over the course of a day  
24 or a season as a function of the total flow volume and  
25 the average concentration.

1                   The draft permit is asking how many bacteria  
2 happen to be in one sampling vial. For me, as an MS4  
3 manager trying to stay in compliance, that is an  
4 insurmountable difference as has been stated already by  
5 other speakers.

6                   Bacteria concentrations are unstable  
7 inherently. They are alive. They multiply. They  
8 divide. I can reduce and control their numbers by the  
9 millions over in the course of a day. We cannot  
10 control how many might end up in every vial in that  
11 flow.

12                   Next, the text of the basin plan amendments  
13 states, and I'm quoting here, "Water quality based  
14 effluent limits may be expressed as numeric effluent  
15 limitations when feasible and/or as a best management  
16 practice program as expanded or better-tailored BMPs,  
17 but the draft permit doesn't express the water quality  
18 based effluent limits as a better tailored program of  
19 BMPs or as a TMDL wasteload allocations. Instead the  
20 draft permit expresses the water quality based effluent  
21 limits as a numeric effluent limitations in the form of  
22 water quality objective concentrations."

23                   It just sort of jumps over that little  
24 caveat, when effluent limitations are feasible.

25                   The state water board's own Blue Ribbon

1 panel made findings on exactly that subject and  
2 concluded that numeric effluent limits in MS4 limits  
3 are not reasonably achievable for a city government to  
4 precisely control the concentration of bacteria in  
5 essentially every teaspoon of water that flows from its  
6 MS4 through thousands of individual properties.

7           When the board approved the bacteria TMDL  
8 basin plan amendment couple of years ago, they  
9 committed specifically to a five-year reopener. The  
10 board made that commitment because it recognized that  
11 the TMDL had some inherent flaws because of some very  
12 large gaps in the data that were used to make the TMDL  
13 calculations. The plan was that the permittees would  
14 use the five years, do research, flesh out the local  
15 data, do some number crunching, and bring back more  
16 locally appropriate wasteload allocations that exceeds  
17 frequencies for this board's approval and  
18 consideration.

19           With the reopener, the updated allocations  
20 and frequencies would reset the bar that permittees  
21 would have to jump over, whether that be higher or  
22 lower. And the permittees, I have to tell you, we are  
23 doing our part. We put together funding agreements and  
24 we started the research last winter in conjunction with  
25 the Southern California Coastal Waters Research

1 project, and that is ongoing and we expect it to be  
2 ongoing for several more years. So we feel that right  
3 now the draft permit isn't doing its part in  
4 recognizing that that course correction is supposed to  
5 have been built into the process, and the process at  
6 this board at this time had agreed was appropriate and  
7 necessary.

8                   And kind of adding into that, the draft  
9 permit also proposed to tighten up our samplings  
10 requirements for weather and effectively changes our  
11 starting line for measuring our process towards dry  
12 weather compliance. The language changes mean to me  
13 that I have to do my bacteria concentration sampling  
14 during the storm seasons worst case conditions. I also  
15 get no credit for the millions of dollars I've already  
16 spent or the progress I've already made concerning dry  
17 weather discharges over the last 10 years. This is not  
18 the language that we in the board were able to support  
19 in the basin plan amendments.

20                   Looking at the far end of the compliance  
21 time frame, the total maximum daily load basin plan  
22 amendments indicate that the co-permittees would  
23 demonstrate their compliance with the final water  
24 quality based effluent limits by demonstrating that  
25 they have and are implementing structural and

1 nonstructural best management practices to control all  
2 anthropogenic sources of indicator bacteria, and that's  
3 straight out of the amendment. But the draft permit  
4 does not allow for us to demonstrate compliance by what  
5 we do to control sources averaging flows. Instead it  
6 requires to meet precisely the water quality  
7 concentrations objectives, which we stated over and  
8 over again is not really feasible to do.

9           So how does that all add up? The water  
10 quality based effluent limits as currently stated are  
11 not going to be reasonably achievable? The  
12 co-permittees will not be able to demonstrate  
13 compliance. We will be in violation of an enforceable  
14 numeric effluent limit within our permit which means if  
15 reported alone we will be subject to mandatory minimum  
16 penalties.

17           When this happens, the board will not have  
18 the discretion to take circumstances into account or to  
19 reduce the minimum penalties which are currently  
20 required to be assessed at \$2 a gallon. To put that in  
21 perspective, that one outfall that we had an abatement  
22 order on it blows at approximately one-tenth of a cubic  
23 foot per second. Over the course of a day, that comes  
24 to \$175,000. Aliso Creek flows at about 5 cubic feet  
25 per second. That comes out of compliance, that's about

1 \$6 million a day. I hope that the board sees the  
2 wisdom and tries to avoid that scenario.

3 What corrections do we think are needed?  
4 First, I actual agree with the EPA, with Cindy Lin.  
5 Incorporate the TMDL wasteload allocations into the  
6 permit as water quality based effluent limits.

7 Second, correct the starting line and the  
8 monitoring requirements that got changed.

9 Third, reaffirm the reopener commitment to  
10 correct what's really our finishing line criteria.

11 And fourth, allow our compliance option to  
12 the implementation of a strategic program of best  
13 management practices that are designed and calculated  
14 to achieve the TMDL wasteload allocations.

15 So kind of a summary of that, we recommend  
16 that you direct your staff to work with the  
17 stakeholders to correct all the TMDL provisions.  
18 They're inconsistent with federal law, contrary to the  
19 intent of the basin plan amendments, and could result  
20 in nondiscretionary mandatory minimum penalties.

21 Thank you.

22 CHAIRMAN DESTACHE: Thank you very much.

23 MR. TAYLOR: Scott Taylor supporting the  
24 Orange County Storm Water Program, and realizing that  
25 we've drawn and coveted after one spot. I'll try to

1 move along here.

2 I just want to spend a few minutes talking  
3 about the enhancements we'd like to see in the permits  
4 sections that address green streets and  
5 hydromodification mitigation plan.

6 So our first item is the application of new  
7 and redevelopment standards to roadway projects. And  
8 roadway infrastructure is unique. The right of way is  
9 limited. There are technical constraints in terms of  
10 traffic design and building design and engineering, and  
11 roadways have safety as a primary objective. The  
12 proposed new and redevelopment standards treat roadway  
13 projects the same as any other land project mandating  
14 that bio-retention or bio-filtration can be used. the  
15 roadway project, this may invoke a lot of unintended  
16 consequences that we've heard quite a bit about today,  
17 this will be at odds with our obligations under the  
18 public resources code to kind of balance the competing  
19 interest among state resources or stop some projects  
20 all together, and I'd like to illustrate these points  
21 with a couple of examples for you.

22 The first example is a green streets  
23 retrofit project which is actually underway in existing  
24 urbanized residential areas. An integrative project  
25 (inaudible) street rehabilitation and mobility

1 improvements on a bicycle boulevard and drainage and  
2 water quality improvements. It would trigger the new  
3 and redevelopment projects because of reconstruction of  
4 some of the streets and the trenching for the storm  
5 drain improvements.

6           So you can see just in the basic  
7 constraints, you can see the flow of the water, and  
8 these are pretty narrow streets, actually constructed  
9 in the '20s, so kind of a good model for LID, actually.  
10 And then here you can see the existing driveways which  
11 is another layer with some physical constraints. You  
12 add in the utilities and the street trees which we  
13 would want to preserve under a project like this.

14           And, finally, the fire department is  
15 obviously very picky about their turning (inaudible)  
16 and getting their trucks in and their access.

17           So you can see here, then, the final  
18 maximized bio-retention area, if you will, and that's  
19 these two spots right here for this project. As many  
20 areas in California, this site is underlaid by clay  
21 soils. And the bio-retention units, what could be fit  
22 in this location, are about 5 percent of the size that  
23 would be required under this permit. So the project  
24 and its benefits may not have otherwise gone forward  
25 with the mandated BMP sizing that's put in this draft

1 permit.

2                   The second example is a new roadway project  
3 in a greenfield area. And the purpose of this  
4 illustration is to show the grading constraints that  
5 some roadway projects have. Grading is typically  
6 minimized to avoid impacts to natural areas and hashtag  
7 conversions. Implementation of bio-retention along a  
8 road like this would increase the project footprint  
9 dramatically requiring the take of an additional area.  
10 And you can see here you've got a lot of slopes that  
11 you're chasing. Sometimes they're greater than two to  
12 one. So anything that you add along the parkway areas  
13 is going to extend that impact area out, in this case,  
14 the San Clemente coastal (inaudible).

15                   So analysis of balancing these types of  
16 project impacts is best accomplished at the planning  
17 levels through EPA. We estimate about 3.3 million to  
18 incorporate the hydromod and bio-retention areas as  
19 depicted there graphically into this project.

20                   So, to summarize on this point, a more  
21 flexible standard is needed for street infrastructure  
22 projects. Use of the proposed new development,  
23 redevelopment for streets will result in a  
24 disproportional amount of capital outlay for marginal  
25 environmental benefit in some cases. Other NPDES storm

1 water permits recognize the unique constraints of  
2 streets, including a recently adopted Caltrans permit  
3 which allows for a variety of BMP approaches. There  
4 are emerging BMPs such as permeable friction course  
5 overlays that are compatible with existing  
6 infrastructure. They're economical, they have dramatic  
7 water quality benefits, but they would really be  
8 excluded under this permit for being used. So we ask  
9 the board staff -- ask the board to direct staff to  
10 include the EPA Green Streets compliance as the  
11 compliance standards for roadways.

12               So the second to last subject that I would  
13 like to tee up is the elimination of key exceptions  
14 from the hydromodification litigation requirements,  
15 specifically the accommodations for properties draining  
16 to engineered channels. For engineered channels,  
17 there's no threat of erosion for the range of flows  
18 that have been identified by the HMP program. We  
19 understand the main reason for engineering channeling  
20 exemption was eliminated was to allow for the potential  
21 for future channel restoration. But in urban areas the  
22 restoration of channels isn't really going to be  
23 feasible, and I'd like to demonstrate that with a  
24 couple of examples for you. This is a Prima Deshecha  
25 watershed again in San Clemente. And you can see this

1 is what it looks like today. It's a fairly urbanized  
2 residential area. This is what it looked like back in  
3 1947, so virtually no development in the watershed.  
4 And you can see down here, this is just a zoom down by  
5 the coast of what, essentially, the channel flow line  
6 looked like there in blue prior to development. And  
7 then the green is what it looks like today. And then  
8 here's the overlay with development back in.

9           So again it's pretty obvious and pretty  
10 clear that this is going to be impossible to restore  
11 the original channel alignment. And I think since the  
12 alignment and slope can't be restored to predevelopment  
13 conditions, we're still interested in attaining some of  
14 the preexisting functions and values for creeks like  
15 this, but if you're looking at an in-stream  
16 rehabilitation project that's going to be done within  
17 the physical constraints that exist today in terms of  
18 channel slope, available area, and available  
19 cross-section and the urbanized discharge rate that's  
20 there. So there's really no benefit in reducing the  
21 discharge rate to predevelopment conditions on a  
22 property by property basis such as contemplated under  
23 this order since the in-stream enhancement project must  
24 consider all of the changes that occurred in the stream  
25 in developing a new design.

1                   Second example. This is the next watershed  
2 down in San Clemente, Segunda Deshecha Canada. Here's  
3 what it looks like today. Here's the 1946/1947 aerial  
4 showing the channel, and then a flood plane. And  
5 what's there today? Obviously, again, limited, limited  
6 availability. But if there was a redevelopment project  
7 in Segunda Deshecha hydromodification controls would  
8 need to be applied.

9                   So in summary, we support the enhancement  
10 projects to the Segunda streams, but they must be based  
11 on the physical and engineering streams that are  
12 present. Providing a hydromodification draining to  
13 engineer channels will not change the feasibility of  
14 in-stream enhancement projects. We ask the board to  
15 direct staff to include an exemption for properties  
16 draining to engineer channels.

17                   So that's it for me. At this point, I'm  
18 going to have Richard come up and close for us.

19                   CHAIRMAN DESTACHE: Thank you for your time.

20                   MR. BOONE: So I'm going to summarize the  
21 technical part of our presentation, and it's going to  
22 be a contribution from legal counsel representing a  
23 number of the counties as part of the Orange County  
24 presentation.

25                   So in terms of critical policy areas,

1 technical policy areas that we think you need to  
2 address and provide some direction to your staff on,  
3 compliance needs to be attainable, obviously. The  
4 receiving water limitation in the ninth circuit  
5 decision.

6 We ask that the process here of permit  
7 renewal respect the prior progress in public processes  
8 that have gone on before that have laid so much in the  
9 bacteria TMDL and the basin plan amendment and how that  
10 going forward is going to be incorporated into the  
11 permit.

12 And then, lastly, as you've heard, we have  
13 some very significant concerns, policy level concerns,  
14 about how we may be required going forward to condition  
15 land development, and that really needs some very  
16 definite consideration.

17 So, fundamentally, the recommendation to you  
18 from our Orange County co-permittees is that you direct  
19 your staff to continue to dialogue with us. And with  
20 that, I'm still, with some battery time, I'm going to  
21 hand it over to legal counsel.

22 MR. HUNT: Thank you board members.

23 Jeffrey Hunt from the county counsel's  
24 office Orange County, representing Orange County.

25 We're going to submit significant written

1 legal comments so I'm not going to try to cover all of  
2 that territory in this presentation, but rather just  
3 focus on a couple of I think most significant issues  
4 that we've identified in reviewing this draft permit.

5           And I think from the speakers that you've  
6 heard more from a technical standpoint there's  
7 significant concern about some of the hydromodification  
8 requirements; in particular the elimination of the  
9 exemption from those requirements for engineered  
10 systems.

11           And from a legal standpoint why we consider  
12 that to be a significant problem is that we do feel  
13 that under the Clean Water Act there does need to be a  
14 significant factual basis for such requirements within  
15 the permit, and, in particular, a factual basis  
16 demonstrating that those provisions do essentially  
17 serve a water quality function.

18           And why we're concerned about the  
19 elimination of the exemption for engineered channels is  
20 that we don't believe that that case has really been  
21 made. It appears to be primarily motivated by a  
22 federal policy issue that favors kind of a restoration  
23 ultimately of the natural course of that channel, you  
24 know, over time.

25           And with an engineered channel, I think

1 there's a significant argument as the speaker from San  
2 Diego demonstrated when they developed their HMP plan  
3 and when the county developed its HMP plan, it did look  
4 at the issue as to whether hydromodification  
5 requirements for a particular project do in fact serve  
6 a water quality purpose or because of the nature of the  
7 channel that it's discharging in there is really no  
8 water quality need for such applying those requirements  
9 to that particular project.

10                   These provisions of the proposed permit  
11 don't allow the public entities to go through that  
12 exercise.

13                   So again, we think it's a problem just under  
14 the Clean Water Act or under the requirements of the  
15 Clean Water Act just as kind of a boots on the ground  
16 lawyer for the county. We also see it's a problem from  
17 a very practical standpoint that there is a significant  
18 amount of case law out there that does put an  
19 obligation on the county to maintain, you know, when we  
20 develop or engineer a flood control property that the  
21 property owners within the area are protected by that  
22 engineered facility have a right to essentially rely on  
23 that continued protection.

24                   And to the extent that you take actions or  
25 fail to take actions to maintain the capacity of that

1 system, the public entity is in fact exposed to  
2 liability for it. I think the slides from the previous  
3 speaker kind of demonstrate that if you basically try  
4 to start restoring those channels back to their natural  
5 states, that you do lose those capacities and you do  
6 begin exposing public, you know, private property to  
7 flood risks that didn't previously exist.

8           So we think that kind of financial exposure  
9 on a public entity is not warranted, particularly in  
10 situations where there doesn't seem to be a water  
11 quality benefit that's associated with it.

12           The other kind of legal point I'd like to  
13 make is more kind of a jurisdictional point about the  
14 whole process of the regional permits. That the way  
15 that we read the regulations is that regional permits  
16 are permitted but only under certain limited  
17 circumstances. Primarily the permits are going to be  
18 issued either on a jurisdiction basis or in situations  
19 where there is really a shared watershed, a common  
20 watershed. I think the graphic that the earlier  
21 speaker from the regional board put up showing the  
22 jurisdiction of this permit and of this regional board  
23 demonstrated that there really were multiple watersheds  
24 within this entity that really aren't connected. And  
25 what the graphic did fail to show, failed to show was

1 certain, you know, features. In particular the  
2 Cleveland National Forest which separates Orange County  
3 from Riverside county, Camp Pendleton which essentially  
4 separates Orange County from San Diego county. So  
5 these three sort of areas that are covered within this  
6 jurisdictional permits are very distinct and not really  
7 connected either physically or legally and  
8 jurisdictionally. So it seems inappropriate to apply  
9 and there really doesn't seem to be a legal basis to  
10 apply it in this particular circumstance.

11 I recognize chief counsel has a different  
12 opinion on this and has issued a letter pointing to a  
13 couple of examples. Those examples I don't think  
14 really necessarily support their arguments,  
15 particularly points to an example up in the Bay Area  
16 where the various entities actually petitioned and  
17 agreed to it, agreed to a jurisdictional permit or a  
18 regional permit.

19 And also pointed to an example up in Alaska  
20 which apparently also did fall within that one  
21 jurisdiction. The way Alaska does things is different  
22 than probably anywhere else.

23 The other point I'd like to make kind of on  
24 the regional nature of the permit is that it does tend  
25 to undercut the whole iterative process that again was

1 mentioned by your speakers as a very important part of  
2 the regulation of storm water.

3           The regulations and the practice require  
4 that a reported waste discharge be prepared at the end  
5 of every permit cycle, and the permit be based on that  
6 reported waste discharge. That is the vehicle they  
7 seek. It's the cornerstone of the process in that it  
8 does tend to assemble the data and the information  
9 learned from past permit experience and that the new  
10 permit is essentially based on that information and  
11 built on it.

12           This regional permit, the way it's being  
13 applied in this particular case is that reported waste  
14 discharge is largely kind of becoming a meaningless  
15 task. It will be submitted after the permit's being  
16 developed. The regional board, you know, try to deal  
17 with that issue has put in a different requirement for  
18 this Form 200 requirement, which is a much more  
19 abbreviated sort of report and, again, doesn't really  
20 serve the same purpose that the reported waste  
21 discharge does and the board will, you know, that's the  
22 information in front of the board and the staff and the  
23 board itself in developing the requirements. So we do  
24 have significant legal concerns about both of the  
25 hydromodification and regional permit approach.

1                   And with that, I'll yield the rest of my  
2 time. And Shawn Hagerty will address a couple of the  
3 significant issues that were raised by the other  
4 speakers as well.

5                   MS. STROUD: Good afternoon. I'm Deputy  
6 City Attorney Heather Stroud from the City of San  
7 Diego. And today I'm here to address you on behalf of  
8 the San Diego co-permittees on our legal concerns on  
9 the hydromodification requirements.

10                   Specifically local governments are limited  
11 to what they can require from developers and can only  
12 require mitigation for impacts that are actually passed  
13 by a project, and that's a constitutional limitation  
14 that we are subject to.

15                   There are two major areas in the  
16 hydromodification section of the draft permit wherein  
17 this becomes an issue. And the first is the  
18 requirement that we require developers to go to  
19 predevelopment naturally occurring runoff conditions.  
20 Especially where you have a redevelopment project, you  
21 might be requiring mitigation for a project that's  
22 actually beneficial to runoff and may have less runoff  
23 than existing conditions that are on the ground.

24                   And then the second issue where that comes  
25 up where the hydromodification exemptions that have

1 been fully vetted and approved by the regional board to  
2 take those away now basically exposes us to potential  
3 liability for requiring mitigation that's not caused by  
4 a project.

5           As a practical matter, these conditions may  
6 be unenforceable by us. There has to be a nexus  
7 between a project's impacts and the mitigation that's  
8 required. And also, the permit as drafted is  
9 inconsistent with EPA's approach. We heard Dr. Lin  
10 from EPA express concerns about the naturally occurring  
11 language and a related section of the permit.

12           She said that it would cause confusion  
13 regarding what constitutes compliance and what the  
14 naturally occurring condition is, and there's the same  
15 concern here.

16           Also, the one size fits all approach we  
17 heard from EPA is not appropriate because it's  
18 case-specific in terms of what your goal is for  
19 restoration. For the same reason, it wouldn't be  
20 appropriate to require all development to mitigate all  
21 naturally occurring conditions.

22           The same issues potentially arise for the  
23 alternative compliance in lieu of fee and we are  
24 subject to the Mitigation Fee Act and have to go  
25 through some rigorous requirements to establish that

1 there's a reasonable relationship between the fee and  
2 the development's impacts, and that's Government Code  
3 Section 66001.

4           So I would just like to reaffirm the  
5 technical presentation staff requests that the  
6 post-project runoff flow rates and durations should not  
7 exceed preproject runoff rates, not predevelopment  
8 naturally occurring, and to reaffirm the board-adopted  
9 2010 hydromodification plan.

10           Thank you. I'll turn it over to Shawn  
11 Hagerty now.

12           MR. HAGERTY: Thank you. Mr. Chair, members  
13 of the board. Shawn Hagerty. I'm a partner with the  
14 law firm of Best, Best & Krieger, and I'm City Attorney  
15 for the City of Santee. I've been asked to address the  
16 receiving waters limitations language on behalf of the  
17 City of San Diego. And fortunately for you, I think  
18 I'm the last speaker on behalf of the co-permittees.

19           I wanted to make two points. A very simple  
20 one. That is, you have the legal authority to address  
21 this issue. And then, two, you should use that  
22 authority now for the reasons that have been stated  
23 earlier.

24           So why do I say you have the legal  
25 authority? Well, really, it's fundamental to the

1 structure of the Clean Water Act. And it is  
2 absolutely, unequivocally settled law that MS4 permits  
3 are different animals under the Clean Water Act. MS4  
4 permits under the Clean Water Act do not need to  
5 require strict compliance with water quality standards.  
6 The section -- you've heard a lot today about numeric  
7 water quality based effluent limitations, that comes  
8 from secretaries certain section of the Clean Water  
9 Act, Section 301. That section does not apply to MS4  
10 NPDES permits. MS4 NPDES permits are a very different  
11 animal. They have different rules that apply to them.

12 now why is that important? And the seminal  
13 case on that is Defenders of Wildlife. You may not be  
14 in the habit of reading reported cases, but this is one  
15 I think you should read. It's not that long. The text  
16 itself is probably about eight pages. And it really  
17 walks you through the structure of the Clean Water Act  
18 as it applies to MS4 discharges.

19 And I think if you look at that, you come to  
20 three important conclusions. One, water quality based  
21 effluent limitations, including ones that are derived  
22 from TMDLs, are not required for MS4 permits by the  
23 Clean Water Act. You can use a BMP-based approach.  
24 It's allowed.

25 Two, because MS4 permits don't require

1 strict compliance with water quality standards, you as  
2 the permitting authority have the ability to define how  
3 compliance with what water quality standards are to be  
4 achieved.

5           As I was listening, the third, this is more  
6 kind of a structural one, little bit of a philosophical  
7 one, but a lot of this permit is based upon the goals  
8 of the Clean Water Act as a whole, to restore and  
9 maintain. That's fundamental to what your staff is  
10 trying to do here. How are you going to argue again  
11 that? But the key point is that those goals have to be  
12 achieved through the permitting system that exists in  
13 the Clean Water Act, and that's the MS4 NPDES system.

14           And why is that important? Well, it's  
15 fundamentally important because Congress understood  
16 that MS4 systems were different. And Todd Snider did a  
17 good job of explaining that. Others have as well.  
18 It's a different system. So we want to achieve the  
19 goals of the act, but we do it through the permitting  
20 system that we have which recognizes some of the  
21 constraints that we have as dischargers on the ability  
22 to achieve water quality standards.

23           Now, you have language in your permit  
24 dealing with receiving water and it is generally  
25 consistent with the state board's precedential decision

1 that establishes that decision, 99-05. Your language  
2 actually adds some things that aren't in the  
3 precedential language. That may be something you want  
4 to look at, but it's generally consistent with that.

5           But what I would encourage you to do is look  
6 at the state board order -- it's 2001-15. It's one  
7 dealing specifically with the 2001 San Diego permit,  
8 because that is really the order that interprets the  
9 receiving water limitations language in light of the  
10 "Browner" case that hadn't been done before. Even the  
11 '99 language wasn't based on "Browner." Earlier  
12 decisions of the state board actually seemed to  
13 misunderstand what I just told you earlier, that water  
14 quality based effluent limitations have to be in  
15 permits. That's what they thought. "Browner" said  
16 they don't, and so what happened in 2001 is the state  
17 board looked back at its language and said, "Well, how  
18 do we interpret this in light of "Browner?" And it did  
19 so by saying, "We are not requiring strict and  
20 immediate compliance with water quality standards. Our  
21 permits are designed, our language is designed to  
22 achieve those standards over time through the iterative  
23 process."

24           And there seems to have been a development  
25 in thought about what that order means. I'd encourage

1 you to look at that order closely because part of that  
2 order actually says a lot of what the co-permittees are  
3 asking you to do here. It actually links the iterative  
4 process to the discharge prohibitions. That was  
5 something that was deemed to be lacking in the order  
6 and the permit at that time and the state board said go  
7 back and fix that.

8           So what does that leave you with on the  
9 state board? It means that you have an enforceability  
10 system. We're not asking for exceptions or anything  
11 like that, but it's linked to the iterative process,  
12 and it has to be linked to the iterative process.

13           Why you're hearing so much about this today  
14 is not because of the previous orders. It's because of  
15 the ninth circuit decision that interpreted those  
16 orders in a way that in our view turns those orders on  
17 its head. It says, "No, this strict and immediate  
18 compliance with water quality standards isn't  
19 required." And this iterative process, well, it's in  
20 the permit. It has nothing to do with compliance.  
21 It's some kind of appendage that just sits out there  
22 that isn't linked to compliance. And that's what we're  
23 asking you to address.

24           So, fundamentally, this is a policy issue  
25 for this board. In our view, there are no legal

1 constraints on your ability to address it. You may  
2 hear either see in written comments or hear from other  
3 speakers that there are concepts such as  
4 anti-backsliding or anti-degradation that may place  
5 limits on your ability to address this issue. We don't  
6 think that would apply. You would not be lowering  
7 numeric effluent limitations or removing permit  
8 conditions. We're not asking you to take the receiving  
9 water limitations out of the permit. We're just asking  
10 you to link it to the unique ways that you have in this  
11 effort to comply with those requirements.

12           You would not be allowing degradation of  
13 high quality waters. You would be establishing a  
14 mechanism to improve water quality, which is the goal.  
15 And these issues came up at the L.A. Regional Board  
16 hearing last week, and regional board staff  
17 specifically addressed them and the board rejected them  
18 as limitations on the authority. And they developed a  
19 compliance mechanism that was consistent with the  
20 program that they were developing. So that's what  
21 we're asking you to do today.

22           And I attended a lot of the focus workshops  
23 and the meetings, and I think board staff at least  
24 understood why we were making this request. But at the  
25 end of that process, there was an indication that they

1 were constrained from a staff level to make changes,  
2 and that we should address the board and ask the board  
3 to give direction if that's the board's desire to  
4 address these issues, and that's why we're doing it.

5           We think the compliance language should be  
6 linked to the adaptive management process. It should  
7 be linked to the TMDL implementation plans. And the  
8 key part, it should be linked to the water quality  
9 improvement plans in such a fundamental, innovative  
10 part of what you're doing in this permit.

11           It needs to be that the compliance mechanism  
12 needs to be in the permit itself. It can't just be in  
13 the fact sheet. There can't be language in the fact  
14 sheet about how you might look at it or interpret it or  
15 enforce this language. It needs to be in the permit  
16 because each element of the permit is an enforcement  
17 requirement. So we need that in the permit itself.

18           There was a lot of talk earlier in the staff  
19 presentation and others about wanting to set up a  
20 system where you can try and fail, try things and fail.  
21 And you can't have that process. You can't do those  
22 innovative things if it's not linked to a compliance  
23 mechanism that is achievable.

24           So we would ask that you direct staff to  
25 reassess the compliance language in the permit. And

1 also it has been mentioned, there's a state board  
2 process that's going on specific to this issue, and we  
3 would ask that you direct staff to engage in that  
4 process.

5 Thank you.

6 CHAIRMAN DESTACHE: Thank you very much.

7 I have two other speaker cards from the  
8 county, one is Karen Holman. I don't know who she is.

9 MS. HOLMAN: I'm for the Port of San Diego  
10 speaking on behalf of --

11 CHAIRMAN DESTACHE: Okay. Are you speaking  
12 as part of their presentation?

13 MS. HOLMAN: No.

14 CHAIRMAN DESTACHE: We'll call you as an  
15 interested person, then.

16 CHAIRMAN DESTACHE: Okay. Then Richard  
17 Crompton?

18 MR. CROMPTON: I'm speaking as an interested  
19 person.

20 CHAIRMAN DESTACHE: Okay. So the City of  
21 San Diego, we have a 10-minute slot for them. Let's  
22 take a five-minute break. We'll make Chris wait five  
23 more minutes.

24 (A recess is taken.)

25 CHAIRMAN DESTACHE: If everyone can take

1 their seats. Chris McFadden is just dying to tell us.

2 MS. McFADDEN: Good afternoon. I'm Chris  
3 McFadden. I'm the deputy director with the City of San  
4 Diego Storm Water (inaudible).

5 What I want to mostly do is just kind of  
6 thread in the elements of Mayor Sanders' letter that  
7 was sent out last week and what you've already heard,  
8 also last week (inaudible) met here in San Diego. They  
9 had a blowout turnout. They've had more people than  
10 they've ever had, and I think one of the main reasons  
11 (inaudible) go to Wayne's presentation. He did an  
12 excellent job, with standing room only, actually, at  
13 that meeting. So I think it really underscores the  
14 important decisions that all of are making today, and  
15 it also demonstrates all the science that is being done  
16 around the state. And I think it's very important  
17 that, you've heard best available science time and time  
18 again, and I think that's something that we really need  
19 to take home.

20 I also want to thank, of course, David,  
21 Eric, Wayne, Laurie, and Christine Arias for their  
22 efforts. This has been a really successful process.  
23 In the City's mind, I think this is something we'd like  
24 to see done moving forward as well.

25 They have listened to a lot of things. I'm

1 not going to reiterate what you've already heard, but  
2 they have made some substantial changes that we are  
3 very impressed and we'd like to see. Also, we do see  
4 this as a model for TMDL. You've heard our involvement  
5 in the third party for TMDL with (inaudible) which is  
6 very effective, and I think this is carrying on that  
7 same momentum with all the stakeholders and the  
8 regional board here.

9           Of course the City's approach is to work  
10 constructively to identify all the issues in the  
11 watershed, and we believe the regional board has taken  
12 these approaches and done what they can within their  
13 control. I think the attorneys have really laid it out  
14 well. There are certain limitations that staff do have  
15 and that ultimately they are going to have to rely on  
16 your authority to really make some of these difficult  
17 decisions. Some of the significant issues that remain  
18 still, and actually this is brought out by  
19 Mayor Sanders' November 7th letter, our concerns about  
20 the fiscal impacts and long-term sustainability of the  
21 draft permit.

22           The City of course spends over \$36 million  
23 each and every year on protecting our beaches and bays,  
24 and we do have concerns about possibly having the board  
25 divert more funds away from public safety and fire

1 protection and other port services to meet some of  
2 these regulations that we still think need to be looked  
3 at from a more scientific basis.

4           So Mayor Sanders does request that you send  
5 your team to finish the really good work that they've  
6 already started with the regulations community to  
7 identify appropriate scientifically based remedies to  
8 address these concerns and withhold any ultimate  
9 decision until these decisions have been made so we can  
10 achieve a achievable, sustainable guide to what  
11 everybody wants and what all the stakeholders desire in  
12 all of our watersheds.

13           So, overall, we do support the watershed  
14 based approach to this permit. We are under a lot of  
15 TMDLs that we are already reporting on. And in a lot  
16 of cases, to answer your question, this is going to  
17 streamline our reporting. It's not necessarily going  
18 to reduce the amount of reporting that we do, but I  
19 think if you're going to be looking at information on a  
20 certain watershed you're going to have one place to go  
21 instead of a bunch of other projects and JURMPs from  
22 other municipalities.

23           So we would ask you to direct your staff to  
24 refine the compliance through the water quality  
25 improvement plans as outlined by the other

1 co-permittees. We also request that the permit not be  
2 adopted until the state board next week, fortunately,  
3 meets to talk about their receiving water and  
4 limitations. It's going to have significant issues  
5 that I won't bring up again.

6           And also on the HMP, the co-permittees did  
7 spend over a million dollars developing this over two  
8 years and it was adopted by your board, by all of you,  
9 recently, and we want to maybe sure that we get this  
10 right. And we committed to spend about \$1.5 million of  
11 monitoring by all the co-permittees on this HMP  
12 monitoring plan, and we want to make sure we get to  
13 continue that good work that we really have well  
14 thought out.

15           And in closing, I'd just like to reiterate  
16 thank you for the process. I think we've come a long  
17 way. And I just want to make sure we get this right,  
18 because I do think there are a lot of eyes throughout  
19 the state and probably even throughout the country,  
20 that are looking into this.

21           So, thank you.

22           CHAIRMAN DESTACHE: Thank you very much,  
23 Chris. I have another -- Richard Hopkins. Are these  
24 interested parties?

25           VICE CHAIRMAN STRAWN: Three different

1 cities.

2 MR. HOPKINS: Interested party.

3 CHAIRMAN DESTACHE: Okay. What about from  
4 the City of San Diego? Do we have anybody else? Chris  
5 was the show. All right. Good.

6 We are going to move on to the environmental  
7 groups, San Diego Coastkeeper. And I see Jill getting  
8 up. Do you have an estimate of how much time?

9 MS. WITKOWSKI: Hopefully not 45 minutes.  
10 I'll be sharing this with Collin Kelly from Orange  
11 County Coastkeeper, Inland Empire Waterkeeper, and will  
12 also probably cede some of my time to Noah Garrison  
13 from NRDC so he can discuss some specific legal issues  
14 that were just phrased.

15 Good afternoon. I'm Jill Witkowski. I'm  
16 with San Diego Coastkeeper and since I last was before  
17 you, I've now become the waterkeeper for San Diego  
18 Coastkeeper. That means I get to use my environmental  
19 science background and my legal skills to be the voice  
20 of the water of San Diego. So I'm here speaking on  
21 behalf of San Diego county waters and on behalf of the  
22 people who use the water.

23 What I'd like to do first is to take a step  
24 back. Like Laurie said when she started and really  
25 reframe the issue for you in our point of view from the

1 environmental point of view because you've heard for  
2 several hours from the co-permittees point, and I want  
3 to talk to you personally about why this issue is  
4 important to me.

5                   So pop quiz. Department of Environmental  
6 Health, how much rain does it trigger to have a beach  
7 closure advisory and how long does that advisory last?  
8 Do any of you know? If you listened to Laurie earlier  
9 you should know the answer to the second question. So  
10 point two inches of significant rainfall in 72 hours is  
11 the advisory.

12                   The reason that this is frustrating to me  
13 and frustrating to a lot of surfers and swimmers is  
14 that the 72 hours is a blanket advisory in all beaches  
15 throughout the whole county. You get a surfer who  
16 says, "Gees, you know, I swam 24 hours after it rained  
17 and I didn't get any ear infection so they must be  
18 lying or I shouldn't trust the Department of  
19 Environmental Health."

20                   And it's extremely frustrating not to be  
21 able to know better information about when our beaches  
22 should be opened or closed. But also it's extremely  
23 frustrating from somebody who enjoys the water. And I  
24 want to talk to you about that from my personal point  
25 of view. So this is me with my friends getting ready

1 to in Glorietta Bay at the beginning of the triathlon  
2 season last year. And I'm a triathlete. The other  
3 members of the triathlon Club of San Diego, we're in  
4 the water all year round. And we were getting ready to  
5 race the Super Seal Triathalon which is an Olympic  
6 distance triathlon at Silver Strand which is the bay  
7 side of Coronado in March, and actually that race was  
8 canceled this year, or actually the swim portion was  
9 canceled, because it had rained the day before, which  
10 was okay with me because I had a sinus infection from  
11 the swimming I had been doing in Glorietta Bay and  
12 Mission Bay. I also got an ear infection this year  
13 after I was a swim buddy and the San Diego  
14 International Triathlon which is in Spanish Landing.  
15 And recently got a sinus infection after swimming in  
16 Vail Lake in Temecula for a race.

17 But this doesn't only affect me. It  
18 affects -- triathlon is just one lens to view this  
19 through. It is a big deal for San Diego. This is the  
20 birthplace of triathlon. Last year we had the IT World  
21 triathlon series which brought 2,000 from 42 states and  
22 16 countries to San Diego to race. And it was a  
23 two-day race. It was in May. Fortunately they didn't  
24 have to worry about rain, but actually there was rain  
25 forecasted in that week and we're all keeping our

1 fingers crossed. I'm signed up for a race in March  
2 2013. It's actually the Half Ironman in Oceanside.  
3 They bring 3,000 athletes all across the country to  
4 Oceanside. They stay in the hotels. They fly into our  
5 airport. They come from Australia, France, Spain.  
6 They're professionals to come here to race, and we all  
7 keep our fingers crossed and we hope it doesn't rain.

8           The situation to me is unacceptable for a  
9 such a beautiful place like San Diego. And one of the  
10 things that we had discussed in a focus meeting process  
11 is our goals for this permit. Laurie said earlier, we  
12 want you to fail early and often. I hope that we  
13 succeed early and often. And Wayne had said during the  
14 process that we recognize it may take multiple permit  
15 processes and multiple permit go-arounds to actually  
16 see improvement in dry weather and that we may never  
17 see improvement in wet weather. That's unacceptable  
18 for us, and we really need to rethink our standards.  
19 This is actually one of the things that I agree with  
20 Mike McSweeney from the BIA and I had opportunity to  
21 have conversations. The BIA and Coastkeeper don't  
22 often talk, but we're working that way and that's one  
23 of the benefits of our focus meeting process.

24           Not just me. Here's another picture, since  
25 I won't be the only one swimming. This was some staff

1 and volunteers from Coastkeeper on Swimmable Action  
2 Day. This is the 40th anniversary of the Clean Water  
3 Act, and San Diego Coastkeeper protects fishable,  
4 drinkable, swimmable San Diego waters, and we're here  
5 protecting this for everybody.

6           Why is the storm water so difficult? Well,  
7 it's death by a thousand cuts. It's the sprinklers,  
8 it's the dog poop, it's the car washing, it's the power  
9 washing, it's the open dumpsters. And that's why this  
10 is so important. We've got so many really talented,  
11 smart, dedicated public servants in this room right now  
12 that care about this issue, but we're not going to  
13 solve it by ourselves. This is going to take a whole  
14 community. It's going to take residents getting  
15 involved, businesses getting involved, and that's why  
16 organizations like San Diego Coastkeeper becomes so  
17 important to partner with the regional board staff, to  
18 partner with the co-permittees so that we can work  
19 together to achieve these goals. You know, the  
20 co-permittees aren't in it alone. We're here to help,  
21 and that's one of the things we wanted to bring forward  
22 in the meeting process.

23           So, focus meeting process I wanted to add my  
24 thanks to the regional board staff for the tremendous  
25 way that they have approached this permit. It's in my

1 experience unprecedented to have a pre-draft draft to  
2 be able to discuss, to come together, to have  
3 facilitated meetings. It led to incredible discussion  
4 at the meetings and both outside of the meetings.

5 I really commend the San Diego co-permittees  
6 for coming to meet with us. I commend the staff for  
7 meeting with me as well and allowing me to bring the  
8 San Diego Green Building Council and other groups  
9 together. So we can work on where we can work together  
10 on solving this problem.

11 So San Diego Coastkeeper's goals for these  
12 permits were a few things. To safeguard the water  
13 quality improvements protection that we've had already.

14 As you've heard the co-permittee say,  
15 they've spent a lot of time and money working on this  
16 problem, and we want to make sure that we preserve  
17 those improvements. But also progress has been slow  
18 and I think one of the great things this permit does is  
19 it says, "Okay, instead of saying this is how many  
20 miles of streets that you have to sweep and how many  
21 inspections necessary that have you to do every month,  
22 let's see where our priorities are and let's develop  
23 the best approaches."

24 One of the things that -- and from an  
25 environmentalist point of view it's a little bit scary

1 because it's a lot harder to say, "Hey, you're doing  
2 this right or you're not doing this right." We have to  
3 set goals and trust in this process.

4           One of the things that we brought to the  
5 table was involving Coastkeeper and other local groups  
6 likes Escondido Creek Conservancy and Los Penasquitos  
7 Lagoon Foundation. When we figure out the priorities  
8 and when we figure out the strategies so that we're all  
9 working together and it's not just co-permittees  
10 against stakeholders.

11           So I'm going to touch very briefly on some  
12 of these issues. I'll let Collin and Noah get into  
13 more of the details. But so the hydromodification  
14 issue that we've talked about, hydromodification can be  
15 a serious problem. I support the idea of where on-site  
16 compliance really is not feasible. Looking at  
17 something that would be better overall for the entire  
18 watershed and really looking at improvements, something  
19 that I had discussed with Mike McSweeney and discussed  
20 with the regional board, and I'd like to see some  
21 regional project actually get off the ground and be  
22 successful. However, one of the things that the permit  
23 looks at now is this new in lieu fee program which is  
24 sort of like a mitigation banking program. It says you  
25 can do on-site compliance, or you can pay money and the

1 project has to be done within four years.

2 I'm not really sure how this works. I mean  
3 You have, one, you have a \$4 million restoration  
4 project of Escondido Creek and you have a subdivision  
5 that wants to go in and they pay a hundred thousand  
6 dollars towards this project, towards this restoration  
7 project. But what guarantee is there that the project  
8 actually happens? And what happens if there isn't  
9 enough money for the project to get forward? Who's  
10 holding the bag? Who is responsible for making it? Do  
11 you have to undo -- you can't undo the development, the  
12 subdivision that's already been in. If it's already  
13 built, then you can't do additional on-site treatment  
14 there. What happens?

15 One of the things that I had suggested, I'm  
16 not sure if you're familiar with "Kick Starter," but  
17 it's basically a proposal for a project and you have to  
18 have enough people basically buy into it and say, "Yes,  
19 I want to do that." And then you have to meet a  
20 certain limit. You have to meet the goal to say this  
21 project is going forward, and then the project goes  
22 forward.

23 So I would support the idea of seeing if  
24 these regional projects work, but there have to be  
25 safeguards to make sure we don't have these holes, that

1 we don't have projects that don't go forward.

2                   So the bacteria TMDL, there's been a lot  
3 that's been said about this. It's been extremely  
4 technical. I'll let Noah go into many of the details,  
5 but, basically, at the end of the day the TMDL has to  
6 under law be incorporated into this permit. So I  
7 understand comments by the county and concerns about  
8 money and how expensive this will be, but not  
9 incorporating it into the permit isn't an option. I'm  
10 sure Ms. Hagan can weigh in on the legal aspects of it,  
11 but I fully support the regional board's staff's  
12 position as well as the position by the EPA that this  
13 has to go in. Now, there are interesting points that  
14 Noah will talk about, incorporating the wasteload  
15 allocations and making sure that these water quality  
16 based effluent limitations are in the permit.

17                   We support what is there now. And we just  
18 want to make sure that this bacteria TMDL goes forward  
19 because it's so important. This really gets into the  
20 heart of being able to swim, being able to use our  
21 waters.

22                   Adaptive management. This is the safe  
23 harbor issue that we've been talking about on and on  
24 and on. And basically this cause or contribute to  
25 water quality violation language comes straight from

1 the Clean Water Act and from the Clean Water Act water  
2 violations. As regional board staff said, it's been in  
3 our permits over and over again. Noah will talk  
4 specifically about the Ninth Circuit litigation and how  
5 it impacts or doesn't impact this language, but we  
6 support keeping the language as is, and we support the  
7 way the regional board staff has approached this.

8           So using volunteers resources and public  
9 participation, this is a key issue for us. San Diego  
10 Coastkeeper has a huge volunteer water quality and  
11 monitoring program. Our program has had a lapse since  
12 2000 and we monitor 32 sites around San Diego county  
13 each month. We have volunteers go out and -- Travis  
14 our lab manager and other volunteers test the water for  
15 bacteria, and we also send samples out for metals. We  
16 have a great website, a Wiki, that keeps tract of the  
17 data and information. We think this is actually a  
18 really great resource for co-permittees to use.

19           One of the things that's been frustrating to  
20 us is that some co-permittees like San Diego county  
21 will ask us for information and will use our data as  
22 they do their decision making. And I think the  
23 regional board staff was trying to do a good thing by  
24 saying as we do our water quality implementation plans,  
25 as we identify our priorities, let's use all available

1 data that we have out there. So they will use  
2 Coastkeeper's data to try and figure out where are our  
3 problems and where should we use our resources.

4           Unfortunately the language is a little bit  
5 vague. It talks about relevant and appropriately  
6 collected and analyzed data, and that's actually not  
7 specific enough for us to be able to say, "Hey, we have  
8 relevant, adequately collected, and analyzed data."  
9 We'd like to see it specific so we can say San Diego  
10 Coastkeeper's program and our data should be used and  
11 is helpful. If the data we have right now is not  
12 helpful, we want to know how to make it better.

13           Another option of using voluntary  
14 resources -- and here's our 32 sites. There's a map of  
15 where we collect -- do our monitoring each month. This  
16 little picture on the side is about our pollution  
17 patrol programs where voluntary neighborhood water  
18 watch programs that we've been talking about with  
19 co-permittees, really trying to get residents engaged  
20 in understanding how they contribute to storm water  
21 problems and how they can be part of the solution  
22 instead of part of the problem.

23           The thing with these programs is it's really  
24 going to depend on your neighborhood. The program in  
25 La Jolla is not going to be the same as the program in

1 OB. It's not going to be the same as the program in  
2 Santee. But these are programs where you work with a  
3 co-permittee, you work with local neighbors, you work  
4 with a volunteer group to really get people engaged and  
5 excited and leading by example and working with their  
6 neighbors to make better choices about how we deal with  
7 pollution, because this problem is so big it's really  
8 going to take all of us.

9 I also want to let you know that as we  
10 participated in this process San Diego Coastkeeper,  
11 Orange County Coastkeeper put together comments to the  
12 regional board staff and we were joined by these  
13 organizations as well in participating that care about  
14 this permit and want to see storm water protections.

15 I'd also like to discuss the JURMP reporting  
16 issue that we had talked about, jurisdictional  
17 reporting versus watershed reporting. I really  
18 appreciate your efforts and the regional board staff's  
19 efforts in trying to reduce the amount of reporting  
20 that we have. As one of the probably only people who  
21 read all of the jurisdictional reports from all of the  
22 co-permittees in San Diego county, they were a  
23 nightmare. They're huge. They're completely  
24 inconsistent between co-permittees. And they're long.  
25 And they're probably extremely costly and not a good

1 use of resources.

2                   However, we think the two-pager is much too  
3 short, and I heard the co-permittees say the same  
4 thing. They need to have a more robust reporting to be  
5 able to show their city councils and show environmental  
6 groups and the regional board staff how well they're  
7 doing. And also -- so I agree with Mr. Gibson's  
8 comments on that.

9                   But it's also on accountability. It's great  
10 we're doing planning on a watershed level, but things  
11 don't get implemented on a watershed level. Things get  
12 implemented on a jurisdictional level. Budgets are at  
13 a jurisdictional level, and so it's extremely important  
14 to be able to say, "Here are our watershed goals. Who  
15 is doing something about this?"

16                   One of the issues that came up in a focus  
17 meeting is what if the watershed agrees on a priority  
18 and then nobody in the watershed actually wants to do  
19 something about that? That they're all going to do  
20 something in the other watersheds that they're involved  
21 in. For example, Solana Beach in two different  
22 watersheds. It may choose to do all of its work and  
23 focus all of its efforts in one watershed and not  
24 another. So these jurisdictional reports are important  
25 to figure out who's doing what in which watershed.

1                   And if something gets dropped, if we have  
2 these orphaned issues, if we have these goals that  
3 aren't met, who is responsible for meeting them. Who's  
4 dropped the ball. So that's why these jurisdictional  
5 reports are important. I would actually make them more  
6 robust than the permit currently has them.

7                   So now I'm going to hand it over to Collin  
8 Kelly from Orange County Coastkeeper and Inland Empire  
9 Waterkeeper.

10                   Thank you.

11                   MR. KELLY: Hi. Good afternoon. My name's  
12 Collin Kelly, staff attorney at Orange County  
13 Coastkeeper and Inland Empire Waterkeeper. We cover  
14 all of Riverside county and San Bernardino counties for  
15 the Inland Empire Waterkeeper, based in Costa Mesa and  
16 Riverside.

17                   First of all, I'd like to thank the regional  
18 board for establishing this process. It's sort of rare  
19 when I have the opportunity to come down to San Diego  
20 before the regional board for San Diego. I'm generally  
21 dealing with the Santa Ana regional board, which of  
22 course we love. However, I think this process can be  
23 used as somewhat of a model. We generally in the past  
24 have had groups that were led by consultants and not  
25 necessarily a facilitator.

1                   And it looks like that's what was used here.  
2                   And I felt that after every meeting everyone felt like  
3                   they had their opinions heard. And I think it made the  
4                   process a lot less contentious than it otherwise could  
5                   have been. If there's any consideration in changing  
6                   your process, if you need anybody's support with what  
7                   you're currently doing, you can just give me a call.

8                   I'd also like to remind the board throughout  
9                   this process, because we've heard a lot of the  
10                  co-permittees come up here and talk about taxpayers and  
11                  how much this is going to cost and of course all of us  
12                  are taxpayers so that's something we all listen to.

13                  However, it's not simply the co-permittees  
14                  that have the ear, citizenry. So of course we're  
15                  nonprofit organizations so we don't have that natural  
16                  base of taxpayers a say in what government does. We  
17                  have those people that have a direct interest, a very  
18                  significant interest in water quality to seek out  
19                  keeper organizations in our NRDC. So we hear a more  
20                  robust and interested opinion on things like this. And  
21                  that's what we do, coming here.

22                  It's essentially to remind the regional  
23                  board that no single entity can claim to represent the  
24                  public. We all represent parts of the public and taken  
25                  in a whole, I think the right decisions can be made.

1           I think it's fair to say that all of us do  
2 represent interest in our collective waterways and to  
3 maintain and improve water quality in those areas.  
4 However, I think all of us can agree that at a certain  
5 level, and I think we're reaching that level now, you  
6 see a plateau of regulations and the impact those  
7 regulations have on water quality. Twenty years ago it  
8 was a substantial -- as regulations improved, you saw a  
9 marked improvement in water quality. And I think we're  
10 starting to see on a jurisdictional basis there's  
11 perhaps some limitations to that. And one of the  
12 things that Orange County Coastkeeper is interested in  
13 sort of the decentralization of water quality  
14 responsibilities. By using things like low impact  
15 development, people can take responsibility for some of  
16 the water quality improvements they might contribute to  
17 and through some common sense things, I think a lot of  
18 people if explained to them in a common sense way, they  
19 will voluntarily take a lot of these things on and seek  
20 to improve water quality.

21           However, we do recognize some of the limits  
22 of those and have in the past, in north Orange County,  
23 supported regional low impact development BMPs. We do  
24 share some concern about the ability of parties to  
25 maintain some types of LID BMPs over time. We do

1 appreciate the ability of local governments to take  
2 alternate in lieu fees and construct regional LID  
3 programs because it provides the public with the  
4 verifiable information on what governments do, and  
5 we can look at their books. We can determine what  
6 they're doing with those projects.

7           However, one of the issues we have and have  
8 had in north Orange County, and continue to have here,  
9 is the measurement of alternate in lieu fees and the  
10 likelihood that the development of LID BMPs actually  
11 occurs. It's been said during some of these meeting  
12 that north Orange County should be a model for the  
13 implementation of regional LID. One of the issues we  
14 raised there was since the north Orange County MS4 was  
15 adopted, there's essentially been a collapse in the  
16 economy and no significant development in that area.  
17 So I think it's premature to say that the north Orange  
18 County example is a model of how to go. And it will  
19 probably be a number of years before we're able to  
20 determine how effective that actually is.

21           One of the issues we have is whether the  
22 fees collected are going to be sufficient to actually  
23 construct and maintain the project. That's not  
24 something that we have an answer to and I don't think  
25 it's anything that anybody's going to have an answer to

1 at this point until we see how the process rolls out.  
2 The four-year time line is a good start, I think, but  
3 it still doesn't provide me with reasonable assurances  
4 that the development is actually going to occur.

5           One of the issues I'd also like to discuss  
6 is there's a significant amount of leap of faith that  
7 environmental groups had to do to participate in a  
8 project that was regional in scale and not county by  
9 county. I know that's something that we've had to  
10 internally deliberate for a significant amount of time.  
11 The reason being that in this region alone, it's hard  
12 to say Temecula, downtown San Diego, and Laguna Beach,  
13 you would automatically think they are very similar in  
14 your mind. They all have very regional problems.  
15 There's, granted, a large carryover, say 70 to 80  
16 percent is going to be essentially the same, and that's  
17 why we supported that project. However, we are taking  
18 a leap of faith that with a regional permit, it's going  
19 to relieve the stress on the regional board to  
20 actually -- and this has been said to me by no one at  
21 this regional board -- but get out of the office. Not  
22 always be writing permits, but actually start enforcing  
23 some of these things and see how they're actually  
24 working on the ground. If this is a mechanism that  
25 allows something like that to happen, we'd very much

1 appreciate that.

2                   However, we do have an issue, and this did  
3 come up during the process, the interest in the  
4 co-permittee to actually implement an effective  
5 adaptive management process. And for that to work,  
6 there actually has to be an analysis and flesh on what  
7 they're doing and how it's being implemented, what the  
8 results are. But they actually have to determine what  
9 those results are and compare those to their goals and  
10 find out if they're reaching their goals.

11                   And we had some sort of disturbing comments  
12 during some of the meeting that that was not going to  
13 be a process that the counties necessarily had the  
14 capacity to do. That they're sort of good at moving  
15 forward, but not necessarily good at reflecting and  
16 having a course correction. I'm sort of bringing that  
17 up just as something that regional staff can remember  
18 that so when we're in year three of this permit that  
19 we're not at the same problems we are now. I'd hate  
20 for us when we're here in another five years to be  
21 dealing with the problems of 2013 in 2018, because far  
22 too often that's been something that's happened.

23                   Just as a quick conclusion, we've had some  
24 issues in the past with -- we also, like San Diego  
25 Coastkeeper, do our own water quality testing, sort of

1 to supplement the regional board with information that  
2 I know has been useful. It has been used in permits  
3 themselves to justify numerics. And at times water  
4 quality testing information from us from third parties  
5 comes into question. And this is probably not  
6 something that -- it's a dirty word, probably, in this  
7 room, but "litigation" is something that is very  
8 useful. And the usefulness for our water quality  
9 information is that our water quality information has  
10 to be agreed that it can be challenged in court. It's  
11 something that can be used for regulatory purposes, and  
12 to justify permit numbers. We think that the numbers  
13 that we collect and -- the numbers that we collect are  
14 justifiable to be used. And if you have any questions  
15 about anything like that, please let us know.

16 I know that San Diego Coastkeeper and Orange  
17 County and Inland Empire Waterkeeper are going to be  
18 contributing some lengthy and reasonable comments on  
19 the specific issues here, but given the time I think  
20 everybody would like to see those in writing.

21 Thank you.

22 MR. GARRISON: Good afternoon, Mr. Chairman,  
23 members of the board.

24 I realize this has been a fairly long  
25 afternoon already so I will try to keep my comments to

1 a reasonable length. I think a broad overview of why  
2 we're here was provided very well by --

3 VICE CHAIRMAN STRAWN: Can you state your  
4 name.

5 MR. GARRISON: Sorry. I'm Noah Garrison.  
6 with the Natural Resources Defense Counsel. I'm an  
7 attorney with the water program in Santa Monica.

8 I think an overview of sort of what brings  
9 us all here was provided very well by San Diego  
10 Coastkeeper and Orange County and Inland Empire  
11 Coastkeepers. I'm going to bait and switch and begin  
12 by showing a really nice photograph of a San Diego  
13 beach here and talk about economics, Clean Water Act  
14 regulations and technical studies. So I apologize in  
15 advance for taking your attention away from this.

16 Beginning with why are we here, and that's  
17 because we get tens of millions of visitors to our  
18 beaches in southern California every year. We get  
19 millions of people who use our inland waterways for  
20 fishing, for recreation, just for piece of mind. We  
21 live and work among these waters.

22 Aside from just the aesthetic that it  
23 provides, there's an actual economic benefit that comes  
24 with this. This is a tremendous part of California's  
25 economy. We start with California has the largest

1 ocean economy in the United States. It's ranked number  
2 one overall for both employment and gross state  
3 product. Beachgoers in California spend as much as  
4 \$9.5 billion, billion with a "B," annually, and the  
5 nonmarket values associated with beachgoing in  
6 California contribute as much as another \$5.8 billion.  
7 This is a huge contribution to the local economy. So  
8 it's something that's worth protecting. It's worth  
9 spending money on.

10 We actually have made improvements over the  
11 past 10, 11 years of this permit and since the Clean  
12 Water Act moved towards requiring permits on storm  
13 water runoff. But we're not really there yet to say  
14 that we've achieved our goals.

15 San Diego county last year reported nearly  
16 300 closing advisory days at its beaches, not even  
17 including closing advisory days that have lasted longer  
18 than six weeks, so semi-permanent closings. These are  
19 one-off or one-week closures. Orange County counted  
20 more than 750 closing advisory days. Studies show they  
21 have a real impact. Studies show that increasing the  
22 water quality of Long Beach which gets a C grade to the  
23 slightly healthier standard of Huntington city beach  
24 which is a "B" grade result in \$8.8 million in benefits  
25 over a 10-year period.

1                   The health costs that come -- the costs of  
2 not cleaning up our waters are tremendous. Depending  
3 on what model is used for looking at the medical cost,  
4 studies of Orange County show that just  
5 gastrointestinal illness occurring annually as a result  
6 of storm water pollution, bacteria pollutions are in  
7 excess of what would occur naturally result somewhere  
8 between 6 to \$16 million in direct medical costs. And  
9 if you start calculating what's called the willingness  
10 to pay or what people would pay not to get sick when  
11 they go to the beach, you're looking at 50 to \$130  
12 million in costs that are incurred as a result of  
13 bacteria pollution in our beaches.

14                   A hypothetical study, looking at closures of  
15 Huntington City Beach in fact with the cleaner standard  
16 found that on a per day basis for closure results in a  
17 hundred thousand dollars lost to the local economy and  
18 for a month-long closure, you're looking at a \$3.5  
19 million lost. So there's tremendous repercussions from  
20 allowing our beaches to become polluted. So that's a  
21 backdrop.

22                   I'm going to talk now about the Clean Water  
23 Act and the legal facts behind this and why the  
24 controls you're putting in this permit are actually  
25 required. In particular I'm going to give a lot of

1 attention to the receiving water limitations. There's  
2 been discussion today about this Ninth Circuit  
3 litigation from last year. I want to point out that  
4 case is a complete red herring. It changed absolutely  
5 nothing. Everything that you've heard about today has  
6 been in force since actually 2001.

7           So to begin with, the state is required to  
8 adopt water quality standards to protect its beneficial  
9 uses. And these standards provide a basis for  
10 regulating discharges in order to prevent water quality  
11 from falling below acceptable levels.

12           MR. MORALES: Mr. Garrison, can I ask you to  
13 slow down just a bit? It's really hard on our court  
14 reporter.

15           MR. GARRISON: Absolutely. My absolute  
16 apologies. I will try to make it easier for her.

17           So water quality standards once  
18 established, the entire purpose of these is for the  
19 Clean Water Act to meet these water quality standards.  
20 They're there in order to protect the public health, to  
21 protect aquatic life, to protect drinking water. The  
22 whole point of the water quality process is to meet  
23 those goals.

24           So in 2001 with the support of US EPA and  
25 the state water board, this board actually determined

1 to make compliance with water quality standards as a  
2 numeric limitation mandatory in this permit. And it  
3 was the absolutely the right decision to do. It was to  
4 protect public health and to move water quality forward  
5 in the region. The provision in the permit in 2001  
6 stated the discharges from the MS4 caused or contribute  
7 to the violation of water quality standards or water  
8 quality objectives are prohibited.

9           Now, far from this being settled in 2011 has  
10 requiring that numeric violations have to be  
11 prohibited, that provision of the permit was litigated  
12 almost immediately. In 2004 a state appellate court  
13 held that this board had authority to require  
14 compliance with numeric standards as an independently  
15 enforceable provision, and noted that it had been  
16 challenged in the first instance because it would  
17 prohibit municipalities from discharging runoff from  
18 storm sewers if the discharge would cause a water body  
19 to exceed the applicable water quality standard  
20 established under state law.

21           Everyone knew in 2004, actually in 2001 from  
22 the adoption of this permit, that you were going to be  
23 required to comply with these standards. It was a  
24 standalone provision that you were required to meet.

25           Similar provisions in Los Angeles in that

1 permit adopted in 2001 were also challenged in court.  
2 And the state court there found that the regional board  
3 included these receiving water limitations under these  
4 prohibitions against discharges that violate water  
5 quality standards as independently enforceable  
6 requirements that prohibit discharges that cause or  
7 contribute to a violation. That was from a state court  
8 decision in 2005. It was upheld by an appellate court  
9 in 2006.

10           This requirement has been around for years.  
11 There's nothing new about this. and everybody knew at  
12 that time they were required to meet water quality  
13 standards. So in 2011 when the ninth circuit decision  
14 came along and said there's no safe harbor in this  
15 permit and you are required to meet water quality  
16 standards, they actually cited back to these prior  
17 court decisions. Right, this was decided under state  
18 law already. Everybody knows this. You are required  
19 to meet them. It didn't change anything. All it did  
20 was apply a decision that had already been made.

21           So the contention that's been made before  
22 you is that this is some new requirement, that nobody  
23 saw this coming, that the result is going to be on day  
24 one of the new permit, that the permittees are going to  
25 be now out of compliance is completely false. They're

1 out of compliance today. They were out of compliance  
2 yesterday. They were out of compliance five years ago.  
3 This is an ongoing violation that's occurring. There's  
4 nothing new in the permit language that we'll be  
5 adopting. It has been in place since 2001 and should  
6 continue to be required. This is how we move the ball  
7 forward and how we ultimately get to the place where  
8 we'll have clean water.

9           Earlier you heard one of the permittees talk  
10 about the fact that the plans or the water quality  
11 plans in place aren't really safe harbors because they  
12 have a lot of protections. They are required to take a  
13 lot of actions. But looking at the ninth circuit:  
14 Definition here, it says, "There is no textual support  
15 for the proposition that compliance with certain  
16 provisions shall forgive noncompliance with the  
17 discharge prohibitions."

18           That's exactly what a safe harbor is. It is  
19 being allowed to put in place practices or BMPs or a  
20 plan and have that substitute for compliance with the  
21 water quality standards. It absolutely unquestionably  
22 is a safe harbor and under prior state decisions, it  
23 shouldn't be concerning something new. This is  
24 something that this board has been rightfully enforcing  
25 for 10 years.

1                   That being the case, there's been a lot of  
2 discussion that you've had discretion to now remove  
3 these provisions and I would like to submit to you that  
4 that's not the case. Under the Clean Water Act's  
5 anti-backsliding provisions, when a permit is renewed  
6 or reissued, the interim effluent limitations standards  
7 or conditions have to be at least as stringent as in  
8 the prior permit. In this case, you have conditions or  
9 effluent limitations, depending on how they're  
10 interpreted, but say that you're not allowed to violate  
11 water quality standards. You can't then read from  
12 those standards and remove the influx of those  
13 standards into the new permit. You have to require  
14 compliance with them.

15                   So to that effect, the board has some  
16 discretion on how it enforces those. It can issue time  
17 schedule orders. It can issue compliance schedules.  
18 There's a number of paths it can take to enforce them.  
19 There's enforcement discretion. There's no discretion  
20 in order to weaken these provisions in the permit.  
21 They have to remain. And board staff and -- this board  
22 had been right in maintaining this in the permit and it  
23 should continue on that path.

24                   I'd also like to make another point. This  
25 is from our Region 3 of the EPA decision which says

1 that backsliding would actually encompass allowing for  
2 added time. So if this permit comes out and says we're  
3 going to delay implementation of this standard, we're  
4 going to delay enforcement of this standard, that  
5 actually would constitute backsliding. Backsliding is  
6 not allowed under the Clean Water Act.

7 Another reason that it's not allowed is that  
8 the state's federal anti-degradation policy would  
9 prohibit weakening standards. A lot of the permittees  
10 discussed that they need to prioritize TMDLs, and if  
11 they're subject to mandatory violations for violations  
12 for nonimpaired waters, that will frustrate their  
13 efforts.

14 Then we shouldn't prioritize those waters  
15 that aren't already impaired. Those are the waters  
16 that we should be protecting the most. The ones that  
17 are currently clean should be kept that way. And if we  
18 take the approach that we should just prioritize TMDLs  
19 and we can allow these violations and let water quality  
20 to degrade, that violates the anti-degradation policy  
21 which states that you can't allow water quality or  
22 beneficial uses to be impaired as a result of permit  
23 terms. So for that reason as well, we can't allow for  
24 weakening of water quality standards.

25 I'd also like to talk about TMDLs briefly.

1 This has been discussed quite a bit. I think  
2 Coastkeeper pointed out the waste allocations in the  
3 TMDLs must be incorporated into the permit. That's  
4 absolutely the case. The Clean Water Act permit must  
5 be consistent with the wasteload allocations in the  
6 TMDLs.

7 Yes, you can use a BMP approach, but only if  
8 it has been demonstrated through scientific evidence  
9 and study that that BMP will in fact achieve the  
10 intended wasteload allocation. As EPA pointed out,  
11 again it's been raised as well, but this permit is not  
12 a venue for challenging the determinations already made  
13 in the TMDL itself. Once the TMDL wasteload  
14 allocations compliance schedules are set in the TMDL,  
15 they have to be incorporated into this permit, and  
16 there's no discretion to avoid that unfortunately.

17 You do have the authority to open up the  
18 TMDL or revise the TMDLs for the basin plan process,  
19 but it can't be done for the process of adopting this  
20 permit.

21 I do want to talk briefly about one of the  
22 specific provisions in the permit. That is the LID  
23 section, or the redevelopment requirements. This is  
24 just the language pointing out that provisions in the  
25 permit are required to meet maximum extent practicable

1 standard which basically states that efforts that are  
2 practical must be incorporated into the permit and can  
3 only be taken out where there's another practice that  
4 will achieve the same results, or where the costs so  
5 greatly outweighs the benefits as to render the  
6 practice invalid.

7           You've heard quite a bit about it over the  
8 past couple of years really in adopting other permits  
9 as well, but basically the idea is that we want to  
10 retain the runoff on-site rather than runoff -- pick up  
11 pollution and runoff off-site. Typically under  
12 undeveloped circumstances, only 10 to 20 percent of  
13 rainfall will actually develop as runoff and 80 percent  
14 will evaporate or soak into the ground. And when you  
15 develop an area, you tend to flip that paradigm on its  
16 head so that 80 percent of the water or 100 percent of  
17 development is runoff and only 10 percent will soak  
18 into the ground.

19           The permittees should be allowed to use this  
20 simulated modeling standard to show that they're  
21 maintaining on-site the difference in runoff between  
22 what was occurring naturally in predevelopment  
23 conditions and what would occur in developed site. And  
24 I would submit that that is not a good standard to hold  
25 by. The reason being, this is a chart from a study

1 done by Dr. Richard Horner. He's a National Academy of  
2 Sciences panel member on storm water runoff and also a  
3 nationally recognized expert in low impact development  
4 and storm water runoff controls.

5           And on the left-hand side there are five  
6 blue columns. Each one of those columns represents a  
7 different type of development in San Diego county. So  
8 it shows a multi-family residence, a single-family  
9 home, a commercial development, a redevelopment site.  
10 The orange bar that goes across is the amount of runoff  
11 that would need to be retained on site in order to meet  
12 the 85th percentile storm. In coastal San Diego, it's  
13 about 60 percent of the annual runoff that occurs.

14           What this shows is, those blue lines shows  
15 the amount of runoff that can be retained just through  
16 infiltration practices on normal soil type. So not  
17 looking at evaporation not looking at harvesting and  
18 reuse. just using runoff on-site to infiltrate that  
19 water and keep it on site. You retain up to 100  
20 percent of the runoff on each type of runoff if you  
21 have good soil conditions.

22           On the right-hand side, you have the same  
23 five categories of development, looking at different  
24 and there's development types. And what it shows is  
25 that on D soils so clay-rich soils -- and I submit

1 there's quite a bit in San Diego and can pose a  
2 challenge -- on D-type soils, even these areas just  
3 using simple management techniques for the roof runoff  
4 only, dispersing it, trying to capture it and harvest  
5 it, putting a green roof in place, you can still  
6 capture it on-site and at least half of that required  
7 volume. That's utterly fantastic. And the permit  
8 provides for off-ramps. If you can't retain more than  
9 that, that's fine. You can bio-filter or you can go to  
10 a regional project. There's multiple pathways you can  
11 take.

12           This isn't going to prevent development. It  
13 just says that where it's feasible to retain that  
14 runoff, you have to retain it. There's still a  
15 staggering volume that can retain even where soil  
16 conditions don't permit infiltration.

17           The problem with the additional standard in  
18 the permit where it says you only have to retain what  
19 would occur naturally under predevelopment standards  
20 and what would occur developed is really not a very  
21 high standard. That's an average of about the  
22 predevelopment and postdevelopment change in runoff for  
23 clay-type soils in San Diego. And what you're looking  
24 at it's really an average of about between 25 to 30  
25 percent of the runoff. It's a very low bar. It's not

1 practicable to retrieve. So by allowing that to be the  
2 standard, you're requiring less than what the Clean  
3 Water Act envisions as a requirement.

4           The Clean Water Act says you have to reach  
5 the maximum extent practicable reduction of discharge  
6 of pollutants. And this standard simply won't get  
7 there. So we would submit that the 85th percent runoff  
8 standard where it's feasible to retain is absolutely  
9 the correct standard to use. It's used in permits  
10 throughout California. It's used in Orange County,  
11 it's used in Riverside County. That's the standard  
12 this board should be requiring. Where it's not  
13 feasible to retain that full volume of runoff, the  
14 permit says you can bio-filter. You can go to a  
15 regional project. But using this lesser standard is  
16 going to result in more pollution to waters, less water  
17 that can be put to a beneficial use, it's not the right  
18 path for San Diego.

19           Finally, I just want to mention very quickly  
20 that anywhere in the permit where there are provisions  
21 such as watershed quality plans or other provision  
22 plans that allow permittees to design their own force  
23 for implementing a permit, they really do need to be  
24 subject to meaningful review for this board and for  
25 public process. I think there are a number of

1 provisions in place for that. But I want to make sure  
2 that there aren't places where significant portions of  
3 the provisions within the permit could be rewritten by  
4 the permittees. And no offense to your executive  
5 officer who does a fine job, but simply approved by the  
6 executive officer, that needs to go before a public  
7 process and be reviewed by this board in a public  
8 hearing. There are, again, there's a number of  
9 provisions in place in the permit we'd like to see it  
10 go before the board if it's a significant rewrite of  
11 major permit provisions.

12                 With that, I'd like to point out that  
13 San Diego and Orange County really have tremendous  
14 resources. They have tremendous aquatic resources. We  
15 use our waters in this region, and we should be doing  
16 everything that we can to protect them. There's a  
17 legal basis for it, but as a policy, we want people to  
18 go swimming and not get sick. We want people to fish  
19 and be able to eat the fish.

20                 We want to be able to make use of our waters  
21 and we should be doing everything in our power to make  
22 sure that happens.

23                 Thank you.

24                 CHAIRMAN DESTACHE: Thank you.

25                 We will move on to interested persons.

1                   MR. BUTO: I'm an NGO rep. I represent  
2 Clean Water Now. Maybe I filled out the wrong card.

3                   CHAIRMAN DESTACHE: That's fine. You can  
4 come up. You can get another card filled out.

5                   MR. BUTO: Thank you very much. I  
6 appreciate the opportunity.

7                   I'm Roger Buto. I am the founder and  
8 executive director of the Clean Water Now Coalition.  
9 Welcome, everyone, including Eric. It's very nice to  
10 see you again. It's been a long road.

11                   I would like to make several comments.  
12 Number one, for board members don't know who Clean  
13 Water Now is, or the Clean Water Now Coalition, I  
14 should say, we are approximately a 15-year  
15 organization. We'll be celebrating our 15th year in  
16 January of next year. We are based in south Orange  
17 County. And as Collin mentioned, Laguna Beach which I  
18 consider, because I've lived there for 40 years, the  
19 most beautiful city in south Orange County, we're very  
20 protective of Laguna Beach.

21                   As an introductory remark, just so that  
22 you're familiar with who and what we are, we are  
23 arguably, and I've said this in some of the workshops,  
24 we aren't just the little engine that could. When we  
25 started in '98, we are the little engine that did.

1                   Initially, we did take a lot of the people  
2 that have spoken before you, at least their agencies.  
3 We took former executive director Bruce Reznick of  
4 Coastkeepers. We took Marco Gonzalez. I believe he  
5 was working with Surfrider. We took the NRDC, the  
6 Sierra Club. We took everyone and anyone in what I've  
7 developed known as the Toxic Soup tour of the south  
8 Orange County watersheds.

9                   And as a result of that, part of what  
10 happened was the cleanup and abatement order that you  
11 heard Ms. Nancy Palmer of Laguna Niguel discuss at that  
12 cleanup and abatement hearing which was held in  
13 downtown San Diego, in fact Clean Water Now and  
14 Coastkeepers were the only two NGOs that pled the case  
15 for that cleanup and abatement order.

16                   As a direct, I guess you can say, result or  
17 function of that, Clean Water Now continually  
18 petitioned former Executive Officer Mr. Roberts to in  
19 fact impose a cleanup and abatement order on the entire  
20 Aliso Creek watershed. We did finally settle on a  
21 compromise, the Clean Water Code 13225 directive. The  
22 irony is this new permit looks suspiciously a lot like  
23 the 13225 directive but for the whole San Diego region.  
24 And so we are very pleased with the permit and we  
25 concur with about 99.9 percent of what is in the

1 permit.

2                   For those that went on the Toxic Soup tour,  
3 we were very disturbed. We filmed children taking  
4 Louisiana red crawdads home and eating them near HUD  
5 housing in Laguna Hills. Actually I was asked to  
6 testify before the Orange County Grand Jury and  
7 received accolades. I was chastised by the district  
8 attorney of Orange County, because at the time I was so  
9 naive as a Good Samaritan I didn't realize. I got in a  
10 lot of trouble for filming children, even though they  
11 were out in the public domain.

12                   With that said, we have arguably, and I  
13 think I can support that, the longest record of  
14 enforcement activities and leading those. We  
15 petitioned this board, and especially worked closely  
16 with Former Chairman Jack Wynan and Wayne Baglin.

17                   (Off the record.)

18                   MR. BUTO: Why is that, sir? These other  
19 people got all this extended time? That doesn't seem  
20 to be very fair. I wasn't.

21                   VICE CHAIRMAN STRAWN: Excuse me. This was  
22 a block of time of 45 minutes.

23                   MR. BUTO: You're already showing this is  
24 not egalitarian. Why should these other organizations  
25 be shown preferential treatment?

1                   CHAIRMAN DESTACHE: How much time do you  
2 think you need?

3                   MR. BUTO: Probably two or three minutes at  
4 the most.

5                   CHAIRMAN DESTACHE: That will be fine.

6                   MR. BUTO:: (Inaudible) Clean Water Now that  
7 cost Caltrans almost \$20 million for the cleanup and  
8 abatement of the (inaudible) and failed BMPs on the 73  
9 and 241 toll roads. We did it without attorneys,  
10 Sierra Club, Surfriders, or Coastkeepers. We did  
11 (inaudible) engine that request. So we take this new  
12 MS4 very seriously.

13                   I would like to point out that we do have  
14 two issues I'd like to bring up. One is procedure, the  
15 other is actually technical about the permit itself.  
16 We would ask you to strike the reference to the Green  
17 Building Council with "lead." We feel that that will  
18 be legally challenged and have to be rescinded anyway  
19 in a sense spending the money giving it (inaudible).  
20 It's nonprofit, but it specifically says "lead" in the  
21 business council. I was asked by Wayne to provide it.  
22 We request we (inaudible) I'm a 40-year builder. I  
23 understand Cal Green "lead" is a little bit more  
24 nebulous, and it's going to be stricken eventually  
25 anyway.

1                   I would like to have one solution that's a  
2 policy change. Teleconferencing (inaudible) this is  
3 because as I experienced I see all these wonderful  
4 slides and pictures. I see other NGOs being given an  
5 inordinate amount of time and staff (inaudible) would.  
6 But as I've already boasted, and staff can tell you, we  
7 have a lot more scalps on our pole than (inaudible) we  
8 would like to be treated. Teleconferencing will go to  
9 a straight (inaudible) form of mitigation. It will  
10 attenuate some of our concerns that we have equal  
11 access to staff.

12                   I think one of the things that needs to  
13 be -- this is a form of conflict resolution (inaudible)  
14 is embedded in adaptive management. We don't think a  
15 lot of money (inaudible) or the litigious hammer. They  
16 should be given more time and access to your staff than  
17 we do. I apologize, Mr. Strawn. Once again, I think  
18 my card got confused. I didn't need a Power Point,  
19 though. I am a Power Point.

20                   Thank you.

21                   CHAIRMAN DESTACHE: Thank you very much. I  
22 would request that in the future you do contact staff  
23 and set up a time that is commensurate to the other  
24 NGOs.

25                   MR. BUTO: Thank you, sir. Thank you for

1 the respect.

2 CHAIRMAN DESTACHE: Okay, now we're going to  
3 move on to interested persons. And these speaking will  
4 have two to three minutes depending on each of their  
5 comments. We are going to take all the opposition  
6 interested parties first and then we'll follow up with  
7 the balance of the support and we'll go from there.

8 Kathy Riser with the San Diego Chamber.

9 In the interest and brevity, I will thank  
10 everyone up front for your time and effort and being  
11 here and sitting through this.

12 MS. RISER: Thank you, Mr. Chairman, members  
13 of the board. I'm Kathy Riser -- that's spelled  
14 R-i-s-e-r -- with the Atlantis Group. And I'm  
15 representing the Greater San Diego Chamber of Commerce  
16 today.

17 The Chamber is a nonprofit (inaudible) 3,000  
18 member companies and 35,000 employees. The chamber is  
19 here to express deep concerns and strong opposition to  
20 the tentative order as presented. While we believe  
21 it's very important, we believe the orders proposed  
22 will impose unreasonable and expensive regulations on  
23 local government, business and industry without  
24 achieving water quality. The tentative order as  
25 proposed is a "one size fits all" approach that is not

1 scientifically proven (inaudible) unprecedented levels  
2 of regulation and which will be shifted to the local  
3 businesses. Eventually the order imposes new and  
4 unsubstantiated hydromodification (inaudible) in the  
5 county regardless of whether the projects themselves  
6 contribute to the problem.

7           It also requires a new and redevelopment  
8 (inaudible) to conditions that existed under natural  
9 preurban conditions will be a significant hardship to  
10 redevelopment and in fill of development. The  
11 performance will expose unnecessary lawsuits by third  
12 parties which will increase the permit impose an  
13 unattainable TMDL for bacteria which could put 2.2 and  
14 \$4.2 billion in this region over the next 20 years.  
15 We're concerned that the permit will open space and  
16 coastal linkages and wetlands functioning. We support  
17 the concept of a longer permit cycle so if we can see  
18 the permit we're using have (inaudible) before we begin  
19 changing it again.

20           We appreciate your staff holding the series  
21 of workshops to discuss the draft permit, and we're  
22 committed to working cooperatively with them and  
23 (inaudible) results producing permit. We're hopeful  
24 that the final will result in programs that make sense,  
25 both from an environmental and economic standpoint

1 (inaudible) the regional with the local agencies to  
2 ensure that water quality regulations are  
3 cost-effective and scientifically based.

4 Thank you for your attention.

5 CHAIRMAN DESTACHE: We are going to move to  
6 Pedro Orso Delgado.

7 MR. DELGADO: Good afternoon. Pedro Orso  
8 Delgado, City of Santee. I'll be brief.

9 You have heard basically all of the  
10 concerns. We at the city joined with the county board  
11 of supervisors in this call to action to protect water  
12 quality while controlling the mounting (inaudible)  
13 increased on local governments, businesses and  
14 industry.

15 We at the city support the regional water  
16 quality goal of protecting and improving water quality.  
17 We have proven our commitment to water quality by  
18 investing to restore Forest Creek and Woodland Vista  
19 Creek. However, this permit will send that (inaudible)  
20 will draw our focus away from continuing making  
21 improvements in water quality based on the draft will  
22 result in significant and unprecedented level of  
23 regulation and cost without basis and science.

24 There will also be significant cost passed  
25 along to local businesses. The two biggest concerns on

1 the draft permit are incorporation of the TMDL,  
2 bacteria regulation that is not backed in sound  
3 science, and significant additional monitoring costs  
4 without any measurable benefit to the water quality.  
5 As everyone else has stated, we would like the -- we  
6 could go back to the table with all of the  
7 co-permittees and work with your staff to fix that.

8 Thank you.

9 CHAIRMAN DESTACHE: Thank you. Just one  
10 addition. If in fact you are opposed or support a  
11 specific entity, if you could state that, we'd  
12 appreciate it. And if the previous two speakers have  
13 the ability to do that now.

14 MR. DELGADO: We would support modify, or we  
15 would oppose it, as it stands right now.

16 CHAIRMAN DESTACHE: Okay, thank you. It  
17 looks like Torrey Walker has been ceded Brett's  
18 (inaudible) time.

19 MR. WALKER: I'm Torrey Walker. I won't  
20 actually need the six minutes that Brett gave me so I'm  
21 sure you'll appreciate that. Thank you.

22 My name is Torrey Walker, president of  
23 Torrey R. Walker Engineering. I've been involved with  
24 surface water management for 28 years. First I do want  
25 to commend sincerely your staff's efforts in this

1 permit and appreciate the focus of meetings very much.  
2 And one of the biggest things I liked about this permit  
3 is the flexibility and outcome based approach that's  
4 incorporated into the water quality improvement plans  
5 and I'll come back to that.

6           The permit tentative order as it stands  
7 right now I cannot support, and I'm going to address  
8 only one element of that. And basically as a water  
9 resources engineer, I've come to see that as complex  
10 as storm water regulations are. They're not nearly as  
11 complex as nature which has always repudiated man's  
12 efforts to control and regulate it. The best we can  
13 ever do is seek to understand nature's processes better  
14 and that is to achieve some level of scientific and  
15 technical competence. Then with a better  
16 understanding, we attempt to best manage our activities  
17 through publicly accepted policies, and that's why  
18 we're here.

19           A failure to first properly understand the  
20 underlying science will always inevitably lead to poor  
21 public policy and also meaningless wasteful  
22 regulations; most importantly, however, with sometimes  
23 disastrous consequences.

24           So over the past 28 years I've observed and  
25 adapted to several shifts in focus regarding surface

1 water management. I've seen the inevitable problems  
2 that arise from when shifts in focus occur, and I've  
3 been in part of the solution for solving these  
4 problems. But the shift in focus that has been  
5 incorporated into this tentative order has me very  
6 concerned. I'm already beginning to (inaudible) focus  
7 better quality solutions that compromise public safety  
8 in larger storm events. This is an issue that everyone  
9 in this room should be very concerned about and some  
10 have expressed this already.

11           Even though our Mediterranean climate means  
12 we don't see frequent flooding causing events when we  
13 have them, we will be seeing more widespread damage in  
14 the future. One of the best specific examples in this  
15 tentative order is the unqualified requirement to  
16 uniformly retain almost all storm water runoff as a  
17 percentage. This is coming from a national push  
18 towards green infrastructure. It's not a (inaudible)  
19 concept, just a complex one. It's one that demands  
20 understanding of the limited application in our region.  
21 This is not currently recognized in the tentative  
22 order. And unless this understanding is recognized our  
23 (inaudible) will be severely undermined.

24           Consider the following: Much of our region  
25 consists of 90 percent rock and clay totally unsuitable

1 for infiltration. Currently 95 percent of all lawsuits  
2 in our region that are geotechnically based involve  
3 water. So it's an attempt to uniformly impose this  
4 requirement within our built (inaudible) process for  
5 obtaining a permit of technical (inaudible) for  
6 infiltrating runoff. The tentative order still  
7 (inaudible) even if it's technically infeasible. But  
8 we don't live in Washington, D.C. where EPA came up  
9 with this, or Washington State where it's been  
10 implemented (inaudible) Richard Horner's name earlier  
11 (inaudible) vastly different. Our built environment is  
12 different. The precipitation we receive is infrequent  
13 and comes in irregular patterns commonly known as the  
14 El Nino/La Nina phenomenon.

15           So, to sum this up, the exorbitant cost of  
16 uniformly (inaudible) imposing this requirement will  
17 only be a fraction of the cost of geotechnical failures  
18 in subsequent lawsuits. This requirement must be moved  
19 as it is from the permit and instead it should be put  
20 in as one of the tools that is available, because it  
21 does have some application.

22           Thank you.

23           CHAIRMAN DESTACHE: Next speaker will be Tom  
24 Fuller, Decatur Advisors.

25           MR. FULLER: My name is Tom Fuller with

1 Decatur Advisors. I'm a civil engineer and a longtime  
2 San Diego developer and builder and a member of the  
3 Bidding Industries Association (inaudible) which has to  
4 do with the prohibition of illicit discharges and  
5 connections to the MS4 in particular (inaudible) I have  
6 to tell you the focus group approach is excellent and  
7 very informative and commend the staff, but I also have  
8 to commend the co-permittees for their approach and  
9 presentation. They've really done an excellent job. I  
10 think brought (inaudible) some good clarity and moved  
11 process along.

12           The particular component of the tentative  
13 order that I'd like to address is ones required by the  
14 federal regulations 40 CFR, related it to nonstorm  
15 water discharges, and in particular to discharges from  
16 footing and foundation drains. It's addressed in the  
17 40 CFR and also in the tentative order EP2.A1 And 3.

18           At the focus (inaudible) we discussed this  
19 with staff and we seen some comments addressed through  
20 footnotes which are found on page 66 and 67 of the  
21 tentative order. And the problem is that where 40 CFR  
22 requires the footings and foundation drains category of  
23 discharges to be addressed as illicit discharges only,  
24 if the municipality identifies them as sources of  
25 pollutants to the waters of the U.S., the tentative

1 order says they're illicit discharges unless they're  
2 covered by a separate NPDES permit or it can be proved  
3 in advance that they're (inaudible) ground water during  
4 any part of the year. It's a different and much higher  
5 standard than to meet in the 40 CFR standard.

6 The problem in practicality is that the  
7 burden of proving that the foundation drains and  
8 footing drains are not a problem has shifted to the  
9 individual project component without any connection as  
10 to whether it's actually contributing pollutants to the  
11 waters of the (inaudible)

12 And secondly, these footing and foundation  
13 drains are extremely common, and they have been this  
14 (inaudible) for years and years. They're required by  
15 the building codes. And if the co-permittees'  
16 detection of illicit discharges, they identify these,  
17 I'm not sure exactly what they're going to be able to  
18 do.

19 Thank you very much.

20 CHAIRMAN DESTACHE: Next is Richard Hopkins.

21 MR. HOPKINS: Good afternoon, Mr. Chairman  
22 and members of the board. I'm Rick Hopkins, the Public  
23 Works director for the City of Chula Vista.

24 For the record, we are in opposition to the  
25 permit as written. We would hope to continue to work

1 with your staff to work through the issues that are  
2 very well highlighted by the co-permittee team. There  
3 are a couple of things I'd like to highlight with  
4 respect to Chula Vista that weren't mentioned. And  
5 certainly cost is not in the Clean Water Act, although  
6 the federal government certainly in early days of the  
7 Clean Water Act participated heavily in financing  
8 public projects, but financing is elusive. And  
9 Proposition 218, local jurisdictions cannot raise taxes  
10 without (inaudible) people Chula Vista's had some tough  
11 experiences with that over the last couple of ballots.  
12 So who's going to fund this, that's the issue.

13 I think we're trying to be deliberate and  
14 (inaudible) in what we put into the permit  
15 requirements. We want to make sure that all these  
16 requirements result in clean water which is everybody's  
17 goal and we see a permit as written. We weigh in the  
18 cost to the city with the provisions as written. Also  
19 we have impacts to our development community in the  
20 hydromodification area, there are certain project  
21 exemptions. Discharging directly to dispositional  
22 reaches of major rivers and development projects which  
23 impervious footprint is not increased (inaudible)  
24 scientific support for such (inaudible) eliminates  
25 these exemptions without further analysis.

1                   Predevelopment hydrology. Certain  
2 provisions of the proposed (inaudible) require projects  
3 to return to their sites hydrology to predevelopment  
4 conditions (inaudible) is questionable. But their  
5 immediate effect is to discourage development and  
6 redevelopment and HMP revitalization and economic  
7 growth.

8                   Thank you very much.

9                   CHAIRMAN DESTACHE: We have Luis Para, and  
10 he has been ceded three minutes by Taylor Lawson.

11                  VICE CHAIRMAN STRAWN: Mr. Crompton, you  
12 will be next if you want to get ready.

13                  MR. PARA: Good afternoon, board members. I  
14 hope I'm not going to need the six minutes. My name is  
15 Luis Para. I have a Ph.D in water quality form Texas  
16 A&M and (inaudible) also a full-time consultant in  
17 water quality issues. So I am one of the guys that  
18 people call when they don't know what to do and how to  
19 solve the mass of the compliance and regulations and  
20 saving money to the (inaudible) compliant. And it's  
21 getting even tougher and tougher to satisfy everybody.

22                  I'm here because I want to talk about a  
23 hydromodification expert in one of the issues that  
24 wasn't mentioned in the excellent presentations  
25 (inaudible) the Riverside county, the City of Santee

1 with Judy, and Orange County about the current expenses  
2 and all the problems with hydromodification. It is not  
3 that the permit eliminates extensions. They are still  
4 there. It basically means that they eliminate 90  
5 percent of the applicable ones.

6           It has made it really difficult for an  
7 extension. I don't think the permit qualifies  
8 (inaudible) existing underground storm drains and  
9 channels because they mentioned that if you are  
10 draining (inaudible) but if you are draining to an  
11 existing storm ground drain (inaudible).

12           But the point I want to address that hasn't  
13 been mentioned regarding moving away from the extension  
14 part, we have to do hydromodification in the current  
15 permit. We have to deal with the flow duration curve  
16 of a comparison between possible and predevelopment  
17 conditions. In the simple terms, we have to address  
18 the water in the way that nature intended for a range  
19 of flows. It's not entirely true that we are  
20 releasing -- what we're doing is we're releasing  
21 erosive water in the way that nature intended to  
22 release it which is different altogether. So I just  
23 wanted to make a clarification because what we're  
24 trying to do is release the same amount of water or  
25 less that nature intended before we were there. And

1 we're doing that comparison with existing conditions,  
2 not with natural occurring conditions. So there is a  
3 lot of problems that people have mentioned when we move  
4 to natural conditions, if susceptible than is legally  
5 entitled to do (inaudible).

6           But the point I wanted to make, and that's  
7 what I'm getting at, is there are two aspects of  
8 hydromodification. One is water that is already  
9 complex enough that we have to spend more than a  
10 million dollars dealing with HMP document that kind of  
11 guide you in how to do it. It's still acceptable  
12 improve (inaudible) but the second aspect of  
13 hydromodification that this permit incorporates is the  
14 most scary to me which is the compensation for the loss  
15 of sediment supply that is mentioned in the permit that  
16 nobody that's idea (inaudible) the project must  
17 compensate for the loss of sediment supply, good  
18 sediment, because you're natural. You can go to the  
19 water and then if it (inaudible) sediment you need to  
20 come here and be treated. So it's going to be very  
21 challenging to separate the good sediment which is the  
22 natural, the anthropogenic, sediment that we have to  
23 deal with. So how do we do that. Well, the permit  
24 says the project (inaudible) loss of sediment supply.

25           I'm going to tell you right now loss of

1 sediment supply will occur. Why? Because unless you  
2 are redeveloping any surface and not necessarily have  
3 to be surface, you can even put a (inaudible) and  
4 everything is still going to loss of sediment supply  
5 because the water drop isn't going to have the impact  
6 that nature intended. So even if you put landscape,  
7 the landscape sediment production is different than the  
8 natural Masonite sediment (inaudible) so they're  
9 actually getting into a very complex issue.

10                   So how are we going to deal with the  
11 sediment supply? So Orange County has provided some  
12 ideas of more or less try to see how to do it in the  
13 watershed manner. Let's try to identify watershed.  
14 Those areas that are highly sediment producing areas,  
15 let's say 10 percent of the watersheds that producing  
16 90 percent of the sediment. And if some of those areas  
17 have (inaudible) we can have that sediment production  
18 area. But on a project by project we cannot deal with  
19 that issue because we cannot put like a little part of  
20 the project that's supposedly hydro (inaudible)  
21 sediment producing and have an independent drain system  
22 (inaudible) sediment when it rains and then if it rains  
23 the eight years he has to throw (inaudible) sediment,  
24 it's totally unpractical from a technical point of  
25 view.

1                   And I can anticipate the nightmares of my  
2 future clients. "Luis, how will we deal with this and  
3 try to come up with a reasonable response to that?"

4                   So I really don't believe the top provision,  
5 as it's written, should be there because it's basically  
6 unfeasible to do. And if those -- one of those things,  
7 hydromodification with water, is already complicated  
8 enough, but when I deal with sediment you don't only --  
9 you need to deal with the quality of the sediment, the  
10 quantity of the sediment, the distribution of the sizes  
11 of the sediments. The way the sediment is put into  
12 the -- into the water system. So it is actually  
13 calling for a system that is going to fail. So if a  
14 project needs to comply with Part B, E32BF, the permit,  
15 the compensation for the loss of sediment, there is  
16 no -- basically the project is okay. I'm going to put  
17 a statement in there that I ain't causing no problems  
18 (inaudible) because there is no way to go around that  
19 issue. So I just wanted to add that most of the other  
20 points I had here, other people before me have already  
21 made them. So thank you for your time.

22                   CHAIRMAN DESTACHE: Richard?

23                   MR. CROMPTON: Good afternoon. My name is  
24 Rich Crompton. I'm the director of Public Works for  
25 the County of San Diego. And we oppose the permit as

1 currently written. Thank you for the opportunity to  
2 speak today.

3 I think we can all agree that we need to  
4 (inaudible) an approach to regulating water quality to  
5 best serve the interest of taxpayers, but a particular  
6 concern is the shift from a BMP-based permit to a  
7 numeric limit or a TMDL-based permit. This is a game  
8 changer. And what is it that made this change? It is  
9 likely that the EPA recommendation, I say  
10 "recommendation," in a memo of November 12, 2010, for a  
11 permitting authority such as your board to move to  
12 numeric (inaudible) remains hotly contested at the  
13 federal level. In fact, the EPA has yet to formally  
14 make a numeric limit or TMDL recommendation. In plain  
15 English what this means is a switch to a numeric limit  
16 or a TMDL based permit is based on a very controversial  
17 EPA recommendation. Again, this is a recommendation,  
18 not a requirement. And your board has total discretion  
19 to take actions and not include TMDLs in the new permit  
20 or to use a BMP-based permit.

21 The science that exists today, it can't  
22 scrub bacteria out of the water. If my board gets rid  
23 of some parks (inaudible) closes some fire stations to  
24 put the money into the bacteria TMDL, I can't even  
25 guarantee with the science that exists that I can

1 comply with the bacteria TMDL regulations. Even if you  
2 want to be really great people and change those limits  
3 and just say cut them to half, we still can't get the  
4 bacteria out of the water. The science just doesn't  
5 exist. While we urge your board to continue to revise  
6 the permit while keeping the following in mind  
7 (inaudible) first, local governments are not open-ended  
8 sources of funding. You're well aware of the budget  
9 limitations we face. For example, the regional board's  
10 only TMDL reports (inaudible) bacteria TMDL in the San  
11 Diego River watershed alone could reach hundreds of  
12 millions of dollars over the next 10 years. The  
13 regional costs are in the billions.

14           Second, we've invested a lot in our existing  
15 programs and are committed to their continued  
16 improvement. In many respects this (inaudible)  
17 reinvent the wheel rather than existing programs  
18 (inaudible). We agree that partnerships and  
19 collaboration should be the preferred approach wherever  
20 possible. Unfortunately, this draft permit doesn't  
21 follow this type of approach. We urge your board to  
22 direct staff to partner with county and local  
23 government staff to draft a permit that is truly  
24 strategic, flexible, affordable, adaptable, and does  
25 not include numeric TMDL limits or allow BMPs to be

1 used instead of the bacteria TMDL.

2 Thank you for your time.

3 CHAIRMAN DESTACHE: Mr. Bolin?

4 MR. BOLIN: Thank you. I am Dennis Bolin,  
5 principal of the Ridge Engineering Technical Advisory  
6 (inaudible) that put together the hydromodification  
7 (inaudible) that group not only (inaudible) did the  
8 co-permittees hire a consultant, as you've heard today  
9 over a million dollars in cost. They also have  
10 hundreds, if not thousands, of hours of staff time.  
11 And if you look at the volunteers that worked on this  
12 program, they literally had thousands of hours of  
13 volunteer time to put together the hydromodification  
14 management plan for San Diego county. I personally  
15 spent hundreds of hours on that plan. We had eleven  
16 meetings throughout the life of the project. Each one  
17 of them was typically a half a day meeting. There was  
18 homework associated with that. A whole lot of reading  
19 and technical back-and-forth with e-mails (inaudible)  
20 for San Diego county that was technically sound.  
21 Looked at the region, not just individual parts of the  
22 plan, but looked at the region. Looked at where  
23 exemptions where hydromod were appropriate for  
24 San Diego county. We vetted those well throughout the  
25 committee process and incorporated those in the plan.

1                   That plan was adopted by your board in July  
2 2010, became effective in January 2011. We're just  
3 getting started with the implementation of that plan.  
4 This permit as opposed (inaudible) and incorporated  
5 into this plan (inaudible), and that's just not a  
6 reasonable thing to do.

7                   We'd like to see this plan given an  
8 opportunity to succeed. This is a first-class plan  
9 with a lot of volunteer hours associated with it, and  
10 we'd like you to direct staff to keep the plan in  
11 effect as it is in the permit.

12                   Thank you.

13                   MR. GRAY: Chairman Destache, members of the  
14 board, I'm Mark Gray (inaudible) industry coalition on  
15 (inaudible)

16                   I represent six large (inaudible) associates  
17 that work in the south Orange County and south  
18 Riverside county areas. We are not in support of the  
19 permit as written today. I have three main points I  
20 want to make today.

21                   As you may have recall we have a vested  
22 interest in this permit. I represent developers and  
23 builders who plan and pay for these projects on the  
24 private side, and I represent the men and women who  
25 (inaudible) storm water controls that we're talking

1 about today the infrastructure. We have a vested  
2 interest in this. We're very interested, and we  
3 appreciate staff working with us over time. And I'm --  
4 three main points today.

5           Number one, the evolution of the LID and  
6 hydromodification requirements as compared to the 2009  
7 and '10 permits really don't have -- are not supported  
8 by solid findings of fact, both in the permit and the  
9 fact sheet. And I've reviewed these completely and --  
10 no audits, no annual report data, the same EPA  
11 citations are used in the permits research project,  
12 citations are used. There's nothing new that's been  
13 developed since 2009 and 2010 to tell us to take the  
14 leap where this draft permit is going right now.

15           I can site one quick example. The  
16 requirement to bio filter is one (inaudible). If you  
17 can retain the 85th percentile, 24 hours storm, there  
18 isn't a finding of fact to demonstrate the validity of  
19 that.

20           Number two, and most importantly, and their  
21 efforts to uphold and implement the existing HMP, we  
22 fully support that they bear repeating for the tenth  
23 time. Over \$1 million spent -- more than \$1 million  
24 spent on the HMP -- I believe it's 3 -- and the  
25 thousands and thousands of hours that have gone into it

1 (inaudible) Technical Advisory Group (inaudible) hits  
2 home for our membership the draft order  
3 hydromodification in the HMP process, not only in San  
4 Diego county, but with our friends in the municipality  
5 the (inaudible) working on the same types of technical  
6 bases for exemption. We're throwing good money after  
7 bad results and bad outcomes. I'll give you a couple  
8 of specifics.

9           The urban area exemptions have been removed.  
10 We're basically going to require hundreds of thousands  
11 of dollars for hydromodification control in urban  
12 areas. Being pressed, and probably rightfully so,  
13 through legislation (inaudible) and in places of  
14 climate change and redevelopment strategies this is a  
15 detriment with (inaudible) let me sum up with two more  
16 things. (Inaudible) needs to recognize not only  
17 concrete exists in hydro channels that have been  
18 hardened for flood control (inaudible) other types of  
19 hardening other than concrete and been removed.

20           And finally what I want to sum up, we  
21 support LID. We support the water quality goals that  
22 you have set when you're doing redevelopment. We're  
23 implementing hydromodification controls in implementing  
24 LID controls on-site. You're achieving  
25 hydromodification control already in the urban and

1 suburban footprint just by installing low impact  
2 development, just with the requirements that your staff  
3 have written. I think we need to recognize that. And,  
4 again, not require controls where it's not necessary.  
5 We're not going to have an impact and not (inaudible)  
6 Thank you for your time and your staff's effort.  
7 Really appreciate it.

8 CHAIRMAN DESTACHE: Tiffany Bloomfield?

9 VICE CHAIRMAN STRAWN: Wayne Rosenbaum will  
10 be next.

11 CHAIRMAN DESTACHE: Apparently Tiffany is  
12 not here.

13 MR. ROSENBAUM: Good evening, Mr. Chairman,  
14 members of the board. My name is Wayne Rosenbaum. I'm  
15 a partner with Sloane Reed. I'm here today on behalf  
16 various clients and I'm a member of the BIA Storm Water  
17 Committee.

18 I'm going to put on my lawyer's hat first  
19 and ask that we incorporate within the record for the  
20 purposes of this permit adjudication all of the  
21 materials received by regional board staff during the  
22 workshops. I think that's going to be meaningful and  
23 beneficial for all of us to be able to look back at  
24 that rather than (inaudible) I will supply to you  
25 written copy, but also request that it be made part of

1 the record (inaudible) the little Hoover Commission's  
2 entitled "Restructure Cleaner Water," and the  
3 senate-select committees on the impacts of regulation  
4 storm water on runoff in California.

5           Now that I've finished with that, the  
6 procedural part, from a policy standpoint, there are  
7 huge portions of this permit that my clients can  
8 support. Those portions of the permit, some of us are  
9 old enough to remember (inaudible) make huge sense. On  
10 the other hand, we believe that the permit is still  
11 stuck with one foot in the future and one foot in the  
12 past that we are asking people to prepare water quality  
13 improvement plans, which should be the model for going  
14 forward which I believe (inaudible) legal fix that  
15 friends from NRDY have talked about. It can work, but  
16 you cannot do that and simultaneously be stuck with  
17 command and control. The two pieces do not fit  
18 together.

19           And as simple examples of that, we have this  
20 issue of the discharge prohibitions which arguably is  
21 part of the water quality improvement plan, but having  
22 it hang out there over anyone's head waiting for  
23 somebody to test under Section 505 of the Clean Water  
24 Act whether the (inaudible) is viable makes a lot of  
25 people very uncomfortable the concept of an 85th

1 percentile retention level before we have really  
2 evaluated through the water quality improvement plans  
3 what the proper retention level may be on a watershed  
4 by watershed or even a subwatershed basis puts the cart  
5 before the horse. The idea that we are going to  
6 absolutely require that the prohibition of illicit  
7 discharges before we really understand which of those  
8 illicit discharges make a difference, which of those  
9 illicit discharges are historic.

10           And just as a footnote, I'm waiting for the  
11 first person to tell the first HOA you got this -- you  
12 have this footing drain and, Oh, by the way, you can  
13 get it permitted under an NPDES permit but shouldn't  
14 cost you more than 40, \$50,000 a year in testing.  
15 There are problems here you hadn't thought of so our  
16 suggestions are as follows. One, provide adequate time  
17 to implement the water quality improvement plans. I'm  
18 not sure it can be done in 18 months.

19           And then provide the comfort and the  
20 confidence to the regulated community that says we will  
21 maintain the status quo while we are developing these  
22 plans because the permit does not appear, although  
23 we've heard the permit does not appear, to be clear on  
24 that.

25           Thank you very much.

1                   CHAIRMAN DESTACHE: Michael Sweeney --  
2     McSweeney, sorry.

3                   MR. McSWEENEY: Mr. Chairman, members the  
4     board, staff, I'm Michael McSweeney. I'm the senior  
5     (inaudible) for the Building Industry Association. We  
6     represent 700 companies with approximately 30,000  
7     employees. I wanted to, first off, thank the staff for  
8     doing the meetings. I think the unintended benefit, if  
9     you will (inaudible) I'm probably the least  
10    knowledgeable in this group because I've been at the  
11    BIA for a year. And listening, it seems like we're  
12    focusing on one percent of the water to get it perfect  
13    and ignoring the rest of it instead of trying to solve  
14    the problem to get ahold of the hundred percent of the  
15    water. And maybe we can get -- I think that would be a  
16    better benefit going forward, but the problems with  
17    storm water pollution are regional. And if you look at  
18    outside this room, there's a graphic of how the sewer  
19    system started here. People used to have outhouses  
20    (inaudible) dumped their stuff and they did it property  
21    by property back then.

22                   We do it on a regional basis. We collect  
23    it, we treat it, and we dispose of it (inaudible) on a  
24    property by property basis. (Inaudible) Wayne stood up  
25    in that first meeting on the 27th of June and said we

1 want you to fail and we'll learn from that but it could  
2 take a hundred years from now. I don't want to  
3 sentence my kids (inaudible) of waiting for the end  
4 result.

5           But focus meetings were great and it  
6 reminded me of a three-legged stool. You've got the  
7 regional board co-permittees and you've got myself and  
8 Jill at the third stool. If you take any one of those  
9 legs out, the stool collapses. And what I would ask is  
10 that you continue the process of getting everybody  
11 together to work at this, because the decision that  
12 you're going to make going forward is going to have  
13 regional implications far beyond this. And as a  
14 citizen, in light of the -- I need 30 seconds -- in the  
15 overall effects this permit is going to have on  
16 employers, if it goes forward (inaudible).

17           As it is now, this will be one gigantic  
18 bulldozer to push employment out of the state. Why  
19 would anybody want to expand a business here? By a  
20 simple 5,000 square foot addition to the company could  
21 trigger a full site compliance which could cost them  
22 hundreds of thousands of dollars, when Austin, Texas is  
23 dangling (inaudible) they'll just commute back and  
24 forth on Southwest.

25           At this point (inaudible) and support this

1 permit, but as it is currently written we can't go  
2 there.

3 Thank you.

4 CHAIRMAN DESTACHE: at this point, we are  
5 going to (inaudible) ask board members for questions,  
6 comments that they would have. Hopefully we can get  
7 some questions.

8 David, do you have input at this point or  
9 (inaudible)?

10 MR. GIBSON: Just logistics. Our technical  
11 assistant over here (inaudible) that our digital  
12 recorder is nearly full and if we might want to take a  
13 few minutes to download that before we continue.

14 CHAIRMAN DESTACHE: It's not the first time  
15 that we have filled it up. So we'll take a five-minute  
16 break. And if anyone desires to come back, you can  
17 hear our comments.

18 (A recess is taken.),

19 CHAIRMAN DESTACHE: I'm going to attempt to  
20 get us out of here in the shortest possible time.

21 What I am going to say is that I've talked  
22 to the other board members and we have -- we're going  
23 to give staff questions that we would like for them to  
24 bring back to us in another public forum which would be  
25 next month's board meeting. And what we're going to do

1 in this fashion is that the co-permittees and the NGOs  
2 and the other people that are interested hear our  
3 concerns and what we're asking staff to do, so that  
4 they can come back prepared.

5 (Inaudible) we heard a lot about technical  
6 bacterial science and there was testimony regarding the  
7 capability of cleaning the water of its bacteria. I  
8 would like to see if in fact staff has documentation  
9 that that actually can be met and in what fashion that  
10 can be done.

11 On a broader scale, as far as numeric  
12 effluent limits for the permit itself, I was interested  
13 in the fact that the TMDLs have a life span that has  
14 timing in which the effluent requirements are met and  
15 how can that be implemented or can that be implemented  
16 within the storm water permit, the MS4. Also, the same  
17 with WQ Bells and what's the benefit of numeric  
18 effluent limits over BMPs, and we want to look at  
19 those. So basically it's a receiving water issue.

20 We may hear from the board on the 20th, the  
21 state board on the 20th, that they're going to go in a  
22 direction that we're not really trending towards, but  
23 we'll deal with that when we get there.

24 On hydromodification, I think a critical  
25 issue, and I tried to frame it with the US EPA

1 representative, that hydromodification is both a time  
2 sensitive issue, one that you go back to, and along  
3 with water quality. But hydromodification has its  
4 challenges. And with the hydromodification plan that  
5 we passed or the resolution for hydromodification, how  
6 can that be implemented into the MS4 in a more succinct  
7 manner. And that being how can we implement the rules  
8 and regulations that are included in the HMP because we  
9 really haven't gone very far down the road with that  
10 program to, for lack of a better depiction, just throw  
11 it down the drain. I think it's a valuable tool and I  
12 think it can be used in the MS4, but I need answers and  
13 clarification.

14                   On a global basis with staff and  
15 co-permittees, there is a tremendous amount of  
16 experience, expertise. The willingness to participate,  
17 we need to keep pushing that forward. So the more that  
18 the co-permittees, the NGOs, the interested parties can  
19 be involved, the better off we're going to be because  
20 this is a game that we have to play all together. We  
21 cannot be alone. We cannot regulate the public or the  
22 co-permittees in, an essence, we're regulating the  
23 public without input from the co-permittees and all  
24 other interested parties. It's beyond what I believe  
25 is our scope. And without input, we're not going to

1 get there.

2 I was very interested in the comment from  
3 Mr. Taylor, brought up roadways. It's imperative that  
4 we look at that portion of the permit because roadways  
5 are number one. They're critical to moving people in a  
6 safe manner. But there has to be better answers as to  
7 how we treat that. The Caltrans permittee, I believe,  
8 David, has it been approved by the state board?

9 MR. GIBSON: It has.

10 CHAIRMAN DESTACHE: Okay, so there's data  
11 and ability to use the documentation within the  
12 Caltrans permittee as part of the way we look at this  
13 permit. And I think it's important to do that.

14 Something struck me that (inaudible) said.  
15 I don't know if you misspoke or it was an intended  
16 comment, but you stated that our goal is for  
17 restoration and my goal is for clean water and always  
18 will be for quality clean water, and restoration is a  
19 tool that we used to do that, but clean water is my  
20 goal. And I think it's the rest of the board members'  
21 goal also.

22 Oh, the NGOs. There's a couple of  
23 statements that they were going to provide written  
24 comments. Have they provided written comments to date  
25 (inaudible)? Tomas?

1                   MR. MORALES: I wanted to thank everybody  
2 out there as well for their participation. When you  
3 were talking, Gary, I think I saw five lawyers in the  
4 audience writing your argument.

5                   For staff, just a couple of questions based  
6 on some of the things I've heard today and I just want  
7 answers (inaudible) I'm not particularly moved on  
8 something is just hyperbole.

9                   To the extent that I heard repeatedly the  
10 cleanup of the bacteria is infeasible, explain to me at  
11 some point why that is not the case. I'm assuming it  
12 is not the case because otherwise that would not have  
13 been put in at that level.

14                   I would also like a better understanding for  
15 myself on what the limits would be. I guess if  
16 something cannot be done in terms of, like, the basins  
17 near where a project occurs, what limits would be in  
18 terms of where it might be moved, because I don't want  
19 something that would create another vehicle that have  
20 lower income communities, for example, be like the  
21 catch basins for basins.

22                   MR. CHIU: I'm sorry, is that related to the  
23 bacteria or is that related to the development plan?

24                   MR. MORALES: Related to the development  
25 plan. I moved down from the bacteria.

1 MR. CHIU: Sorry about that.

2 MR. MORALES: This is more of in keeping  
3 with what Henry asked about, I wrote down the same  
4 thing.

5 If anybody out there can tell me what the  
6 breakdown is for the billions and billions of dollars I  
7 would appreciate it. Just give me, you know, a hundred  
8 million here, a hundred million there. I want to know  
9 what the time frame is. Like Henry also said, how much  
10 is already being spent? Because if this is over 20  
11 years and we're already spending billions and billions  
12 of dollars, okay.

13 And then, finally, legal. I'll just ask  
14 directly of staff. Okay? Thank you.

15 CHAIRMAN DESTACHE: Okay. One other item  
16 for staff. A couple of times we heard one size fits  
17 all, and that's not my interpretation of what this is.  
18 I would like to see more clarity on that (inaudible) or  
19 the WQIP being a one size fits all for each. I mean,  
20 both globally, regionally, and also watershedwise,  
21 because that's not my understanding is where we're  
22 going.

23 And then I truly want to thank everyone for  
24 participating. Without the type of participation we're  
25 having, we're not going to get there. One of the

1 things that made the Tijuana River Valley recovery team  
2 successful in that project get pushed forward and start  
3 getting funding was participation by all parties.

4 And so congratulations to all of you. We'll  
5 get this done. It will take us some time. And with  
6 your help, we'll get it done sooner.

7 Thanks, staff. I appreciate your time and  
8 your efforts, as always.

9 Thank you. We're adjourned.

10 (Proceedings adjourned at 5:50 p.m.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 STATE OF CALIFORNIA )

2 :ss

3 COUNTY OF SAN DIEGO )

4

5

6 I, the undersigned, a Certified Shorthand Reporter  
7 of the State of California, do hereby certify:

8 That the foregoing proceedings were taken before  
9 me at the time and place herein set forth;

10 The proceedings were recorded stenographically by  
11 me and were thereafter transcribed; that a verbatim record of  
12 the proceedings was made by me using machine shorthand which  
13 was thereafter transcribed under my direction; further, that  
14 the foregoing is an accurate transcription thereof.

15 I further certify that I am neither financially  
16 interested in the action nor a relative or employee of any of  
17 the parties.

18 IN WITNESS WHEREOF, I have this date subscribed my  
19 name.

20

21 Dated: \_\_\_\_\_

22

23

24

\_\_\_\_\_  
KERSTEN SONG, CSR No. 12796

25