

STATE WATER RESOURCES CONTROL BOARD  
DIVISION OF WATER QUALITY

WORKSHOP  
IMPLEMENTATION OF FEDERAL CLEAN WATER  
ACT SECTION 316(b) REGULATIONS

LAGUNA BEACH CITY HALL  
505 FOREST AVENUE  
LAGUNA BEACH, CALIFORNIA

MONDAY, SEPTEMBER 26, 2005

9:00 A.M.

PETERS SHORTHAND REPORTING CORPORATION (916) 362-2345

A P P E A R A N C E S

Pete Silva  
State Water Board Member

Jerry Secundy  
State Water Board Member

Also Present

Dominic Gregorio  
State Water Board Staff

Steve Saiz  
State Water Board Staff

Dr. Michael Foster  
Moss Landing Marine Laboratory

Tim Havey  
Tetra Tech

PETERS SHORTHAND REPORTING CORPORATION (916) 362-2345

## I N D E X

	Page
Proceedings	1
Opening Statements	
Pete Silva State Water Board Member	1
Jerry Secundy State Water Board Member	2
Prepared Presentations	
Dominic Gregorio State Water Board Staff	2
Steve Saiz State Water Board Staff	5
Dr. Michael Foster Moss Landing Marine Laboratory	8
Tim Havey Tetra Tech	19
Public Comment	
Jim McKinney California Energy Commission	34
Joe O'Hagen California Energy Commission	43
Nancy Yoshikawa U.S. Environmental Protection Agency	49
Tom Luster California Coastal Commission	51
Bill Paznokas California Department of Fish and Game	59
David Kay Southern California Edison	61
Susan Damron Los Angeles Department of Water and Power	65

## I N D E X

	Page
Public Comment - continued	
Tim Hemig California Council for Environmental and Economic Balance	72
David Nelson Coastal Alliance on Plant Expansion	78
Joe Geever Surfrider Foundation	78
April Wakeman Surfrider Foundation	84
Rhett Millsaps Stanford Law School, Environmental Law Clinic	87
Ben Rottenborn Stanford Law School, Environmental Law Clinic	93
Dana Palmer Santa Monica Baykeeper	97
Sarah Abramson Heal the Bay	104
Rebecca Pearl Environmental Health Coalition	108
Deborah Sivas Voices of the Wetlands and Stanford Environmental Law Clinic	113
Heather Hocherl Heal the Bay	120
Closing Comments	123
Adjournment	128

## P R O C E E D I N G S

-oOo-

BOARD MEMBER SILVA: -- and Steve Saiz, and then  
in the audience we have Bill Iserena (ph.).

As you may know, there's a growing scientific and  
public concern about the ecological health of the coastal  
bays' estuaries and ocean eco-systems. The impact of  
impingement and entrainment of aquatic life by cooling water  
intake structures and how to generate facilities is our  
focus today.

The purpose of this workshop is to receive  
comments on whether the State Water Board should develop a  
statewide policy to implement the Federal Clean Water Act  
Section 316(b) regulations on cooling water intake  
structures. The State Water Board also seeks public comment  
on issues that should be addressed if a statewide policy  
related to implementing 316(b) regulations were to be  
developed.

In addition, the State Water Board is especially  
interested to hear suggestions or ideas that will help to  
control or mitigate the entrainment and impingement of  
marine life at power generating facilities.

For the agenda today we have brief statement from  
-- first a brief statement from staff regarding the federal  
316(b) rules, and then we have two half-hour presentations,

1 one by Dr. Michael Foster of the Moss Landing Marine Lab,  
2 and the other by Tim Havey of Tetra Tech.

3 And then after these presentations we will open  
4 the workshop to public comment. If you wish to speak today  
5 please fill out a blue speaker card and give it to staff if  
6 you haven't already done so. And I think also we'll accept  
7 written comments, if you have any, today.

8 So with that, Jerry, any comments?

9 BOARD MEMBER SECUNDY: No. It should prove to be  
10 a very interesting meeting. Pete and I are very anxious to  
11 hear your ideas so please don't be shy in terms of your  
12 public comments. I doubt that you will be.

13 BOARD MEMBER SILVA: Okay. Jerry and I are sort  
14 of the tag team on, on marine issues. We've been working  
15 closely. We had a workshop yesterday on ASBS and hope to  
16 have some other workshops around the state.

17 So with that, Dominic.

18 MR. GREGORIO: Good morning, Board Members. For  
19 the record, my name is Dominic Gregorio, Senior  
20 Environmental Scientist with the Ocean Unit.

21 Let me start by describing the current status of  
22 the relevant legislation and regulations. Clean Water Act  
23 Section 316(a) requires the states to regulate thermal  
24 discharges from power plants. And the State Water Board's  
25 Thermal Plan, which dates from 1975, is a statewide water

1 quality control plan that addresses the impacts of heated  
2 discharges from power plants as required under 316(a).

3 We are conditioned to consider the impacts of --  
4 or on beneficial uses from discharges from industrial  
5 facilities and to regulate those accordingly. Today's  
6 subject forces us to consider the intake and mortality of  
7 marine life.

8 In coastal California, the power generating  
9 industry has discharges, if we consider their permitted  
10 maximums, of about 16 million gallons a day. So, you know,  
11 now considering the intake, that would be 16 millions of --  
12 16 millions of gallons a day also of marine or estuarian  
13 water and its associated marine life. The intake of marine  
14 life is addressed in Section 116(b) of the Clean Water Act.

15 316(b) requires that cooling water intake  
16 structures request the best technology available for  
17 minimizing adverse environmental impacts. The (inaudible)  
18 USEPA recently issued regulations, and it was in phases.  
19 There's a Phase 1, a Phase 2, and upcoming will be Phase 3.  
20 Today we're only going to concentrate on the first two  
21 phases, with an emphasis on Phase 2.

22 Phase 1 regulations were applicable to new power  
23 plants and those were finalized in December of 2001. The  
24 Phase 2 regulations are applicable to existing large power  
25 plants, and those were finalized in February of 2004. I

1 should mention that we have no new power plants that are  
2 planned right now or are in the application stream that  
3 would have once-through cooling, so really, the applicable  
4 regulations for today's discussion are the Phase 2  
5 regulations.

6 California Water Code currently requires that new  
7 or expanded power plants minimize the intake and mortality  
8 of all forms of marine life. And there's an existing State  
9 Water Board policy, also dated from 1975, that promotes the  
10 use of once-through cooling in oceans and bays instead of  
11 inland water bodies as a means of conserving fresh water.  
12 However, that policy does not address the effect on marine  
13 life. And the thermal plan also does not include any  
14 requirements for intake structures, and therefore there is  
15 currently a void of any statewide plan or policy to address  
16 the entrainment and impingement effects.

17 As you know, the regional boards issue NPDES  
18 permits that regulate the impacts of thermal discharges,  
19 chemical constituents, and entrainment and impingement from  
20 power plants under the 316(b) rules. And these permits are,  
21 for the audience's sake, are reconsidered and renewed every  
22 five years. So for California's existing power plants, this  
23 is an opportunity to reconsider and further regulate the reg  
24 caps. Up until now, each regional board has been  
25 independently addressing the entrainment and impingement

1 issues within the NPDES renewal process. However, the  
2 316(b) rules are difficult to implement because, among other  
3 reasons, it's hard to estimate the baseline conditions and  
4 to evaluate equivalent restoration measures. Also, there's  
5 a great deal of flexibility in the rules, and sometimes that  
6 is the source of a little bit of discussion, I would say,  
7 between the stakeholders.

8           It's important to note that the L.A. Regional  
9 Board has several power plant NPDES permits that are due for  
10 renewal this year. Or, I guess it is next year, but they're  
11 considering them now. And that's the largest number of any  
12 of the regional boards. Beginning in 2003, the L.A.  
13 Regional Board staff formed a 316(b) stakeholder group. The  
14 purpose of the stakeholder group is to provide a forum for  
15 addressing permitting issues, including the procedures for  
16 conducting the required studies. And I should say that if  
17 we, at least the staff recommendation is that if we do move  
18 forward on a statewide policy that we build on that  
19 stakeholder process that's already been issued.

20           So now I'll turn the presentation over to Steve  
21 Saiz of the Ocean Unit to briefly describe the actual 316(b)  
22 rules.

23           MR. SAIZ: Good morning, Board Members and  
24 audience. As Dominic mentioned, the -- as Dominic  
25 mentioned, Phase 1 of the 316(b) regulations -- go back --

1 were established for new, new facilities, and there are no  
2 new facilities, so the main focus is going to be on the  
3 Phase 2, existing facilities.

4           In California there are 21 existing power plants  
5 along the coast of California that use once-through cooling.  
6 And this slide and the next slide are a enumeration of those  
7 facilities. Part of the requirements in the Phase 2  
8 regulations that the EPA has promulgated is that the  
9 facility has to have 50 MGD or greater, and you can see,  
10 looking down this list, some of these facilities have some  
11 very substantial flow rates. We're, we're measuring some of  
12 these in the millions of gallons per day level. For  
13 instance, Pittsburg, that would be one million gallons per  
14 day. Diablo Canyon, 2.5 million gallons per day. And the  
15 largest permitted discharge for the power plants is at the  
16 SONGS facility, the San Onofre Generating Station, 2.6  
17 million gallons per day.

18           So you can see that these are not insignificant  
19 flows, and the issue really becomes what are the  
20 environmental effects of the impingement and entrainment at  
21 these facilities.

22           The NPDES -- the Clean Water Act states that --  
23 actually, it's the national, the promulgated facilities --  
24 let me start over. Sorry.

25           There's national performance guidelines that are

1 part of these regulations, the 316(b) regulations, and for  
2 impingement, what basically that means is that the fish or  
3 shellfish or aquatic life is being impinged against some  
4 type of intake stream at the, the mouth of the intake  
5 structure. And the national performance guidelines  
6 requirements are for impingement to be 80, the reduction  
7 from baseline to be 80 to 95 percent on the calculation  
8 based on. And entrainment, the entrainment is all those  
9 organisms that pass through the, the intake facility, intake  
10 structures, those streams, and become entrained into the  
11 waterways internal to the facility. And here those --  
12 locally, we're talking about through now like stages of fish  
13 and aquatic life. And those organisms are exposed to  
14 stresses of heat, chemical, and physical stresses. The new  
15 regulations have explicit data requirements, so that the  
16 character, we need to characterize the environment where the  
17 water is being drawn from, the design and operation of the  
18 facility, and so on.

19           There are options in the Phase 2 regulations for  
20 designing and constructing some parts of the facility to  
21 reduce, to meet those performance guidelines for entrainment  
22 and impingement, and there's also some options for  
23 restoration. And the restoration means that they will have  
24 a -- there's ecological benefits to the water body at a  
25 level that is similar to that level that would be met from

1 the performance standard. And there are some requirements  
2 for having these restoration measures, it has to be more  
3 feasible, higher cost effectiveness or a better  
4 environmental desirability.

5           So a very critical question is how should that  
6 baseline calculation be measured. In other words, what is  
7 the reference that those performance guidelines of 60 or 80  
8 percent going to be based on. And this is an area where I  
9 think that what we've seen from industry people, they have  
10 told us that they would like to see some consistency in how  
11 those baselines are calculated for each of the facilities  
12 within California.

13           And similarly, for -- if the option of restoration  
14 is the best option, how, how can you restore an eco-system  
15 and measure what is going to happen at that facility and,  
16 and say that there is a one to one correspondence with the  
17 improved eco-system.

18           And now I'd like to introduce Dr. Michael Foster,  
19 from the Moss Landing Marine Laboratory, and he'll make the  
20 next presentation.

21           DR. MOSS: Thanks, Steve, for the introduction.  
22 I'm going to talk about issues that are (inaudible) this  
23 issue of once-through cooling. This, the title is actually  
24 the title of a White Paper that was developed by the CEC  
25 this spring and early summer as a thorough review of those

1 issues related to California power plants. And I think that  
2 copies of that paper, which is actually quite long and  
3 extensive, and I think thorough, are available here as well  
4 as on the Energy Commission website.

5 My part of this -- my part of this White Paper was  
6 to look at the biology of the impacts and the science behind  
7 the impacts. Being, as Mr. Silva pointed out in his  
8 introductory remarks, there's sort of an increasing  
9 recognition that coastal and estuarian waters are degraded,  
10 and a considerable concern about what's causing the  
11 degradation and what the citizens of the United States can  
12 do about it. And the major impacts that have been sort of  
13 identified nationwide are listed there. Pollution, over-  
14 fishing, habitat destruction, (inaudible) species, ocean  
15 warming, and so forth.

16 Work that the Energy Commission has done, in terms  
17 of re-powering projects over the last probably ten years,  
18 suggested that once-through cooling may actually -- should  
19 be on this list. And so what I put up there is a question  
20 mark. I then reviewed the existing information on once-  
21 through cooled coastal power plants, and that's what I'm  
22 going to talk about today.

23 There are 21 power plants, as Dominic pointed out.  
24 We've got to get together on our map, Dominic, I've got 17  
25 million, you get 16. But anyway, I guess it's likely

1 (inaudible). And the distribution of those plants, in terms  
2 of where they, what habitats they impact, are as follows.  
3 There's two (inaudible), six in coastal sand harbor  
4 habitats, and 13 in bay and estuarian habitats. And you can  
5 see, the largest by and large are the bay and estuarian  
6 habitat plants.

7 In addition, there are clusters of plants which,  
8 and particularly in the San Pedro Bay area, Santa Monica Bay  
9 area, and the Sacramento-Delta/San Francisco Bay region, and  
10 there's a concern that there may be cumulative impacts.  
11 That is, the overall impacts of these clustered power plants  
12 may be greater than the sum of the individual impacts due to  
13 overlapping the source waters, et cetera.

14 So just by way of a brief background, this is  
15 Diablo Canyon, just to show you what the main impacts are.  
16 You can see the discharge impact there is largely thermal,  
17 and then the other impacts are impingement and entrainment  
18 over on the right, and associated with the intake.

19 So what actually happens. Fish and other  
20 organisms are entrained with the cooling water. There are  
21 screens usually around three-eighth inch mesh that impinge  
22 everything larger than three-eighths of an inch, and those  
23 are removed. And then everything else that goes into the  
24 plant is what we usually refer to as the real entrainment,  
25 and that's subjected to turbulence, hot -- heating, et

1 cetera, and then pumped back out of the environment. I  
2 think the thermal plant limit is 20 degrees, and plants vary  
3 a bit around that, but that's a fairly good average. So we  
4 have three major sources of impact; thermal, impingement,  
5 and entrainment.

6           This is an example of how extensive the thermal,  
7 this effect can be. This is Diablo Canyon, and the aerial  
8 photograph showing the extent of the heated water coming out  
9 from the discharge into Diablo Cove, and then spreading up  
10 and down the coast and out into the ocean. You can see the  
11 scale there, it's pretty large, that's 500 meters. So we're  
12 talking of kilometers of coast in some areas.

13           And there are significant thermal impacts. Diablo  
14 Canyon is an example, South, South San Diego Bay is a good  
15 example. But these generally are very site specific, and  
16 particularly large rocky bottoms with enclosed waters. This  
17 is an example of (inaudible) tidal zone in Diablo Canyon  
18 before the discharge started and then after the discharge  
19 started, and you can see that most of the major (inaudible),  
20 most of the large seaweeds are eliminated.

21           But all of these suggest that these are very site  
22 specific. And this is interesting because when the power  
23 plants were first being constructed and looked at in the  
24 seventies, the big worry for most marine ecologists was the  
25 effects of the thermal discharge. And it turns out that --

1 and it was hindsight, it looks like people should've been  
2 more aware about entrainment, except at specific locations.

3           Impingement's the same way. It also turns out to  
4 be very site specific, depending upon sort of the habitat  
5 right around the intake, particularly if there's (inaudible)  
6 nearby and so forth, impingement's going to be quite large.  
7 If it's an open sandy beach area, impingement is often quite  
8 low. But it can be significant. In the analysis of the  
9 Huntington Beach Power Plant project, we did try to do a  
10 cumulative (inaudible) analysis with (inaudible) on the  
11 impingement, and it turns out the impingement in the  
12 southern California by power plants is somewhere between  
13 eight and 30 percent of the total sport fishing catch, which  
14 is not an insignificant number. By the way, 90 percent of  
15 that is, is on the San Onofre Nuclear Power Plant, which  
16 draws water from an area (inaudible).

17           So that brings us to entrainment, then. And I  
18 think that the reasons that folks thought that entrainment  
19 was not going to be a significant issue with coastal power  
20 plants was there was this notion in the seventies that the  
21 ocean was a sort of limitless frontier. But it turned out,  
22 and we know now that that's not the case, that coastal and  
23 estuarian water is a very distinct habitats, and they have  
24 their own communities to a limited extent. And in fact, sea  
25 water is not just water, it's actually a community of living

1 organisms, some of which spend their whole lives in that  
2 water, and some of which produce eggs and larvae which grow  
3 up in that water. And so it's, you can think of the area  
4 that's being entrained as rather a thin strip along the  
5 coast, and it is not limitless.

6           So what's in there. Well, this is a, this little  
7 chart was based on a review and analysis of the data in the  
8 more recent 316(b) studies, everything from (inaudible)  
9 generating station, through Morro Bay. And you can see that  
10 these are, these are members of species, and then the  
11 environments in terms of numbers per 1,000 cubic meter. And  
12 you just look at it and one thing that impresses you is  
13 there's a lot of things in the sea water, and a lot of them  
14 are extremely abundant. The other thing that's impressive  
15 is that, is that there are lot of fish along with those  
16 things, and that has been the main concern and the main  
17 analytical concern in most 316(b) studies.

18           And you can see that for the recent 316(b) studies  
19 that have been done, the number of fish per thousand cubic  
20 meters is around 400 to 600. That's a (inaudible) fish.  
21 Well, if you scale that up to the 17 million gallons a day,  
22 using the scaling factor of (inaudible), that means that  
23 around 50 million marine and estuarian fish are entrained  
24 per day in California, and these fish are killed. So that  
25 is suggesting that that could potentially be a problem.

1 Again, looking at this as a limited habitat, not an  
2 unlimited habitat.

3           So why are these entrainment effects assessed?  
4 The traditional view that was used in the seventies and  
5 early eighties was the one on the left, where you look at  
6 the larvae that are entrained and use information about  
7 their life histories to estimate how many adult fish of that  
8 species do those larvae represent. And then you compare  
9 that to the fisheries' catch for that species. Those  
10 analyses essentially conclude they ignore impacts on all  
11 other species, and their comparison is only to the fishery  
12 catch.

13           In more modern analyses, starting with the Diablo  
14 Canyon Nuclear Power Plant and, and I think supported very  
15 well by the Southern Coast Regional Water Quality Control  
16 Board, which has developed considerable expertise in this  
17 area, is to use a model which actually estimates the percent  
18 of larval mortality, that is, the number of larvae killed,  
19 so that the -- divided by the total number of larvae  
20 available in the source water. And so you determine that,  
21 the area of the source population. You determine the  
22 proportion of mortalities, and if you multiply those  
23 together you get a -- for that species, you get a sense of  
24 the actual habitat that's been lost as a result -- the  
25 habitat that's consumed as a result of the power plant

1 consuming the production of that habitat. And we call this  
2 the habitat reduction (inaudible) method, and I'll talk a  
3 little bit more about it in a second.

4           We often get asked, well, why not a more direct  
5 determination, why can't we more thoroughly assess impact on  
6 all species, and the little box at the bottom sort of  
7 outlines that problem. And it really is a (inaudible)  
8 problem. The impacts occur over large areas, there's lots  
9 of species, there's a lot of natural variation, and there's  
10 multiple impacts in the involved areas besides these power  
11 plants. So it's presently impossible to accurately analyze  
12 the effects sort of on a cumulative level.

13           So instead, what we've tried to do is, is apply  
14 this habitat reduction (inaudible) method in a little bit  
15 larger context. So that would look as follows. Let's  
16 assume that you have a hypothetical power plant and the  
17 entrainment study found the average proportional mortality  
18 for the estuarian species that could be assessed, which  
19 (inaudible), was 17 percent. And let's assume the area of  
20 estuary was 2,000 acres, and that's the source water, so  
21 it's the same for all species.

22           So then that habitat is required to compensate for  
23 those losses, which would be the new estuarian habitat  
24 needed, (inaudible) the area times the proportion, average  
25 proportional mortality, which are these 240 acres. That

1 represents the acreage in which all production of larvae was  
2 eliminated, and this has formed the basis of mitigation  
3 measures, or mitigation discussions in all recent  
4 (inaudible) studies in California.

5 I mentioned cumulative effects. Because of our  
6 lack of understanding of (inaudible) coastal oceanography,  
7 we're sort of (inaudible) into this field. But a possible  
8 example here. If you just use (inaudible) data for  
9 circulation within Santa Monica Bay, and look at the  
10 estimate of percent of surface water that's entrained, drawn  
11 in in cooling systems in the three power plants that  
12 (inaudible) El Segundo and Redondo Beach, and you can add  
13 those up. Just on sort of volumetric basis, they account  
14 for about 13 percent of the surface circulation in Santa  
15 Monica Bay. That's potentially a fairly scary number, given  
16 everything else that's happening in the Santa Monica Bay.  
17 And if those withdrawal areas overlap, the effects on the  
18 organisms is going to even be greater.

19 So considerable more attention, I think, needs to  
20 be paid to these cumulative effects than have been in the  
21 past, and I don't think the Phase 2 316(b) regulations  
22 address those at all.

23 So what have the results been from recent studies.  
24 So the original studies up there, six power plants are  
25 listed, they were done in 19 -- 1980. And you can see that

1 based on the fisheries' losses, they pretty much all  
2 concluded there was no adverse impact. On the right are  
3 estimates from recent 316(b) studies, giving this habitat  
4 reduction for (inaudible) analysis, and you can see that the  
5 result is quite different. Considerable numbers of acres of  
6 production lost, using this method, as a result of power  
7 plant operation.

8           If you just take the estuarian loss, the 13 power  
9 plants, 8.39 million gallons a day, and if you use the  
10 studies that have already been done, it turns out that the  
11 habitat reduction (inaudible) is about 1.2 acres per million  
12 gallons a day. Now, we've looked into, in the case of Moss  
13 Landing and Morro Bay, the cost of restoring wetlands in  
14 these areas, of any area in California, and it averages, at  
15 least of about five years ago, about \$114,000 per acre. So  
16 if you scale that up and say okay, we'll use that to look at  
17 all the power plants, that amounts to about 10,000 acres  
18 lost and a cost to restore of over a million dollars. That  
19 10,000 acres is, is over twice the total acreage of Elkhorn  
20 Slough and Morro Bay, which are two nationally recognized  
21 important estuarian systems in California.

22           So I would argue that these data suggest that this  
23 is not an insignificant problem. They also suggest that  
24 alternative (inaudible) technologies should be seriously  
25 considered when these plants are being evaluated.

1           Okay. So there are 13 coastal power plants that  
2 lack recent entraining impact assessments. Based on review  
3 that I've done, I argue that the accuracy of the original  
4 assessments is unknown, largely because of the methods used.  
5 Only impacts on fish species were considered. No cumulative  
6 impact assessments were done, and the studies are 25 years  
7 old and out of date. And if we're going to truly determine  
8 what the general effect of the coastal power plants are, we  
9 really need to know these impacts both on an individual  
10 plant level and a cumulative level. And to know them  
11 comparatively it's absolutely essential that they're  
12 consistent approaches and interpretations used in the  
13 studies. Otherwise, (inaudible) comparing apples, apples  
14 and oranges.

15           Lastly in that list, I'm convinced, and it's not  
16 just to feather my own nest, that review of these studies is  
17 needed by unbiased experts. It is unfortunate, but I think  
18 most water board staffs simply do not have the expertise to,  
19 to critically evaluate the very technical information that  
20 is required in assessing entrainment. And I think also that  
21 since most of this is done by consulting firms hired by the  
22 industry, it just makes sense that there's some (inaudible)  
23 even though our experience with industry studies has been  
24 actually excellent.

25           And finally, I want to point out, because I have

1 gotten a lot of criticism for this, industry often says  
2 well, that's all well and good, Foster, but really, we're,  
3 we're complying with the regulations. And my argument is  
4 that assessment is fundamentally a science issue. And until  
5 the science is right, nothing else will be right.

6 Thank you.

7 SPEAKER: Next we have Tim Havey, from Tetra Tech.  
8 Tim has been involved with permitting issues related to  
9 316(b) throughout the nation.

10 MR. HAVEY: I've also, for better or worse, been  
11 involved in 316(b) regulatory development for about eight  
12 years now, so I'm a little familiar. I'll try to not be too  
13 duplicative of Steve and Dominic's presentation earlier.  
14 I'm going to give a little bit more background on 316(b)  
15 itself, and also the (inaudible) regulations and how  
16 compliance is going to proceed from here.

17 Two quick things about Section 316(b) that kind of  
18 make it unique. It's the only place in the, in the law that  
19 discusses water intake as opposed to discharge, and it's the  
20 only use of the phrase, "best technology available for  
21 minimizing adverse environmental impact." If they had kind  
22 of defined those things, it might have given us a little  
23 more guidance now. But as it is, AEI does not have any kind  
24 of a definition of the use for 316(b), at least across the  
25 board.

1           How exactly did we get here? 1976 was the first  
2 effort by EPA to put out some sort of a regulation. That  
3 reg was remanded on a technicality in 1978 or '79, I  
4 believe. Since that time it's been implemented on a case by  
5 case basis, and there's been a wide variety of exactly how  
6 that's occurred from state to state and region to region.  
7 Fast forward to the early nineties. The river keeper,  
8 Hudson River, filed a lawsuit against EPA. That resulted in  
9 a consent decree by which EPA agreed to develop new  
10 regulations, first in two phases, later in three. I think  
11 originally it was new and existing facilities. Later, EPA  
12 said it would be much easier and more effective if they  
13 divided Phase 2 into two phases itself. Phase 3 is going to  
14 deal with all the small power plants less than 50 MGD, and  
15 that's the design intake capacity in all the manufacturers,  
16 as well.

17           Phase 1, as I mentioned, is final and effective.  
18 It was adjudicated in February of 2004. As I'll discuss a  
19 little bit later, the only part of Phase 1 that was remanded  
20 was restoration, and it may or may not have a significant  
21 impact on Phase 2 proceeds. The effective date for Phase 2,  
22 which is what we're here discussing today, is September 7th  
23 of last year. That's currently in litigation by both  
24 industry and environmental groups. Several issues, major  
25 ones, I believe, are being decided. There's no schedule as

1 of yet. I believe that oral arguments will be scheduled  
2 sometime in either late winter or early spring. A possible  
3 decision, final decision sometime in the summer or fall. It  
4 depends.

5 Originally, Phase 2 was assigned to the Ninth  
6 Circuit, but it was moved back to the Second Circuit, which  
7 is also the same circuit that decided Phase 1, so they do  
8 have the advantage of being educated on the issues, at  
9 least. That may provide for a more expedited schedule.

10 Phase 3 does not have much impact on California,  
11 as far as I can tell. Based on the, the survey data, I  
12 think there are only three facilities that I can find that  
13 would be subject to Phase 3.

14 Exactly who's applicable, who it's applicable to.  
15 You have to be in the NPDES program. Surface water  
16 withdrawal, you -- obviously use 25 percent or more for  
17 cooling water. That's exclusive use for cooling purposes,  
18 no processed water, 50 MDG or greater. Part of the SAC 49  
19 group for electric power, and also meet the definition of an  
20 existing source.

21 Exactly what is an existing source? The new  
22 facility rule defined it as, as a facility that commenced  
23 construction on or before January 17th, 2002. It gets a  
24 little bit murkier, though, in terms of how we consider a  
25 facility and what part of the facility is under

1 consideration for 316(b) purposes.

2           As a short end, I like to tell people that if you  
3 consider the cooling water intake structure itself up to and  
4 including the pumps, that's a good starting point for how  
5 you consider an existing facility under Phase 2. A couple  
6 of examples of facilities that would be considered an  
7 existing source are listed there. Facilities that modify  
8 their process, they increase the intake capacity of their  
9 cooling water structure would be considered a Phase 2  
10 facility. Likewise, if they built a new, a new generating  
11 unit or so on at the site and they increased their capacity,  
12 they, too, would be considered an existing source.

13           This does come into play for several facilities up  
14 and down the coast. And (inaudible) possibly in the future  
15 will be repowering Redondo Beach, Morro Bay, of course. El  
16 Segundo has a repower project, as well. So how we consider  
17 those facilities is important.

18           Again, if there's one number you come away from  
19 this meeting with today, it should be 21 facilities up and  
20 down the coast. A couple of notes here about these  
21 facilities. Phase 2 considers estuary and ocean, estuary  
22 and tidal river and ocean facilities, all of which these  
23 are. But they define estuary and tidal river a little bit  
24 differently than, say, the thermal plant or the, the ocean  
25 plant. It's largely based on salinity and the impacts of

1 tides. All of these would be considered estuary type river  
2 or ocean facilities. But again, that's different from the  
3 discharge point. It's based on the intake point. Several  
4 facilities that I'm aware of actually intake or withdraw  
5 water from a different water body than they discharge to.

6 Exactly what is required? The performance  
7 standards is really what it comes down to for Phase 2.  
8 We're talking about impingement mortality, not actually the  
9 active impingement, and that's reduced by 80, 80 to 95  
10 percent from the calculation baseline. I'll talk about that  
11 in just a moment. Entrainment -- actually, that number's  
12 wrong. It should be 60 to 90 percent from the calculation  
13 baseline. Entrainment, we're talking about active  
14 entrainment, not entrainment survival. There's a lot of  
15 debate about whether or not this is appropriate, since there  
16 are some studies, disputed, of course, that show that some  
17 organisms survive entrainment and go on to be viable in the  
18 aquatic community. Other people say absolutely not.

19 The other issue is that the reduction of  
20 entrainment, the manner in which it's accomplished is  
21 important. If it's by screening, it's possible that that  
22 actually has the same negative effect as if the organism  
23 were entrained themselves. I'll talk about that a little  
24 bit later, also.

25 For California, as I said, all of the facilities

1 are either ocean or estuary tidal river. It's, for 316(b)  
2 it's a bit of a distinction without a difference, because  
3 the impingement mortality and entrainment standards apply to  
4 both in the same manner. The only difference would be for  
5 peaking facilities in which impingement mortality is the  
6 only standard that applies. A peaking facility is defined  
7 as, as one that uses 15 percent or less of its generating  
8 capacity.

9           Exactly what is the baseline. This is how we're  
10 going to determine compliance and measure compliance down  
11 the road. EPA set up a standard for, for measuring a  
12 baseline facility, and that is a shore lining type structure  
13 having the standard three-eighths inch mesh screens, no  
14 other controls. Essentially, that is what, what most  
15 facilities are right now. A common facility.

16           You can take credit, though, when you estimate  
17 your baseline numbers for your existing reductions that may  
18 result from either an intake configuration or a technology  
19 that's in place. A lot of the southern California  
20 facilities have velocity caps, or they're located offshore,  
21 that may reduce impingement and entrainment, as well. A  
22 facility (inaudible) can take the as built approach, which  
23 says we'll take what we are right now and that'll be our  
24 baseline, so they can measure their impingement and  
25 entrainment and go from there without actually having to do

1 any kind of estimates from there.

2 Phase 2 has five compliance alternatives that are  
3 available to all the facilities. I'll go through these  
4 pretty quickly. The first is velocity approach  
5 restrictions. If a facility decides that they're going to  
6 reduce their intake flow commensurate with the closed cycle  
7 system, they're basically out of the rule. They just have  
8 to demonstrate that they've done so. They can also reduce  
9 their design through screen intake capacity to a half-foot  
10 per second, and that's applicable for impingement standards  
11 only, and it's largely based on a generally agreed upon  
12 number of half a foot per second, which most motile fishes  
13 can escape during the intake process. A small number, that  
14 is a through screen intake velocity, not an approach  
15 velocity. There's a difference.

16 Alternative two. If you are already complying,  
17 basically, if you have technologies or your operational  
18 measures actually meet the Phase 2 requirements, then you  
19 don't have to do anything else save demonstrate and, and  
20 validate that you are doing so.

21 Alternative three is probably the most common for  
22 most Phase Two facilities, and it basically will say -- is  
23 that the facility will go out and analyze technologies or  
24 operational measures, possibly restoration, as well, that  
25 meet the performance standards, and provide guidance to

1 their regional board exactly how those measures will be  
2 implemented. It's basically things that are not occurring  
3 at the facility at the time.

4           Alternative four does not really apply to  
5 California yet. It's for an approved, pre-approved  
6 technology. In the Phase Two regs, EPA approved one  
7 technology that was cylindrical wedge wire screens for use  
8 in freshwater rivers and streams only, based on a variety of  
9 factors that, again, don't apply to California, but it does  
10 leave open the option for the director, whether it be from  
11 the state board or the regional board, to approve another  
12 technology that can be, that can be implemented. And this  
13 approved technology option has a more streamlined approach  
14 to the compliance side of it. There's less study  
15 requirements, the verification monitoring is a little less  
16 stringent, as well.

17           The fifth, which may be the most common for a lot  
18 of facilities, is a site specific determination. How that  
19 occurs is based on cost (inaudible) cost benefit test. EPA  
20 estimated cost, compliance costs for all the Phase Two  
21 facilities in the rule, and they also estimated benefits  
22 through evaluation study that would result from, from  
23 compliance at all facilities. If a facility can demonstrate  
24 that the costs they would need to comply with the Phase Two  
25 rule would be significantly greater than those estimated by

1 EPA during the rulemaking process, they could then go for a  
2 site specific determination. The same applies to the cost  
3 benefit side. If the benefits are significantly less than  
4 the costs that would be required to comply, they can then go  
5 ahead for a site specific. But again, the site specific is  
6 supposed to be as close as practicable to those proposed  
7 standards while following the same general approach, which  
8 is a technology based approach, to complying with the Phase  
9 Two rule.

10 The schedule itself. Again, the rule itself was  
11 effective on September 7, 2004. What that means is any  
12 facility that has a permit expiring on or after that date is  
13 required to comply immediately, although -- the second  
14 bullet there -- facilities that are in that first four year  
15 period after September 7th can, can request an extended  
16 schedule for compliance because, obviously, there's a  
17 significant amount of data that needs to be collected and  
18 studies that'll need to be completed in order to actually  
19 submit the final demonstration study. They do allow for  
20 that schedule, although they stated that no more than three  
21 and a half years after the publication date of the rule,  
22 which results in the January 8th, 2008, deadline, which is  
23 basically six months before the expiration of the permit,  
24 which is the typical re-application timeframe for the NPDES  
25 program anyway.

1           There's a rough schedule below. The main items  
2 that facilities need to be addressing. The proposal for  
3 information collection is really the kick-off for any  
4 facility. I'll go into detail a little bit about what the  
5 requirements of the PIC are. After the PIC is, is approved,  
6 although approval is not required for a Phase 2 facility in  
7 order for them to begin the process of developing the  
8 comprehensive demonstration study, it's highly suggested.  
9 Consultation is a key component of the Phase 2 rule with  
10 other environmental agencies, regulatory agencies, as well  
11 as the permitting agency, going forward.

12           The PIC itself, as I said, is kind of the kick-  
13 off. It basically sets the stage of where the facility is,  
14 what they plan to do, and what their compliance strategy may  
15 or may not be for Phase Two itself. The -- the description  
16 of the technologies and restoration methods, if any, that  
17 they're going to be evaluating, including those that they  
18 are not going to be evaluating and why. Some, some  
19 technologies have absolutely no place being in a, in mid-  
20 ocean depths where some of these intake structures are.  
21 Also, the historical studies, a summary of those. As Dr.  
22 Foster mentioned, there are significant concerns with  
23 studies that go back for even 25 years. How are those  
24 applicable, can they be used in any kind of determination  
25 for Phase Two, what kind of protocols were they conducted

1 under, et cetera.

2 Also, a summary of the consultations with the  
3 various agencies, CEC, Fish and Game, the (inaudible) and,  
4 and the what-not. Most facilities also will be conducting  
5 some sort of impingement and entrainment sampling plan,  
6 whether to characterize the current conditions at the  
7 facility or to evaluate a new technology or operational  
8 procedure.

9 There's a couple, a couple of items I put down at  
10 the bottom just as suggestions. They're not really  
11 requirements yet, but it's, it's helpful to begin the  
12 discussion as early as possible. What exactly is the  
13 current conditions. This has come up just about in every  
14 conference call I've been on and every meeting I've been.  
15 How do you account for the actions of a power plant that's  
16 been operating for 30, 40, or 50 years. How does, how does  
17 a study that's conducted today actually take into account  
18 any effects that may be, that may be historical in nature  
19 and, and vary over 50 years.

20 What is the compliance metric going to be? EPA  
21 leaves this to the director's discretion because there,  
22 there's a variety of variables that can affect individual  
23 facilities. But are we going to be talking about  
24 representative species, are we going to be talking about all  
25 species, are we talking about raw numbers or bio-mass, that

1 sort of thing. It's good to start that discussion as early  
2 as possible because it may affect some of the study  
3 requirements or protocols in the, the PIC.

4 Also, kind of concurrent with the current  
5 conditions assessment is the compensation for other impacts  
6 and influences. Again, over decades, there are other  
7 impacts, obviously, that can cause degradation of fish  
8 habitat. How do we address those, how do they, how do we  
9 actually -- how do we actually compensate for those in the  
10 proposal for information (inaudible). How does that affect  
11 the compliance determination down the road.

12 The CDS, or the Comprehensive Demonstration Study,  
13 is kind of the, the main body of data that will be submitted  
14 by the facility if they, if they choose one of those last  
15 three compliance options. And I won't go through in great  
16 detail what's required, but you can probably imagine. It's  
17 a characterization of what's occurring at the facility, a  
18 description of the species, et cetera, various life stages.  
19 Times of year that impacts are occurring, if there's a, if  
20 there's a variation. Design and construction technology  
21 plan is basically what the facility is going to do, whether  
22 it's actually installing an actual technology or whether  
23 it's going to be operational measures such as a reduction in  
24 flow possibly during different times of the year, or  
25 restoration also falls under this, as well.

1           Restoration -- excuse me. A site specific  
2 justification, again, as I mentioned earlier, which would be  
3 the cost, cost or the cost benefit tests, would also have to  
4 be included in this study if the compliance option five is  
5 going to be used.

6           Restoration itself. Restoration can be used as a  
7 technology. Phase Two does make that pretty explicit. But  
8 there has to be a demonstration of the consideration of  
9 other technology measures, whether it's operational or  
10 design and construction measures. The measures themselves  
11 that would be used for restoration must, or should produce  
12 fish and shellfish in the same, in a similar quantity to  
13 those that are taken by the intake structure itself.  
14 Quantification of the ecological benefits is important. The  
15 timeframe is essential in a restoration plan. Some  
16 restoration plans we've reviewed have gone out 30 to 80  
17 years in terms of when those benefits would actually be  
18 realized. Is that appropriate for Phase Two or is it  
19 something that we need to see more demonstrable effects in  
20 the near term.

21           Also, in kind versus out of kind restoration.  
22 It's been discussed in, in some areas that out of kind  
23 restoration, which is akin to compensation, is not  
24 appropriate for Phase Two, since you're basically  
25 compensating for a loss that's not permitted under the NDPES

1 program. A monitoring plan, of course, is also essential to  
2 the restoration plan.

3 I'll close with just a, a brief note about  
4 restoration itself. As I mentioned earlier, Phase One did  
5 have restoration as a component for compliance. The Second  
6 Circuit remanded that, basically saying that it has nothing  
7 to do with DNC or the capacity of cooling water structures.  
8 But they did close by saying that it does not predetermine  
9 the decision for Phase Two and Phase Three. How that plays  
10 out, I don't know. There are other significant issues, I  
11 know, that they are addressing, particularly the definition  
12 of existing source, that had a fair amount of coverage in  
13 the brief itself.

14 Thank you.

15 SPEAKER: We had one more follow-up slide as part  
16 of our staff presentation. And the basic idea is what the  
17 whole reason for this workshop is. We've seen how complex  
18 these issues can be, and at the state level we would like to  
19 provide some kind of over-arching guidance for the  
20 permitting of these facilities, and the basic question is  
21 what will the form of that guidance be and where would it  
22 go, because there's -- we have the California, the  
23 California Ocean Plan which regulates ocean discharges. We  
24 have the thermal plan, and it would probably make sense to  
25 have (inaudible) produce some kind of guidance, it would

1 make sense for that guidance to maybe go in the federal  
2 plan. Alternatively, we could have a stand-alone guidance  
3 specifically related to these types of 316(b) implementation  
4 issues.

5 And the other thing is we could have no guidance  
6 and just provide informal, sort of question and answers,  
7 frequently asked questions kind of guidance. That's been  
8 brought to our attention, also.

9 So that concludes the staff presentation.

10 SPEAKER: Could you talk maybe about the CEQA  
11 issue? I know you had it up there, in terms of time, how  
12 long (inaudible).

13 SPEAKER: CEQA?

14 SPEAKER: Yes. I mean, if we decide to go with  
15 the (inaudible) document. How long would it take?

16 SPEAKER: Yeah, I'll let Dominic handle that one.

17 MR. GREGORIO: It could take quite a while. Just  
18 to get changes to the Ocean Plan accomplished took about a  
19 year and a half. And, you know, we could fast track certain  
20 items if they're consistent with USEPA regulations. But  
21 given the potential controversies associated with this  
22 issue, it might not be conducive to fast tracking, so it  
23 could take quite a while.

24 SPEAKER: Thank you. Thank you for all the  
25 remarks. And now we're going to go to public comment, and

1 first is the, Jim McKinney and Joe O'Hagen, from the  
2 California Energy Commission.

3 I understand you have a, you have a Power Point?

4 MR. MCKINNEY: Yes, I do.

5 Members of the Board, good morning. My name is  
6 Jim, Jim McKinney. I'm staff at the California Energy  
7 Commission. My colleague, Joe O'Hagen, and I would like to  
8 present you with a brief overview of what our agency has  
9 learned in the six years that we've been reviewing  
10 repowering applications before the Energy Commission. There  
11 is a -- this could easily be a multi-hour discussion, but  
12 I'm going to try to briefly go through these slides to  
13 highlight the key issues that we've encountered thus far.

14 First off, in terms of our authorities. The CEC  
15 has three main authorities that bear on the issue of  
16 evaluating once-through cooling impacts associated with  
17 repowering coastal power plants. The first is our exclusive  
18 authority to license power plants under the Warren-Alquist  
19 Act of 1974. In that (inaudible) for repowers in our  
20 jurisdiction.

21 Secondly, there's the recent Integrated Energy  
22 Policy Act that was introduced by Bowen and Sher and passed  
23 in 19 -- or, 2002. SB 1389 directs the Energy Commission to  
24 assess the state of affairs with energy issues and formulate  
25 policy recommendations for the Governor's office and the

1 legislature on all aspects of energy policy, and certainly  
2 including environmental issues.

3 Third, with the passage of the deregulation bill  
4 in 1996, we now administer the Public Interest Strategy and  
5 Research Program, or PIER, and currently that project for  
6 electrical (inaudible) research is about \$60 million, and  
7 Mr. O'Hagen will talk about that at the end of this  
8 presentation.

9 I'd like to emphasize that each of these statutes  
10 require us to balance energy supplies, reliability cost, and  
11 environmental protection.

12 So we've heard this number several times today.  
13 There are 21 existing facilities using this once-through  
14 cooling technology in California. From an energy  
15 perspective, this is about 24,000 megawatts, which is about  
16 40 percent of the state's total generation capacity. It's a  
17 little more than half of our natural gas pipe capacity,  
18 which is the fuel of choice these times, and it's all of our  
19 nuclear capacity, so the two (inaudible) as well.

20 It's an old fleet. Most of this was built in the  
21 fifties and sixties, well pre-dating CEQA, or organic act  
22 and most of the other environmental statutes, so  
23 (inaudible). I think it's a good analogy to say the work  
24 that your agency does in relicensing hydro facilities, we  
25 have very old infrastructure that develops, generates

1 energy, applying current standards for impact assessment,  
2 especially with the CEQA issue, is, is tricky. It's quite  
3 tricky.

4           Something else about these plants which some of  
5 the other presenters have already mentioned is that they are  
6 spread throughout the coast, and a lot of them,  
7 unfortunately, are, from an environmental perspective,  
8 happen to be located in extremely sensitive estuaries and  
9 bays, and there are concentrations of these facilities in  
10 the San Francisco Bay, Delta estuary, Santa Monica Bay, and  
11 then further south.

12           Once-through cooling is a very efficient cooling  
13 technology. Seawater is, is cold, it's quite a good heat  
14 conductor, and it's really a least cost or low cost cooling  
15 technology.

16           Going to the second major bullet here, we've  
17 reviewed five applications to repower since 1999. As a CEQA  
18 lead agency we're charged with developing the analyses, the  
19 standards for data collection and protocols, evaluating  
20 alternatives, and formulating mitigation if significant  
21 adverse effects are determined to be in existence. We  
22 (inaudible) do this in collaboration with the regional  
23 boards, the Coastal Commission, and other state and federal  
24 agencies to essentially create the proper standards, both  
25 regulatory standards and scientific standards, to do this in

1 conformance with current laws, the science, and technology.

2           The data collection analysis is quite expensive,  
3 it's time consuming, and there's really no consensus on what  
4 the standards should be thus far. Most of the applications  
5 we've looked at pre-dated the 2004 USEPA 316(b) regulations,  
6 as well.

7           As a matter of policy, our Commissioners have  
8 determined that offsite mitigation or restoration is an  
9 appropriate course of action for, for mitigating from the  
10 impacts, and this is in lieu of impact reduction which, as  
11 you know, is one of the standards of CEQA.

12           We know from the recent federal studies on the  
13 state of the ocean, both the U.S. Commission on Oceans and  
14 the (inaudible) commission, that our near shore eco-systems  
15 are imperiled, they're degraded, they're subject to multiple  
16 stressors. And again, in sensitive estuaries, the, the  
17 concerns are (inaudible). You can argue once-through  
18 cooling from coastal power plants is a contributing factor  
19 to this degradation, but we only have lead agency  
20 jurisdiction for those plants that come before us. We've  
21 looked at, at five, and again, there are 21 plants. So in  
22 my view, on a going forward basis, it's really going to be  
23 agencies such as yourself, especially yourself, to set the  
24 standards and guidance for how we resolve this on a, a  
25 comprehensive basis.

1           This table summarizes kind of the key facts and  
2 what we're learned. Let me just highlight a couple of  
3 things here. On the far left column, these are locations of  
4 the plants. If you're not all familiar with the coastal  
5 resources, at Elkhorn Slough, the Bay Delta, Morro Bay,  
6 Santa Monica Bay, those are important sensitive and stressed  
7 eco-systems.

8           Looking at the size of these facilities, these are  
9 big. They're important power plants. Moss Landing, that  
10 was just the re-power capacity. I think total capacity  
11 there is 2600 megawatts. That's a very important facility  
12 in terms of power generation in the state.

13           In terms of permitting time, Warren-Alquist  
14 directs us to review and approve license applications in a  
15 12-month period. We are not able to do that when the  
16 coastal resources are involved, and for three of these  
17 plants it's been about four years to do it, as opposed to  
18 one. And the issues associated with once-through cooling  
19 have been a key factor in delaying or complicating our  
20 review of those plants.

21           New entrainment studies for -- were required for  
22 four of five. In terms of mitigation or enhancements, I'm,  
23 I'm not an expert on this part of it. But just to draw a  
24 comparison to the capital cost for a re-power facility, a  
25 500 megawatt unit goes for 360 to \$400 million, a thousand

1 megawatt unit is 650 to \$700 million. (Inaudible)  
2 mitigation dollars, those are quite modest compared to the  
3 capital cost for a major facility re-power.

4 Two of these plants have been constructed and are  
5 operational. One has suspended its license application,  
6 that was Potrero. Two others have licenses but have not yet  
7 begun construction.

8 Our staff has been working diligently to  
9 understand the issues, worked with the experts on both the  
10 Moss Landing, with the main consulting firms and other  
11 agencies. This is just an overview of our key products.  
12 Let me highlight a few for you.

13 First is this once-through cooling paper, and  
14 members of the Board, I've provided copies of those for your  
15 reference. This is a compendium, an overview, a primer on  
16 our experience with once-through cooling in California, both  
17 through our re-licensing, the research work that we  
18 sponsored, et cetera. This was prepared in support of our  
19 Integrated Energy Policy Report for 2005, and Rick York, who  
20 is the supervising biologist for our staff, and Dr. Mark  
21 Foster, are the lead authors on that paper.

22 Another important document is the staff analysis.  
23 In that study we retained Dr. Foster to review the studies,  
24 the data, and the assessments for each of the 316(b) permits  
25 of the 21 facilities in California. The question that he

1 posed was is there sufficient information within the studies  
2 and the reports to determine significant adverse effect. We  
3 weren't trying to answer the question is it significant, we  
4 were just trying to understand is there sufficient data  
5 available. For two-third of those plants, in his  
6 professional view, he determined that no, there is not  
7 sufficient information just to understand the severity of  
8 the impact.

9 Another technical document that we have in the  
10 works is a draft protocol for entrainment impact analyses,  
11 and this is being authored by (inaudible) Raimundi, et al.  
12 And again, that is in preparation. We've looked at this and  
13 other reports. Our PIER program, or our Public Interest  
14 Energy Research program, has sponsored a couple of major  
15 reports on alternatives to once-through cooling, and last  
16 year they made a \$1.5 million grant to the Moss Landing  
17 Marine Labs for continuing work on this.

18 And just a few weeks ago, our Commission -- excuse  
19 me, Commissioners released our draft, their draft policy  
20 statement to the Governor and the legislature as part of the  
21 Integrated Energy Policy Report. I'll talk about that in  
22 one or two slides.

23 To summarize, this is the slide summarizing the  
24 staff view of the issue. Once-through cooling is a major  
25 ongoing environmental issue in California's power plants.

1 In my professional view as project manager for our  
2 environmental assessments of all power generation in  
3 California, this is the single greatest and unaddressed  
4 environmental issue associated with power plant operation in  
5 the state. I think the science is pretty clear that it's a  
6 contributing factor to degrading marine and estuarian eco-  
7 systems, and we're especially concerned about cumulative  
8 effects, again both in these bays and estuaries where there  
9 are a concentration of power plants. There's really very  
10 little work that's been done on that thus far.

11 Impact assessment, reduction and mitigation.  
12 These are all the buzz words for how you do things properly  
13 from a (inaudible) approach, and there's a lot of work to be  
14 done in that area.

15 Due to circumstance, we work on a (inaudible) on  
16 this. Again, that (inaudible) energy de-regulation  
17 (inaudible), and we had to look at part of these units in a  
18 difficult set of circumstances. We don't think that many  
19 more of the 16 remaining units will come before us  
20 jurisdictionally, and that's for two main reasons. One,  
21 applicants will try to structure their applications so they  
22 avoid our jurisdiction, so for re-powers it has to be a net  
23 15 megawatt increase over existing capacity. So we expect  
24 to see applications coming to other agencies below that  
25 threshold.

1           And then secondly, the capital market for  
2 financing new facilities is quite weak right now. Contrary  
3 to popular belief, we have an abundance of baseload energy  
4 in the state right now. It's just peaking resources that  
5 are (inaudible) parts of the state.

6           On a going forward basis, staff from our agency  
7 seek to work collaboratively with staff from your agency,  
8 the Coastal Commission, and the other state and federal  
9 agencies that are going to have a key role in doing this.  
10 Again, a few key areas that we see are the cumulative  
11 effects analyses, the sensitive estuaries, and the standards  
12 themselves for the 316(b) permitting rules.

13           This summarizes what our Commissioners have put  
14 forth in draft form to the Governor and the legislature.  
15 The first one is a finding that once-through cooling can  
16 contribute to declining fisheries and the degradation of  
17 estuaries, bay and coastal waters. Secondly, they direct us  
18 at the staff level to work collaboratively with agencies on  
19 once-through cooling through the work at the Ocean  
20 Protection Council. Third, that PIER should continue its  
21 research on impact assessment protocols, impact reduction  
22 and alternatives to once-through cooling. Fourth, that  
23 Commission staff update its MOA with the State Water Board,  
24 the regional boards and the Coastal Commission to develop  
25 consistent regulatory approaches, including investigating

1 retrofit technology -- say that again -- retrofit control  
2 technologies. And lastly, we've been directed to update our  
3 data adequacy regulations for license coming before our  
4 agency.

5 Now I'll let Mr. O'Hagen take it from here.

6 MR. O'HAGEN: Thank you, Jim.

7 Good morning, Board Members. My name is Joe  
8 O'Hagen, I'm with the Public Interest Energy Research  
9 program. The PIER program is a little over \$60 million  
10 research program funded by the ratepayers to conduct public  
11 interest research. It was enacted by the legislature when  
12 the electricity market was deregulated. And my colleague,  
13 Melinda Dorin, handed a hand-out which provides a little  
14 more information on it.

15 But basically, the PIER program is funding  
16 research for developing new and innovative electricity  
17 generating technology, particularly renewable technology,  
18 addressing energy efficiency issues, including cross-cutting  
19 issue such as integration of distributed generation with  
20 transmission lines and things like that. And there's also  
21 an environmental research program that addresses the  
22 environmental impacts of electricity generation and  
23 transmission (inaudible). And certainly we're talking today  
24 about an issue regarding generation.

25 The environmental program deals with everything,

1 with global climate change, air quality, land use,  
2 terrestrial habitat, effects such as the transmission line  
3 (inaudible), as well as what we call aquatic resources. We  
4 have a program that's been addressing the effects from  
5 (inaudible) at hydropower facilities. Jim Kennedy, of the  
6 state board, has been real instrumental in that program, and  
7 I think it's been quite successful.

8           In that vein, we wanted to start a new program,  
9 research program, that addresses the effects of once-through  
10 cooling technology, based on the model of the hydropower  
11 research program. In that (inaudible) created a research  
12 agreement, which was just approved late last year, with Moss  
13 Landing Marine Laboratory under the leadership of Dr. Laura  
14 Ferry Graham, a post, post-doctor at Moss Landing, to  
15 conduct research that addresses the issues regarding once-  
16 through cooling. In other words, to understand, improve our  
17 understanding of what's going on there and improve our  
18 ability to address any adverse effects that we're seeing.

19           And once again, this is public interest research  
20 which, I guess the short, short way to define that is this  
21 would be research that would not be normally done through a  
22 regulatory market. In other words, if we had a power plant  
23 project, the regional board might require AES or, or Duke to  
24 do a study. We certainly could not fund that, but our  
25 interest is to inform the regulatory process. So we

1 certainly could fund research that would amplify and augment  
2 that, and improve our understanding of exactly what's going  
3 on.

4           The research agreement with Moss Landing is for a  
5 million and a half dollars. We had a workshop in May, and  
6 we invited a broad spectrum of people, and we had about, I  
7 believe, 50 or 60 attendees, including Regional Water  
8 Quality Control Board staff, staff from USEPA, a lot of  
9 representatives from the generating sector, as well as  
10 environmental groups and other state and federal agencies.  
11 The thrust of the workshop was to develop research  
12 priorities to address once-through cooling. In other words,  
13 guide what research we would fund to address these issues.

14           Since that time, these research priorities have  
15 been refined somewhat. We have sent it out for evaluation  
16 by a number of people, and that'll be distributed to a wide  
17 number of people shortly. And we urge the regional boards  
18 and state board staff to take a look at these. We're,  
19 we're, really view the state board and the regional boards,  
20 as well as the generators and other stakeholders as our  
21 audience for this research, and we really look forward to  
22 getting your input. I think that's the thrust of this whole  
23 program is to do research that would help this regulatory  
24 process of addressing 316(b) impacts.

25           So as the last bullet up there says, we certainly

1 invite staff, board members and everybody in the audience to  
2 give us their comments on what they think is important  
3 research. And the thrust is, is that we will be sending out  
4 our request for proposals shortly. We have about a million  
5 dollars available for research. As you know, these 316(b)  
6 studies are expensive, but we hope we can find enough  
7 research to help us with that, and that hopefully, in  
8 subsequent years we can get additional funding for this.

9           This is the research priorities that so far we  
10 have developed. And as you can see, that really covers the  
11 gamut from looking at developing new or, or enhancing  
12 existing tools for sampling; developing protocols for  
13 analyzing impacts from entrainment; determining when  
14 monitoring should be done if it's needed; what type of  
15 monitoring is most appropriate. Developing criteria for  
16 indicator species. A certain number of species are sampled  
17 when we do an entrainment study. Perhaps we could identify  
18 in some areas, at least, species that would be a very good  
19 indicator for the overall ecological health of the, the  
20 local eco-system, or at least, you know, a good indicator of  
21 what's going on due to entrainment impacts. We'll also  
22 address impingement effects, as well as thermal. But we see  
23 the entrainment issue as the one needing the most research  
24 here in California.

25           And then also we address technology to mitigate

1 impacts, as well as potentially research to address onsite  
2 mitigation such as habitat enhancement, marine preserves,  
3 redevelopment, and that sort of thing. In that light,  
4 we've, the PIER program has already funded one study. This  
5 is a list of CEC reports that have been done both by the  
6 PIER program and by the siting division. And I would just  
7 point that the, the fourth bullet there, research on the  
8 estimated environmental benefits, is a study that's on the  
9 web, as all of these reports are, that takes a look at  
10 estimating how much habitat enhancement and restoration  
11 would be required to offset entrainment impacts. It  
12 discusses the habitat, production for (inaudible) that Dr.  
13 Foster mentioned, and also the EPA's favorite approach is to  
14 have (inaudible) restoration factor.

15           So we've also had an extensive program, as Jim  
16 McKinney mentioned earlier, on looking at alternative  
17 cooling. This includes dry cooling, hybrid systems. We  
18 have several reports, one of them is mentioned there on the,  
19 the page, several reports that are on the web addressing  
20 these issues, and we have several more that should be posted  
21 shortly. In June 1st and 2nd we had a workshop in  
22 Sacramento, and we had a number of presentations and papers  
23 presented on the research on these topics, and that also  
24 should be posted shortly, as well.

25           So I thank you for this opportunity to make this

1 presentation, and I think that was the last slide. One  
2 more? Okay. Here's the contact information. Rick York is  
3 the biology unit supervisor in the siting division, in terms  
4 of siting cases for the Commission (inaudible). Jim  
5 McKinney's (inaudible) environmental performance report  
6 project manager. That's his contact information. My  
7 contact information is, is there, in terms of the research  
8 program. And also, in the hand-out that my colleague  
9 distributed, there is the contact information for Dr. Jerry  
10 Graham at Moss Landing, who is running the research program.

11 Well, once again, thank you very much.

12 SPEAKER: Thank you. Any questions from -- just a  
13 comment. We had a, three or four years ago we had a joint  
14 state board, State Water Board and Energy Commission meeting  
15 on permitting issues. As we move forward on this, if we  
16 decide to get some kind of Water Board guidance, we might  
17 think about a joint meeting again. Especially if we want to  
18 update our MOA, those kind of things. So, keep that in  
19 mind.

20 SPEAKER: Okay.

21 SPEAKER: We would love to have, down the road  
22 here. It's important.

23 SPEAKER: Thank you.

24 SPEAKER: Appreciate it.

25 Before -- I'm sorry. Go ahead.

1           SPEAKER: I'm sorry. I just wanted to make one  
2 last announcement for the audience. I do have black and  
3 white copies of the presentation, and I think the list of  
4 references might be of, of interest to people here, so I'll  
5 put that up on the front desk.

6           SPEAKER: Thank you. I appreciate it.

7           We'll have public comment again, but I want to  
8 have Nancy Yoshikawa, (inaudible) from EPA -- wanted to  
9 comment a little bit about the project.

10          MS. YOSHIKAWA: Yeah, thanks. Well, first I'd  
11 just like to say that we do support the State Board's  
12 efforts to consider, you know, developing some consistency  
13 (inaudible). Definitely, the state has the authority to  
14 apply its own policies in terms of how they implement the  
15 federal rules. And then going beyond kind of the minimum  
16 set of rules (inaudible). And, for example, the cumulative  
17 effects. You may want to look at developing policy to  
18 address that, because the 316(b) rules, as it is, do not  
19 address the cumulative impacts that some of the folks have  
20 been talking about today.

21          We're available to provide some technical  
22 assistance, of course with the caveat that, you know, we all  
23 have a ton of things to do, like everybody else here.  
24 Marina Ray is in the audience, and she's interested in  
25 perhaps providing more of a California specific assistance

1 on the policy issues.

2 We have some (inaudible) experts who have been on  
3 the rules, helping people (inaudible). We're also  
4 interested in working with you as part of the regional  
5 federal/state partnership on key ocean issues. We're  
6 scoping issues for this partnership now, and we'll be  
7 meeting with your staff in the future, and I think Maria's  
8 going to be involved in this, as well.

9 And then I would just like to expand on a few  
10 things that Tim Havey talked about today. Just for your  
11 information, on the Phase 3 rule, which is kind of -- which  
12 is not complete yet, Tim Havey mentioned that there's Phase  
13 1 and Phase 2. Phase 3 is coming up. I just wanted to let  
14 you know that the consideration right now is to not look at  
15 power plants in that rule. It's just going to be existing  
16 manufacturing facilities above 50 MGD. So the MGD, the way  
17 they've been looking at it so far is that it's going to be,  
18 it's still going to regulate things above 50 MGD, but it's  
19 going to be manufacturing facilities. So some of you may be  
20 interested in smaller power plants, and that, that's what  
21 EPA is considering at this point.

22 The, another issue that I wanted to address that  
23 Tim brought up was what happens when you submit your PIC. I  
24 think the rule states that the director will provide, you  
25 know, have the option or strongly suggested that the

1 director provide comments on the PIC. We don't approve the  
2 PICs. EPA approval process is, is a kind of, the  
3 terminology kind of means a different thing which involves  
4 (inaudible) consultation and things like that. We don't go  
5 through that with the PICs. It's just you've received  
6 comments from your permitting authority.

7           And then the other issue I wanted to mention was  
8 the issue of restoration. When EPA wrote the Phase 2 rule,  
9 they recognized that the Phase 1 restoration was thrown out  
10 by the courts in the Phase 1 rule, and the Phase 2 rule has  
11 a different legal basis for restoration. So, you know,  
12 whereas we don't really know, you can never know what's  
13 going to happen in the courts, we're pretty confident and,  
14 and we're suggesting to go ahead and implement restoration.  
15 We think it's a good thing. We think it's important, and  
16 we, we're hoping that, you know, this is not going to get  
17 thrown out of the courts.

18           So that's all I have for today. Thank you.

19           SPEAKER: Okay. Thank you.

20           Tom Luster, with the Coastal Commission.

21           MR. LUSTER: Thank you. Mr. Silva, Members of the  
22 Board, I'm Tom Luster, staff of the California Coastal  
23 Commission. Thanks for having the opportunity to speak here  
24 today.

25           I have a few prepared comments for your

1 consideration, relating both to once-through cooling systems  
2 and the proposed use of those systems for desalination. I  
3 also have a couple of recommendations for you, and request  
4 that this workshop be part of a continued coordination  
5 between other agencies and stakeholders to resolve some of  
6 the issues we're here about today.

7           You've heard today that once-through cooling is an  
8 outdated technology that causes significant environmental  
9 impacts. Once-through cooling systems on California coast  
10 are generally several decades old and were sited before we  
11 knew about their many significant adverse impacts on marine  
12 biology.

13           To provide a sense of scale to the numbers you've  
14 heard today, the 16 million gallons a day is about 50,000  
15 acre/feet, which is about 80 square miles of coastal marine  
16 and estuarian waters that go through the power plants every  
17 day. That's 80 square miles of lost habitat, lost fish  
18 production, lost environmental and economic benefits to the  
19 state. If you take it another step, that's about 30,000  
20 square miles per year.

21           Importantly, there are feasible and less  
22 environmentally damaging alternatives to once-through  
23 cooling. The issue is not about whether California will  
24 have the electricity it needs; it's about whether we can  
25 have that necessary electricity without suffering huge

1 losses to the state's resources. We can readily provide for  
2 our electrical needs with less harmful alternatives to once-  
3 through cooling, using recycled or reclaimed water, dry  
4 cooling, hydro-cooling, various alternatives like that, any  
5 of which would reduce or entirely eliminate the adverse  
6 effects on marine organisms and would overall have fewer  
7 adverse environmental impacts.

8 Further, these other cooling methods are  
9 available, feasible, and economically viable. They're the  
10 ones used by power stations in non-coastal settings, and  
11 most of them can be used in coastal locations. Once-through  
12 cooling can be considered efficient or less costly only if  
13 you ignore its cost and impacts on the marine environment.

14 We recognize that for a few of the state's coastal  
15 power plants, once-through cooling may be the only feasible  
16 alternative, due primarily to the space constraints or lack  
17 of any nearby alternative water -- water sources. In those  
18 cases, we recognize that the best (inaudible) is to develop  
19 effective mitigation to reduce the adverse impacts, pending,  
20 of course, the decision by the (inaudible).

21 We also know, we have heard about a number of the  
22 desalination facilities being proposed (inaudible) power  
23 plants not using once-through cooling systems. These  
24 proposed facilities (inaudible) very similar issues and  
25 concerns about their effects on coastal resources. I was

1 pleased to serve, along with Mr. Silva, a couple of years  
2 ago as one of the co-chairs of the state's de-sal task  
3 force. As part of our work, the task force developed  
4 several dozen findings and recommendations to help the  
5 state's development of economically and environmentally  
6 acceptable desalination (inaudible) water source.

7           Among those findings and recommendations were  
8 several identifying concerns about once-through cooling  
9 systems. They included making sure the review of proposed  
10 facilities was based on up to date entrainment studies,  
11 designing facilities to avoid or minimize impacts to marine  
12 resources by using B-12s or sub-surface intakes; evaluating  
13 the effects of proposed (inaudible) located in de-sal  
14 facilities separate from those of the power plant, and  
15 providing funding for projects meant to reduce entrainment  
16 and impingement.

17           With regards to that last recommendation, we note  
18 that the Department of Water Resources has provided funding  
19 through its Proposition 50 grant program of several sub-  
20 surface research projects. Earlier this morning I visited a  
21 site of one of those proposed projects just down the road at  
22 Dana Point. There's another being proposed at the City of  
23 Long Beach, currently undergoing environmental review.

24           It's likely that the growth of de-sal in the state  
25 will not be dependent on once-through cooling systems.

1 Moving away from those systems may affect the largest and  
2 costliest and least efficient de-sal proposals, but it  
3 should not affect those proposals that are economically and  
4 environmentally acceptable.

5 Finally, a few acclamations. Review and  
6 permitting for continued once-through cooling operation will  
7 require up to date and site specific entrainment studies to  
8 determine how significant the cooling system's adverse  
9 effects are, what the available alternatives are, and which  
10 mitigation measures are best suited to address those  
11 impacts. We recommend that you build on the work already  
12 completed by some of your regional boards and the Energy  
13 Commission and the Coastal Commission on (inaudible)  
14 projects you heard about earlier today. The studies  
15 recently completed by those various agencies are considered  
16 state of the art right now. The recent changes to the Clean  
17 Water Act and 316(b) requirements include allowances for  
18 using something less than this approach, and in most cases,  
19 these allowances would not be adequate to determine impacts  
20 under other reviews done in California for conformity to the  
21 CEQA Warren-Alquist Act and the Coastal Act.

22 For example, when the Coastal Commission reviews  
23 proposed desalination facilities, it would probably  
24 (inaudible) they would use an open water intake. We'll need  
25 to -- excuse me. We'll need updated results from studies

1 like these done recently. Some of the analysis in 316(b)  
2 won't be adequate for our purposes. And therefore, a single  
3 facility may be subject to different studies unless we can  
4 reach an agreement on, on coordinating the requirements so  
5 that one coordinated approach works for each of the involved  
6 agencies.

7 We also recommend that you update and revise the  
8 policy 7558 of 1975, related to the priority of different  
9 sources for cooling (inaudible). It lists ocean water as  
10 the second of five sources in that priority list. That's  
11 based in part on the belief at the time that ocean waters  
12 were more forgiving than (inaudible) waters of this type of  
13 use. We recommend that the policy be updated to better  
14 address feasible alternatives other than those dependent on  
15 fresh water or ocean water, and that the priorities be  
16 established to recognize the substantial effects once-  
17 through cooling is having on California's marine  
18 environment. These changes may be along the lines of what's  
19 being considered by the Energy Commission as part of its  
20 policy development.

21 This coordinated approach would have a -- likely  
22 have a number of benefits, would provide more certainty for  
23 dischargers and project applicants. It would be a, an  
24 efficient use of state resources. It would reduce  
25 environmental impacts and would likely result in a better

1 way for California to get the water and electricity it  
2 needs, a way that doesn't involve killing every organism in  
3 the 80 square miles of seawater every day.

4           The increased efficiency and reduced environmental  
5 impacts would also align with the interest of the state's  
6 Ocean Protection Council, which this last week, on Friday,  
7 voted to investigate the issues related to once-through  
8 cooling.

9           In closing, I think most of us recognize that it's  
10 just a matter of time before most once-through cooling  
11 systems are replaced with less damaging methods of providing  
12 electricity. Your support for helping this change will be  
13 most appreciated. I'm probably getting too far out in front  
14 of the issue, but your support would be more akin to helping  
15 accelerate the inevitable. That is, it would help move  
16 California from its misplaced dependence on antiquated and  
17 harmful technology to a sensible, available, and affordable  
18 method of providing electricity with benefits that would  
19 extend along much of the California coast.

20           With that, thank you again, and I'd be happy to  
21 answer any questions you have.

22           SPEAKER: (Inaudible) is that, is that the  
23 Commission's statement, or staff?

24           MR. LUSTER: That is staff. The Commission was  
25 involved in the power plant repowering projects (inaudible)

1 and on those decisions the Commission made they were largely  
2 in support of alternatives other than once-through cooling  
3 (inaudible).

4 SPEAKER: And (inaudible) could you tell me again  
5 what the Ocean Protection Council decided on Friday? I was  
6 not able to go to that meeting.

7 MR. LUSTER: All I've heard is that they asked  
8 their staff to look into the once-through cooling issue and  
9 report back to them. So they are taking that on to --

10 SPEAKER: Yeah, that's what I heard (inaudible).  
11 Just, I want to make some comments. The Energy Commission,  
12 I know, you know, we had this committee meeting between us,  
13 the State Board and the Coastal Commission, we picked two  
14 people. And Jerry and I right now are doing the ocean  
15 issues. And it might be good if both staff, our staff and  
16 your staff to get together and set something up. We've got  
17 the desalination, we've got this, we've got ASDS (inaudible)  
18 talked about. I was at that, that was a very productive  
19 meeting we had last time, so I would encourage our staffs to  
20 get together and set something up. The sooner the better,  
21 probably.

22 SPEAKER: Yes. I think even (inaudible).

23 SPEAKER: Yeah. I know one time we met in  
24 Sacramento and then we met in San Francisco, and so, you  
25 know, we can do it either way. I think it's important,

1 we've got a lot of things on the table. And we'll  
2 (inaudible).

3 SPEAKER: Great. Thanks.

4 SPEAKER: Okay. Mr. Paznokas, with Fish and Game.

5 (End Tape 1, Side A. Start Side B.)

6 MR. PAZNOKAS: Board Members, Members of the State  
7 Board staff, Regional Board staff, and ladies and gentlemen.  
8 My name is Bill Paznokas. I'm the staff Environmental  
9 Scientist for the Marine Region of the California Department  
10 of Fish and Game, and I just wanted to make a few brief  
11 comments regarding this workshop and, and the issue of  
12 316(b).

13 The department has been participating for a number  
14 of years on the various studies that you've heard talked  
15 about already that have been either ongoing or completed,  
16 and that will be coming up, issues from the South Bay Power  
17 Plant in San Diego, Huntington Beach, all the way up to  
18 Diablo Canyon and Morro Bay, and so forth. So we have been  
19 participating on these various technical work groups or  
20 technical advisory committees. And I would like to echo  
21 the, the sentiments from Mr. Luster, that you, if you are  
22 going to continue on this, this road for guidance, that you,  
23 you build on those, those efforts. And they have been very  
24 productive so far.

25 Obviously, we are the trustee agency for the, the

1 fish and wildlife resources of the state, so we are directly  
2 involved with all the, the issues that are at hand. And  
3 you, you've heard all of the different things in terms of  
4 impingement and entrainment, so I won't go back through  
5 that.

6           The department is very interested in working with  
7 the state boards, the regional boards, the other state and  
8 federal agencies as well as the stakeholders to make sure  
9 that -- and you've heard about these baseline studies.  
10 That's going to be key in determining those impacts and what  
11 reductions are going to have to occur because of those  
12 impacts. And so we are, we are going to continue that  
13 (inaudible), as our resources permit, staffing-wise, and  
14 that we, we want to make sure that those characterization  
15 studies are done in, in an appropriate way. And you've  
16 heard some of the methodologies, the new methodologies that  
17 have been done so far, and, and those are the best we have  
18 right now.

19           We also want to make sure, though, that those  
20 studies are done in a timely manner so that, that we get  
21 the, the kind of information that we need to make the kind  
22 of the, the decisions and determinations that need to be  
23 made down the road.

24           We've heard about restoration. Obviously, if  
25 restoration is a chosen compliance alternative, then the

1 department will have, will need to have significant  
2 participation in the, in the development and the extent and  
3 the appropriateness of those restoration measures. And  
4 finally, we are, the department will continue to participate  
5 in these efforts, again, as staffing permits.

6 And with that, if you have any, any questions, I'd  
7 be happy to answer them.

8 SPEAKER: Questions? Thank you, Bill.

9 MR. PAZNOKAS: Thank you.

10 SPEAKER: Appreciate it.

11 Just a comment. We, we want to get out of here  
12 around noontime, I think. We've got about 14 cards, so it  
13 works about five minutes per person. If you can keep your  
14 comments to a maximum of five, it would be appreciated.

15 First, David Kay.

16 MR. KAY: Good morning, Board Members and staff.  
17 My name is David Kay. I'm manager of environmental projects  
18 at Southern California Edison Company.

19 Edison provides electric service to over 12  
20 million people throughout a 50,000 square mile service  
21 territory in central and southern California. We're also a  
22 majority owner and operator of San Onofre Nuclear Generating  
23 Station just down the coast from here. San Onofre is  
24 subject to the regulations that are the focus of today's  
25 workshop. My comments will be limited to summarizing our

1 over-arching concerns. I understand my colleague in L.A.  
2 Water and Power, Susan Damron, will address specifics.  
3 Susan and I have collaborated on 316(b) issues for two  
4 decades for our respective organizations.

5           In the public notice, the board wrote that the  
6 purpose of today's workshop is to receive comments on  
7 whether the state board should develop a statewide policy to  
8 implement the Federal Clean Water Act 316(b) regulations.  
9 We believe the answer is yes, and that policy should be  
10 simply stated and follow the federal rule. The USEPA  
11 regulations implementing 316(b) for existing facilities that  
12 we have heard are so extraordinarily prescriptive and  
13 supported by such thorough and exhaustive technical  
14 appendices, we believe the state could not possibly add  
15 significant value to the rule in a timely manner.

16           Furthermore, the federal rule imposes clear  
17 compliance deadlines which the state has no authority to  
18 expand. Affected dischargers must comply by completing  
19 prescribed tasks by dates certain or risk enforcement or  
20 citizen litigation under the act. We believe if the state  
21 were to move forward today to adopt policies, guidelines or  
22 regulations consistent with CEQA and other due process  
23 requirements of state law, we believe affected dischargers  
24 would have long since implemented the federal requirements  
25 before any final state directive were even published.

1           If California were truly interested in adding a  
2 signature to 316(b) implementation, today's workshop should  
3 have been convened eight years ago, when EPA announced its  
4 proposed rulemaking. In fact, California could've adopted  
5 policies in the 1970s, when 316(b) was enacted.

6           With all due respect, the cow's not just not out  
7 of the barn on this issue. The cow's been grazing in the  
8 pasture for a decade. It's been butchered, it's been cut  
9 into steaks, and the steaks have been barbecued. We're all  
10 ready to sit down and eat now. It's a little late to weigh  
11 in on how to raise the calf.

12           As you have heard, the federal rule specifies  
13 exactly how each affected facility shall propose, finalize,  
14 and undertake a comprehensive entrainment and impingement  
15 demonstration study, including involving interested resource  
16 agencies such as Fish and Game, (inaudible) fisheries,  
17 Coastal Commission and others, in the crafting of the study  
18 design. Regional board staff need only ensure that we  
19 follow those directives. As they have done for NPDES permit  
20 renewals, regional board staff may employ contractors to  
21 assist with required reviews, if needed. The state board  
22 may wish to guide the regions on following the federal rule,  
23 but the rule itself needs no help.

24           For San Onofre, particularly, the rule mandates  
25 that Edison complete its studies in 2008, in time for

1 application for our NPDES permit renewal in 2010. We must  
2 and will meet these deadlines. Failure to do so would  
3 expose our ratepayers to citizen litigation under Section  
4 1365 of the Clean Water Act. State implementation policies  
5 for 316(b) could be adopted in time for new or repowered or  
6 not yet built facilities to comply with, but existing  
7 facilities will already have completed the process.

8           And because the process will cause expenditure of  
9 millions of dollars for prescribed studies, and perhaps much  
10 more for plant modifications or other compliance efforts,  
11 after the fact policy should clearly exclude existing  
12 facilities, as does the California Thermal Plan. Otherwise,  
13 the state could cause the waste of millions of electric  
14 customer dollars.

15           Some have suggested that the Energy Commission  
16 should administer implementation of 316(b) in California.  
17 We believe this would be inappropriate. While we  
18 acknowledge the CEC has acquired good expertise in this  
19 area, either agency will depend on expert consultants to  
20 formulate proposed policy, just as we are depending on them  
21 to pursue compliance. 316(b) was implemented under NPDES  
22 permit regulations. The NPDES program has been the  
23 responsibility of the state and regional boards since Porter  
24 (inaudible) was enacted, and they've served us well.  
25 There's nothing broken in our administrative structure that

1 requires fixing just for 316(b).

2 To sum it up, the federal, federal 316(b) rule for  
3 existing facilities is an excellent vehicle for  
4 administering an exceedingly complex and site specific  
5 compliance program. Direct your regional boards to  
6 administer the rule as written, no more, no less. Give them  
7 the resources they need to perform their work in a timely  
8 manner. Exclude existing facilities from any future  
9 statewide policies or regulations that would force the  
10 repeat of demonstration studies. And most importantly,  
11 ensure that any policies or guidelines are scientifically  
12 defensible and add significant value to the existing  
13 framework.

14 Thanks for the opportunity to comment.

15 SPEAKER: Thank you. Susan Dawson.

16 MS. DAMRON: Good morning, board members and  
17 staff. My name is Susan Damron --

18 SPEAKER: Oh, I'm sorry.

19 MS. DAMRON: -- and I am, I'm with the, I'm the  
20 manager of the Wastewater Quality Compliance group at the  
21 Los Angeles Department of Water and Power. LADWP provides  
22 electric services to approximately four million people  
23 within the city of Los Angeles and is the largest  
24 municipally owned power utility in the nation.

25 I'm here today representing a number of

1 (inaudible). These once-through cooled power plants  
2 represent, as you've heard today, approximately 24,000  
3 megawatts of California's generated resources, equalling  
4 over one-third of California's total generating capacity.

5 The state board's public notice sought input on  
6 the manner in which the state should implement the federal  
7 316(b) regulations, and all the issues that should be  
8 addressed. The electric utilities seek statewide  
9 consistency in implementing the federal rule through the  
10 issuance of state guidelines for use by the various regional  
11 boards.

12 For critical timing reasons, the California  
13 utilities advocate implementing the federal rule which was  
14 first signed by EPA in February of 2004 and ultimately  
15 published in the Federal Register in July of 2004, in the  
16 more expeditious use of guidelines. Since the rule hit the  
17 street, the utilities have been moving forward towards  
18 achieving compliance with the rule. Requests for proposals  
19 have been circulating, consultants have been hired. The  
20 rule requires proposals for information correction, which  
21 you've heard described to you today, and these have been  
22 submitted to the regional boards, or very soon will be  
23 submitted, and the year-long impingement mortality and  
24 entrainment characterization studies have either been  
25 completed or are set to commence January of 2005. Excuse

1 me, 2006.

2           The compliance gears are already well in motion to  
3 gather the necessary information to comply with the  
4 conditions of the federal rule and to submit the  
5 comprehensive demonstration study by January of 2008.  
6 Utilities must adhere to the January 2008 deadline in order  
7 to not be found in non-compliance with federal law. At this  
8 late date, it is highly unlikely that efforts to develop  
9 state law approved by the Office of Administrative Law will  
10 be available prior to the January 2008 deadline.

11           In addition to timing reasons, the utilities  
12 advocate consistency with the federal rule because its  
13 structure purposely allows compliance flexibility. USEPA  
14 recognized the need to account for plant specific, site  
15 specific, water body specific differences across the United  
16 States and within states. A one size fits all rule was  
17 clearly not workable. USEPA spent many years developing the  
18 Phase 2 316(b) rule, listening to stakeholders, scientists  
19 and other knowledgeable experts, gathering data and  
20 responding to comments. As such, the federal rule  
21 represents the best approach to minimizing impacts from  
22 once-through cooling systems. California's implementation  
23 of the federal rule allows for application of this best  
24 approach, and for achieving consistency between the regions  
25 while providing the necessary flexibility.

1           USEPA also seriously considered the nature and  
2 scope of the Phase 2 rule. In this rule, EPA specifically  
3 and intentionally avoided defining adverse environmental  
4 impacts, while at the same time constructing a rule to  
5 address adverse impacts. The scope of this federal rule is  
6 in contrast to EPA's previous requirements under their 1976  
7 development document, which someone spoke about today. That  
8 document addressed what the best technology available for  
9 cooling water intake structures ought to be. It required  
10 that adverse impacts be assessed and based on the existence  
11 and/or nature of these adverse impacts the technologies be  
12 assessed.

13           This time, however, EPA developed a rule that is  
14 expressly based on meeting a level of protection performance  
15 with the establishment of performance standards. In fact,  
16 during rule development, EPA considered and rejected  
17 explicit limitations based on adverse environmental impact  
18 and cumulative impact, and chose instead to focus on  
19 performance standards.

20           As previously noted, EPA recognized that  
21 addressing 316(b) issues on a national basis would require  
22 some flexibility in the rule in order to address some of the  
23 specificities that I've already mentioned. An example of  
24 where EPA provided some clear definitions and yet has also  
25 built in some flexibility is the definition of calculation

1 baseline. Because of this flexibility, many have commented  
2 that the EPA definition is unclear or vague. However, the  
3 definition is very straightforward. And since we had a  
4 discussion of the definition earlier I'm going to skip over  
5 that.

6           Where other impingement and entrainment controls  
7 are in place, for example, velocity caps, and many  
8 (inaudible) do have velocity caps, submerged discharges,  
9 fish divergence systems, fish return systems, these controls  
10 would constitute credits against that baseline. The  
11 perceived vagueness or lack of clarity arises because for  
12 most utilities, the calculation baseline won't be known  
13 until the impingement and characterization studies that are  
14 due to start next year are completed, at which time the  
15 calculation baseline will be, will be the measured values  
16 minus any of these existing credits.

17           There have also been comments by some interested  
18 stakeholders that the calculation baseline should be a point  
19 in the historic past. That, the point that must be made  
20 here is that if the state chooses to deviate from the  
21 federal rule definition, namely, the calculation baseline  
22 that is --

23           SPEAKER: Ms. Damron, are you reading, could you  
24 just give us that information (inaudible). You're almost  
25 ten minutes now. Could you wrap up, or -- it seems like

1 you've got a long way to go there.

2 MS. DAMRON: I do.

3 SPEAKER: Could you give us a written comment?

4 MS. DAMRON: I am representing all of the  
5 utilities, not just --

6 SPEAKER: I know, but we're going to be here all  
7 day, and a lot of people will go home. I've given you more  
8 than, almost ten minutes now, so I'll give you time to wrap  
9 up, two more minutes.

10 MS. DAMRON: It is recognized that the state of  
11 California may wish to establish its own rule, and that the  
12 state can be more stringent than the federal law. However,  
13 the utilities offer these reflections. Section 12590 of the  
14 federal rule states that nothing in (inaudible) can preclude  
15 a state from adopting and enforcing a requirement with  
16 respect to control pollution. This law is, is not less  
17 stringent than the federal law. It is important to note  
18 that this applies to control or abatement of pollution, not  
19 impacts.

20 The point, to summarize that, is the rule says  
21 that you need to address the control technology, or the  
22 controls. It was not designed to address impacts. So if  
23 the state wants to come up with a law, it must decide that  
24 EPA's performance standards were insufficient to minimize  
25 adverse impacts, and that EPA's performance standards of 80

1 to 95 percent or 60 to 90 percent are insufficient for  
2 purposes of state law.

3 We are advocating that the, that there be a  
4 transparent process for the development of state guidance to  
5 implement the federal rule. Guidance that can be, can also  
6 be as flexible as the utilities and the state work through  
7 the compliance steps, and can better respond to the areas  
8 which are still in a state of flux, like the (inaudible) of  
9 restoration. Basically, guidance will give you more  
10 flexibility to go through the process of implementing the  
11 federal rule.

12 We advocate the use of restoration. We feel that  
13 it will be a very viable compliance tool. Just as a point  
14 of mentioning, LADWP has looked at a number of different  
15 technologies, and one of them we're (inaudible) is returning  
16 those fish if we have a fish return system. Two of our  
17 power plants have over a mile and a half to get them back to  
18 the source water body. If we can't get them back safely,  
19 that technology, even though it's there, will all be very  
20 productive, and therefore restoration becomes a valuable  
21 thing to look at.

22 Lastly, we advocate the use of the funding that's  
23 available, perhaps through the California Energy  
24 Commission's PIER group, as you've heard today, to deal with  
25 some of the other stressors that are on the fishery

1 population. Yes, power plants are a, a factor to be  
2 considered, but there are other stressors that we don't know  
3 what their impact is on the fisheries, and we think that  
4 that money would also be very helpful to look at the overall  
5 use for identifying fisheries.

6 And lastly --

7 SPEAKER: You said lastly last time.

8 (Laughter.)

9 MS. DAMRON: We would encourage the expeditious  
10 efforts on the part of the state to seek federal funding so  
11 that you, that the, the state and the various regional  
12 boards will have the technical experts that they need to  
13 help implement the rule. Thank you.

14 SPEAKER: Thank you.

15 Bob Lucas.

16 MR. HEMIG: Well, I think most people here know  
17 I'm not Bob Lucas.

18 SPEAKER: I was just going to say, Bob, you've had  
19 a transformation. You're a lot younger.

20 MR. HEMIG: And my name is Tim Hemig, actually,  
21 and I'm with West Coast Power. Bob had trouble getting out  
22 of Sacramento this morning and could not make it, and so  
23 that he's not coming in until later. So what I'd like to do  
24 is, is quickly address his comments that he was prepared to  
25 give On behalf of the California Council for Environmental

1 and Economic Balance.

2 I'm a board member of, of CCEED, and I'm speaking  
3 on behalf of the CCEED members. In fact, 75 percent of the  
4 owners of once-through cooling system and power plants  
5 utilizing that system are CCEED members, and so this set of  
6 comments represent their, their viewpoint. And I'm going to  
7 just kind of summarize down just to the main points so that  
8 we can move on to another comment.

9 Anyway, CCEED understands that the state board is  
10 looking for, you know, comments on whether or not a state  
11 policy needs to be developed with regard to these once-  
12 through cooling systems, and CCEED believes that the answer  
13 to that question is no. (Inaudible) that the State Water  
14 Board should not have to provide valuable oversight and  
15 consistency regarding the 316(b) implementation at the  
16 regional boards. In fact, CCEED strongly supports such  
17 guidance.

18 The, the, basically the two main reasons for not  
19 supporting a formal policy or regulatory process, I think  
20 you've heard those numerous times today, is the timing  
21 aspect of that. USEPA spent nearly a decade developing  
22 these regulations. The rule does include very aggressive  
23 reductions in impingement and entrainment levels at these  
24 power plants, but it also retains the needed flexibility to  
25 meet the reductions in a feasible and cost effective manner.

1 We believe that it's premature to decide on the regulation  
2 without the right balance of environmental protection and  
3 how it's affected power generation at these 21 facilities in  
4 the state of California. The implementation of the  
5 regulation is not yet realized.

6           Second, the compliance with the federal regulation  
7 is in full swing, and many of the mandatory steps already  
8 being completed by the regulated facilities are well  
9 underway. In fact, my, my company, West Coast Power, that  
10 I'm also representing today, has just completed one study at  
11 one of its coastal power plants and is on the verge of  
12 beginning a second study. A state policy at this stage will  
13 only serve to provide uncertainty and delay implementation  
14 for the federal regulation, and most likely will delay the  
15 desired end result, which is to reduce impingement and  
16 entrainment at these, at these power plants.

17           My suggestion is that CCEED believed that the  
18 state water board can and should provide this valuable  
19 oversight and authority that I mentioned earlier, and how  
20 the regional boards implement this regulation. The most  
21 appropriate way to do that is through some specific guidance  
22 on the provisions of, of the regulation. And that way the  
23 state water board can assure implementation of the  
24 regulation if carried out in a consistent manner and an  
25 efficient manner throughout the state. However, such

1 guidance should be developed to stay within the bounds of  
2 the federal regulation and to not limit compliance  
3 flexibilities for these facilities.

4 This statement represents the viewpoint of both my  
5 company and CCEED members that utilize once-through cooling  
6 systems at their power plants, and I thank you for the time  
7 to voice our, our viewpoint.

8 SPEAKER: Thank you very much.

9 David Nelson.

10 MR. NELSON: Good morning. Thank you for the  
11 opportunity to speak here. My name is David Nelson, and I  
12 live in Morro Bay and I've been, I'm co-president of the  
13 Coastal Alliance on Plant Expansion. We've been an  
14 intervenor in the Morro Bay Power Plant expansion since  
15 1999, and Dr. Foster's provided much of the stuff, and he's  
16 right on, on a lot of things.

17 My comments today have to do with two things.  
18 Historic studies are one thing. We need, the board needs to  
19 look back at the historic studies and where these historic  
20 studies have failed the citizenry of California, and we need  
21 to be more stringent. In my work at Morro Bay I've been  
22 involved in the Diablo (inaudible), and years ago they were  
23 hit with a cease and desist order because their general plan  
24 was so far off that it just couldn't be justified. This is  
25 just a huge risk for our regional board to deal with. And

1 this comes from bad studies, and in power plants that we can  
2 show have bad studies, they need to be treated differently.

3           Restoration. Restoration is important for a  
4 reason. The reason is that we can't determine what the  
5 cumulative effect is. We can hardly determine what the  
6 effect of once-through cooling is because it's so gigantic.  
7 We were counting 12 or 13 species among hundreds of species,  
8 and we have no idea what their part in our eco-system is.  
9 All we know is that in my estuary in Morro Bay, it's an  
10 impaired water body to begin with, that we have this massive  
11 power plant sucking from one of the narrowest channels going  
12 out of our estuary, sucking in 16 to 32 percent of our stuff  
13 and killing it, and we have no idea where it's going or what  
14 it's doing.

15           The other thing is we heard our friends from  
16 Southern Edison say how easy and how uncomplicated these 316  
17 rules are. Well, they're not. I mean, I, I read these  
18 differently. I see in here that EPA is worried about the  
19 cumulative effect. Again, Morro Bay, I, I know that Diablo  
20 is sucking almost two million gallons when we add Morro Bay  
21 into it. It's all the same water stream. It's not the  
22 ocean, it's a river. It's just like a river. It's a tidal  
23 current that we've got working in and out of this estuary.  
24 Diablo's killing, Morro Bay's killing, and it has an effect  
25 overall. We can't determine the effect because it's too

1 large. It's just too huge.

2 I would also agree with the power companies that  
3 the regional board needs to be funded in a way that Dr.  
4 Foster and his colleagues can actually chase these reports  
5 to understand the effects. And the only way to do that is  
6 to look at the benefit. The benefit of this, as we heard  
7 again, was the huge efficiency of these once-through cooling  
8 systems. They are efficient. They do cool. But what is  
9 the percentage of benefit to the power company. When you  
10 have a coastal power plant taking water and gaining a six  
11 percent -- I'm using this number because Mark Sidal (ph.),  
12 the vice-president of Duke, came to the city council and was  
13 asked how much percentage increase they get with cold water,  
14 he used a number of 30 percent, which I ran by somebody in  
15 waterkeepers on the east coast, and he said no, that's why  
16 off. It's probably more like six percent.

17 Now, if you're talking six percent boost in energy  
18 efficiency, that doesn't come back to the people of  
19 California. That goes to the bottom line profit of the  
20 corporations. That's where we get our funding for Dr.  
21 Foster and these independent scientists. We figure out how  
22 much that 18 billion gallons a day is worth in energy  
23 production, because that's, that's an artificial subsidy for  
24 coastal power plants. And we need to know how much that is.  
25 Nobody's addressed it. I've asked many times over the

1 years.

2 I ask this board again. Find out what that is.  
3 How much is it, and why shouldn't that money be going for  
4 scientific research. It's as simple as that. This is an  
5 antiquated system. As was suggested earlier, this, this  
6 committee has the opportunity to push forward energy  
7 production in California. The governor has a one and a half  
8 million dollar solar program that they want to institute,  
9 3,000 megawatts, 3,000 megawatts of non-polluting energy  
10 comes to a million and a half dollars. Morro Bay, they're  
11 telling us is going to cost \$880 million to create a 1200  
12 megawatts of energy. Come on, let's do the math. It  
13 doesn't take much to understand that when you add in the  
14 destruction of marine estuary, you add in the fossil fuel  
15 that's going into the atmosphere, we don't need to encourage  
16 this kind of abuse. And that's what you're doing when  
17 you're allowing this once-through cooling.

18 Thank you.

19 SPEAKER: Thank you.

20 I have two gentlemen from Surfrider, Rick Wilson  
21 and Joe Geever. Do you have any particular order?

22 MR. WILSON: I'm Rick Wilson. I'm the chairman of  
23 the Laguna Beach chapter of Surfrider Foundation and also a  
24 member of the environmental staff at our headquarters in San  
25 Clemente.

1 I'd like to urge the, the state board and the  
2 regional board to do everything you can to implement the  
3 316(b) regulations as soon as possible, in particular, and  
4 also to encourage the implementation or selection of the  
5 first alternative with cool-through cooling technology.

6 You've heard several speakers talk about the  
7 millions of pounds of marine life that are killed by the 21  
8 power plants up and down our coast, circulating 16 or 17  
9 million gallons a day of water. You've also heard reference  
10 to the two studies, international studies the U.S.  
11 Commission on Ocean Policy and the (inaudible) oceans  
12 commission studies that indicated what a terrible shape our  
13 coastal waters are in, in part because of, of this discharge  
14 by the use of once-through cooling technology.

15 Although the regulations allow alternatives such  
16 as modifications to the existing once-through cooling to  
17 lessen the percentage of, of impingement and entrainment,  
18 we're very skeptical about the efficiency of those kind of  
19 modifications. Yes, there can be some reduction in  
20 impingement through modification to the velocity, intake  
21 velocity, but I'm not aware of any technology that will  
22 reduce the entrainment loss.

23 Another option is restoration of wetlands and  
24 estuaries. While we certainly have nothing against that  
25 kind of project, that's correcting, or trying to correct for

1 a damage that's already occurred. So that's, that's not our  
2 preferred alternative. And all of that is really, all these  
3 other alternatives are really unnecessary. Cold cycle,  
4 recirculating water, or air technologies have been around  
5 for decades, have been used by industry for decades.  
6 They've been used by power plants and are used by power  
7 plants, inland power plants throughout the United States.

8           The, the final point I wanted to make is that --  
9 and this has been referenced by a couple of the speakers,  
10 including Tom Luster -- that, in effect, what we have here  
11 is the coastal power plants being subsidized. Their use of,  
12 of cooling water technology is being subsidized at the  
13 expense of damage to our marine resources. So that's the  
14 way we're paying for this. We're killing millions of pounds  
15 of marine resources, and we need to put a stop to that.

16           Thank you.

17           MR. GEEVER: Thanks for the opportunity today, to  
18 speak today. My name is Joe Geever, I'm the southern  
19 California regional manager for Surfrider Foundation.

20           Surfrider works on, is currently working on  
21 implementation of the Marine Lab Management Act and the  
22 Marine Life Protection Act. I've actually served as, on the  
23 advisory committee implementing one of the fishery  
24 management plans under the (inaudible), the near shore  
25 fishery management plans, so I'm familiar with the impact of

1 these facilities on the near shore fisheries.

2 I'm also the co-chair of an organization, a  
3 statewide organization that's looking at the implementation  
4 of de-sal facilities. And I guess, just as a disclaimer,  
5 we're a litigant on the Phase 2 litigation on the new  
6 regulations, so it won't surprise you if I tell you that I  
7 disagree with EPA's assessment that restoration measures  
8 will survive judicial scrutiny, and I think the court was  
9 fairly clear in our first, in their first ruling that that  
10 won't. But we shall see.

11 I wanted to just, some of my colleagues from the  
12 Baykeeper are here to keep about 316(b) directly, and so I  
13 want to endorse those comments before they get up here. But  
14 I wanted to take a minute to just talk about (inaudible)  
15 location of de-sal facilities.

16 As you know, there's numerous proposals to use  
17 existing cooling water intakes for source water, but there's  
18 also alternatives to using the cooling water intakes for de-  
19 sal source waters that don't rely on, don't rely on the  
20 continued destruction of marine life. We think this will be  
21 a complicated regulatory process for de-sal facilities,  
22 Beyond 316(b) problems. There is existing authority for the  
23 state water boards, Coastal Commission, the Energy  
24 Commission and Fish and Game Commission, and possibly  
25 others. We think this is a prototype issue for coordination

1 by the California Ocean Protection Council, guided by the  
2 policy of COPA (ph.) and other ocean resource and protection  
3 and management laws.

4           For your agency, I think there's three several,  
5 three relevant considerations, and likely more, about de-  
6 sal. First, there's the obvious consideration of whether  
7 the discharge from these new de-sal facilities will trigger  
8 in considerations for existing NPDES permits. For example,  
9 there's a proposal to discharge the brine from a co-located  
10 de-sal facility with cooling water at the (inaudible) plant  
11 in Carlsbad. This discharge is fairly close to shallow  
12 rocky reef, a relatively uncommon habitat in the region.  
13 Any displacement of natural marine life (inaudible) from  
14 that habitat is significant and raises a new and important  
15 consideration beyond the impacts of thermal discharges.  
16 The point is, mixing the brine (inaudible) and the cooling  
17 discharge is not always a benign issue, and deserves  
18 heightened scrutiny in your deliberations.

19           The next two issues are more about the implication  
20 of co-located de-sal with 316(b) regs. First, we're  
21 challenging the legitimacy of several of the (inaudible) to  
22 the 316(b) performance standards. But given that there's  
23 currently an exemption when the cost of compliance is fully  
24 disproportionate to the environmental benefits, we believe  
25 the board should make an immediate determination about co-

1 located de-sal facilities.

2           It would be contrary to sound public policy for  
3 the state to allow the construction of co-located de-sal  
4 facilities and then subsequently allow dismantling of these,  
5 of these facilities to be put on the cost side of the cost  
6 benefit scale. You should send a clear policy decision to  
7 coastal generators that the cost benefit -- cost benefit  
8 analysis will be determined by the circumstances that  
9 existed on the day the new regs were promulgated. There  
10 shouldn't be any allowance for intentionally (inaudible)  
11 cost before that permit is up for renewal.

12           Second, we've heard coastal generators intimating  
13 that there's not enough space available at their sites for  
14 the construction of alternative cooling technology, yet  
15 they're simultaneously leasing what limited space they have  
16 to de-sal proponents. Again, this back door effort to avoid  
17 compliance cuts against the spirit of the new 316(b)  
18 regulations. You should make it clear through the Ocean  
19 Protection Council that decision-makers at the state and  
20 local level need to consider this in their CEQA processes  
21 and their permitting processes.

22           We're also concerned that the energy demand for  
23 these numerous de-sal facilities will have the cumulative  
24 effect of just exacerbating the loss of marine life from  
25 cooling water intakes in real numbers, and it should be

1 clear policy-makers that in (inaudible) energy rebates and  
2 other subsidies for de-sal will only exacerbate current  
3 marine life mortality impacts.

4 Bottom line. We've been working for decades to  
5 reduce the dramatic impacts from once-through cooling on our  
6 marine eco-systems, and the de-sal industry has come to the  
7 table at the eleventh hour. We absolutely cannot go  
8 backwards on the marginal advances we've made to date when  
9 there are other alternatives available.

10 And I'm available to answer any questions, as  
11 well. Thank you very much.

12 SPEAKER: Thank you.

13 April Wakeman.

14 MS. WAKEMAN: Good morning. My name is April  
15 Wakeman, and I represented United Anglers of Southern  
16 California. United Anglers was established in 1996 as a  
17 volunteer driven non-profit organization dedicated to the  
18 enhancement of marine resources through management,  
19 conservation, and to education in order to pass this sort of  
20 fishing on to future generations. Through our affiliated  
21 clubs, United Anglers represents over 50,000 recreational  
22 anglers.

23 According to the 1997 Resources Agency study,  
24 ocean resources contribute more than \$17,300,000,000 to the  
25 California economy and generate more than 370,000 jobs.

1 That number has obviously gone up. (Inaudible) natural  
2 resource, it's important not only to look at absolute  
3 dollars, but also to look at the intrinsic value of the  
4 resource. The intrinsic value, meaning the, the value to  
5 the, the soul's well-being, of looking at a sunset or  
6 hearing waves crash on the, the ocean shore. To fishermen,  
7 it means the ability to get out on the ocean. I assure you,  
8 when we go fishing, we don't always catch. It's the  
9 opportunity to get out and try to catch, to, in my case,  
10 freeze to death, usually, but it's still a soul-satisfying  
11 ability.

12           There's something about fishing that is  
13 particularly Americana. Think of Huck Finn and Tom Sawyer.  
14 Think of the beginning, for us older folks, of the Andy  
15 Griffith Show, Opie walking down with his fishing pole.  
16 Fishing is an American family tradition. At the current  
17 time, as Joe referred to, California is involved in a  
18 massive effort to implement the Marine Life Protection Act,  
19 which was passed in 1999 to preserve the state's marine eco-  
20 systems. Both commercial and recreational fishermen are  
21 participating in this, because their livelihoods and sport  
22 depend on good fisheries management.

23           Now, the California Energy Commission's January  
24 2005 staff report has come out and found that, to quote the  
25 report, considering only recreationally fished species,

1 impingement amounting to eight to 30 percent, depending on  
2 the fisheries database used, are the number of fish caught  
3 in the southern California recreational fisheries.

4           Now let's put some of these stats together. We  
5 have a 17.3 billion dollar economic effect from fishing, and  
6 eight to 30 percent of the number of fish caught  
7 recreationally, not commercially, never have a chance to be  
8 caught. Or (inaudible) they're safe, anyway. They don't  
9 have a chance to be caught recreationally or commercially.  
10 I would say yes, there is a cost to once-through cooling,  
11 and the power plant operators aren't the ones that are  
12 paying. The loss is not merely economic. The marine  
13 environment, as we all know, is a finely-tuned eco-system  
14 with each species dependent on both the habitat and other  
15 species. Although man is the ultimate predator, he usually  
16 focuses on the higher and, and larger species in the food  
17 chain. The equation of the species lower in the food chain  
18 quickly affects these larger species. Impingement and  
19 entrainment of larvae and small fish have effects not only  
20 on the species impinged and entrained, but on the entire  
21 eco-system.

22           We in southern California are lucky in that we  
23 have the premier shark nursery in the Pacific Ocean right  
24 here on Harbor Shores. Species that use this area include  
25 both thresher and maco sharks, which are both important

1 commercially as bio-seafood and also as excellent sport  
2 fishing fish. The big white shark of "Jaws" movie fame  
3 also, which is considered a threatened species here in  
4 California, also uses the water of the nurseries. The loss  
5 of these organisms or the loss of organisms lower on the  
6 food chain affect these wonderful, wonderful beasts.

7 United Anglers therefore requests that the State  
8 Water Resources Control Board consider the economic effect  
9 of once-through cooling on fishing when developing a Section  
10 316(b) policy, which should be consistent within the state.  
11 We do support a statewide guidance, and consider this when  
12 considering any licensing issues.

13 Thank you.

14 SPEAKER: Thank you.

15 We have a couple of gentlemen from the Stanford  
16 Law School, Mr. Rottenborn and -- I have a question for you,  
17 though, because we've got a, you know, a group of  
18 presenters. There's also somebody there from the Stanford  
19 Law School. Are you all the same?

20 SPEAKER: We are the same (inaudible).

21 SPEAKER: That's fine.

22 MR. MILLSAPS: Good morning, members of the board.  
23 I'm Brad Millsaps, representing, along with my colleague,  
24 Ben Rottenborn, the Stanford Environmental -- or the  
25 Stanford Law School Environmental Law Clinic. Before your

1 eyes start to glaze over, I just want to thank you for  
2 addressing this important matter and for having all of us  
3 here to help you understand what's at stake and what can be  
4 done about it.

5 Now, you've heard a lot from others here today  
6 about the enormously destructive effects of once-through  
7 cooling on California's delicate coastal environment. You  
8 know, you can wake up now because we're here to talk about a  
9 lighter subject, the state of federal and California law.

10 It's true that, that many of these laws can be a  
11 (inaudible) subject than E.E. Cummins poetry, but one thing  
12 is very clear from them. The law grants this board the  
13 authority, and arguably a mandate, to such stringent  
14 guidelines to protect the health of California's coastal  
15 eco-systems, and I might add that it's never too late to  
16 take action, with due respect to our, our energy industry  
17 advocates, until the coast is, is dead, and (inaudible).

18 The staff of the California Energy Commission  
19 noted in their report on cooling technologies that  
20 protection of the coastal environment is critically  
21 important, but that the health of California's coastal  
22 waters is declining. And you've heard that the scientific  
23 community and the EPA recognize that coastal power plants  
24 using once-through cooling technologies having -- are  
25 significant contributors to this decline. If no other

1 method existed for cooling power plants, then this  
2 environmental damage might be a necessary price to pay for  
3 low cost power to all. But as you've heard, other cooling  
4 mechanisms do exist.

5           You know, recirculated water cooling, air cooling,  
6 hydro-cooling systems, and inland plants throughout the  
7 state use these systems every day. So there are really no  
8 good reasons why coastal plants can't also use these  
9 economically viable alternatives instead of exploiting  
10 public coastal resources on others' dimes and diminishing  
11 the health of California's coastal waters in the process.

12           Now, as you know, states have the authority to set  
13 environmental regulations more stringent than those set  
14 forth by Congress in the Clean Water Act. The EPA fairly  
15 recently released its Phase 2 regulations of once-through  
16 cooling power plants. I'm sure that everyone here has read  
17 them thoroughly. And so you know that the regulations, in  
18 the regulations that EPA specifically notes that section 520  
19 of the Clean Water Act, quote, "reserves for the state's  
20 authority to implement requirements that are more stringent  
21 than the federal requirements under state law," end quote.  
22 This clear grant of rulemaking power from the federal  
23 government forms the basis of California's particularly  
24 strong laws and initiatives designed to restore and protect  
25 the health of the state's coastline.

1           Now, California has always been a pioneer among  
2 the states with its environmental stewardship. It's rarely  
3 has the state settled for minimum standards set at the  
4 federal level by the Environmental Protection Agency. Over  
5 the last years, California has created a series of laws and  
6 initiatives that form a comprehensive multi-pronged adverse  
7 protect and restore the health of California's coast.  
8 Within this context, I think you'll see why the time is now  
9 for this board to act to address the problems with once-  
10 through cooling technology on a statewide level.

11           I'd like to touch on a couple of these  
12 initiatives, then I'll give the microphone to my colleague,  
13 Ben, to discuss other issues.

14           The first is the California Coastal Protection  
15 Act. This act sets a broad and stringent mandate for  
16 protecting marine resources along the coast of California.  
17 Section 330230 of the Act imposes an unqualified requirement  
18 to use the coastal environment in a way that sustains  
19 ecological health. It says, I quote,

20                       "Marine resources shall be maintained,  
21                       enhanced, and, where feasible, restored.

22                       Special protection shall be given  
23                       to areas and species of special  
24                       biological or economic significance.

25                       Uses of the marine environment

1 shall be carried out in a way that, in a  
2 manner that will sustain the biological  
3 productivity of coastal waters and that  
4 will maintain healthy populations of all  
5 species of marine organisms adequate for  
6 long-term commercial, recreational,  
7 scientific and education purposes."

8 Now Ben will talk a little bit more about economic  
9 considerations in just a minute, but you see that there's a,  
10 there's a strong mandate here. They give no exceptions for  
11 cost considerations on an individual plant by plant basis.

12 Additionally, Section 30231 of the Coastal Act  
13 specifically requires minimization of adverse environmental  
14 impacts caused by, for instance, wastewater discharges and  
15 entrainment, the primary harmful effects of once-through  
16 cooling power plant technology.

17 Now, this mandate is enforced in part, we go to  
18 the last section, 30413, which authorizes the Coastal  
19 Commission to submit to the California Energy Commission an  
20 analysis of any proposed power plant's conformity to  
21 environmental standards contained in the Coastal Act. With,  
22 with certain exceptions, the Warren-Alquist Act in turn  
23 requires the California Energy Commission to include in its  
24 decision on the projects specific provisions deemed  
25 necessary by the Coastal Commission to bring any proposed

1 power plant projects into conformity with the requirements  
2 of the Coastal Act.

3 Now, the California Legislature wouldn't have  
4 include such an enforcement mechanism had it not intended to  
5 ensure that California's power plants were brought into  
6 compliance with a strict, with the strict environmental  
7 requirements set forth in the Coastal Act.

8 You also have, as others have mentioned here, the  
9 Marine Life Protection Act, put forward in 1999. You know,  
10 this is another way the California Legislature has  
11 demonstrated on a statewide basis its concern with a  
12 commitment to California's coastal health. And it  
13 specifically provides for expansion of, of California's  
14 marine protection areas, but more generally indicates a  
15 clear statewide mandate to protect in a comprehensive way  
16 the marine resources of California's coast.

17 Now, Section 2853 of the MLPA lays out broad goals  
18 for everything, and I won't go through all of those. But  
19 the first one says to protect the natural diversity and  
20 abundance of marine life and the structure, function, and  
21 integrity of marine eco-systems. You can't do this on a  
22 piecemeal basis. You have to take a comprehensive approach,  
23 and that includes looking at the effects of once-through  
24 cooling.

25 Now, of course, there's also the California Marine

1 Life Protection Act initiative which the Governor and the,  
2 the departments have promulgated around the state to enforce  
3 this. And then, of course, there's the California Ocean  
4 Protection Act put forward in 2004, which has established  
5 the Ocean Protection Council which, as we discussed earlier  
6 here, just last Friday announced its intention to look at  
7 the effects of once-through cooling.

8           So it really makes no sense within all of this  
9 context for this board not to take some sort of statewide  
10 action on the effects of once-through cooling. And I'll  
11 turn it over to my colleague Ben now, to talk about some of  
12 the economic (inaudible).

13           SPEAKER: You've got about three minutes. I think  
14 both of you, (inaudible).

15           MR. ROTTENBORN: Sure, sure. I'll be as quick as  
16 possible.

17           SPEAKER: Okay, good.

18           MR. ROTTENBORN: First of all, my name is Ben  
19 Rottenborn. I'm, along with my colleague, Rhett. here from  
20 the Stanford Environmental Law Clinic. And we're here to  
21 stress one major point to the board.

22           Not only does the Clean Water Act allow states to  
23 adopt their own standards that are more stringent than  
24 Section 316(b), but the California law already explicitly  
25 grants this board the authority to enact restrictions on

1 once-through cooling that are stricter than 316 and that  
2 will make California a national leader in power plant  
3 technologies.

4 More specifically, I'd like to address the Porter  
5 (inaudible) Act and the, how Section 316(b) of the Clean  
6 Water Act does not allow this board to consider site  
7 specific economic factors.

8 The Power (inaudible) Water Quality Control Act  
9 addresses once-through cooling specifically. Section  
10 13142.5 of the act stipulates that for each new and expanded  
11 power plant that uses seawater for cooling shall use the  
12 best available technology feasible to minimize the intake  
13 and mortality of all forms of marine life. This language  
14 grants authority to the board that is independent of the  
15 Clean Water Act strictures under 316(b). Not only does the  
16 (inaudible) act give the board the authority to use 316 as a  
17 floor upon which to build stronger cooling standards, but it  
18 requires the board to focus specifically on the adverse  
19 effects of once-through cooling as opposed to other  
20 environmental harms.

21 Section 13142.5 mandates that power plants use, as  
22 I said, the best available technologies to minimize the  
23 intake and mortality of marine life. This sharply defined  
24 directive is targeted specifically at impingement and  
25 entrainment harms, and is much more specific than Section

1 316, which merely requires technology to minimize  
2 environmental impact generally.

3           This distinction is important because harm to  
4 marine life from once-through cooling is the most well-  
5 defined and, indeed, the most direct harm associated with  
6 coastal power plants, and the only harm on which this board  
7 should focus.

8           As an example of how the Porter (inaudible) Act  
9 differs from Section 316, consider that during the  
10 permitting phase the power plant operator might assert, for  
11 example, that dry cooling technologies have adverse  
12 environmental impacts in the form of visibility and land use  
13 issues. But because the Porter (inaudible) Act does not  
14 allow for consideration of those effects, they must be  
15 thought of as secondary to the effects that once-through  
16 cooling would have on aquatic environments surrounding the  
17 plant. And this way, California law demands much stricter  
18 scrutiny of entrainment and impingement harms caused by a  
19 plant's cooling than does Section 316.

20           I'll move on to the second issue that I'd like to  
21 discuss, which is how Section 316(b) does not allow for site  
22 specific cost considerations, for four reasons. The first  
23 reason is that Congress explicitly disallowed such  
24 consideration by not including language in Section 316 that  
25 it included in other parts of the Clean Water Act that

1 allows for economic considerations. There is no reference  
2 to economic factors or cost considerations on a site by site  
3 basis in any of the language under the Clean Water Act.  
4 The second -- or under Section 316(b), I'm sorry.

5           The second reason is that even if economic  
6 considerations are allowable under Section 316, EPA already  
7 too, these economic factors into account when it wrote its  
8 Section 316 performance standards, which were based on  
9 closed cycle cooling technologies, and there's no room for  
10 individual plant permitting decisions that involve  
11 individual site specific cost considerations.

12           The third reason is that these exceptions, the  
13 exceptions to 316(b) that allow for site specific cooling  
14 are being challenged in court, and it was wise for  
15 California to hold off on allowing site specific cost  
16 considerations until the U.S. Court of Appeals resolves this  
17 matter.

18           And the final and fourth reason is that New York  
19 law explicitly prohibits site specific economic  
20 considerations, and California should take this opportunity  
21 to join New York as a national leader in preventing unlawful  
22 site specific inquiries.

23           And finally, if the Board does intend to look at  
24 site specific economic factors, it should do so only in rare  
25 circumstances, such as a circumstance under which using best

1 available technology is simply physically infeasible.

2 To conclude, the Board must take care not to let  
3 economic considerations influence it to allow coastal power,  
4 power plants to use public resources essentially for free.  
5 The Board should, however, take advantage of the broad power  
6 that it has under the (inaudible) act and other California  
7 statutes to reduce the harmful effects of once-through  
8 cooling in the state of California.

9 Thank you for your time and consideration.

10 SPEAKER: Thank you.

11 We have a group presentation now. Do you know  
12 where (inaudible), or do I call them the way you gave them  
13 to me?

14 I'm going to start the group with the Santa Monica  
15 Baykeeper, Heal the Bay, et al.

16 MR. PALMER: I think it was --

17 SPEAKER: Keep it to five minutes, if you would.  
18 Appreciate it.

19 MR. PALMER: Sure. Do my best. Get this up on  
20 the screen here.

21 SPEAKER: Would you give your name and  
22 (inaudible).

23 SPEAKER: I'm not going to call them now. They  
24 can just come up.

25 MR. PALMER: Okay. I think I understand. I'm

1 Dana Palmer, I'm a staff attorney with Santa Monica  
2 Baykeeper, and I think I know two gentlemen who we'll be  
3 making employment offers to right after the workshop.

4 And thank you for allowing us to do a joint  
5 environmental consolidated presentation from a few  
6 (inaudible) groups, including Voices of the Wetlands, the  
7 Environmental Health Coalition, and Heal the Bay. Together,  
8 our organizations span California's coastline.

9 We also join together today with our colleagues  
10 from the Bay Area, Communities for a Better Environment and  
11 Bay View Hunter's Point Community Advocates. You should  
12 have received written comments from them earlier this week.  
13 We join them in their call for you to host an additional  
14 workshop in San Francisco in the evening hours, where the  
15 interested citizens of that region might share their  
16 concerns with you as well.

17 First of all, I want to thank you, thank you for  
18 reaching out to address these issues. We know it's fairly  
19 discretionary and we, we really appreciate your hosting a  
20 workshop on the topic. Thank you to the State Board staff,  
21 already over-tasked and over-worked. Thank you to the  
22 Energy Commission staff for coming down here for your very  
23 good presentation. Thank you to EPA for being here.

24 Now, to help you with formulating California's  
25 policy, our presentation will outline our vision, then a

1 general overview of the important issues. We'll illustrate  
2 some of, some of the past examples from around the state  
3 where the process is not done so well, and we'll conclude  
4 with some elements of potential state and policy, and we  
5 also intend on giving you written comments within two weeks  
6 from this meeting.

7           Let's start at the very top. Let's just take a  
8 step back and look at the context of ocean issues in  
9 California. The Governor says that the ocean is a place  
10 that we're duty-bound to protect today, tomorrow, and  
11 forever. There's an even better quote there on the screen.  
12 We turn to the California Ocean Action Plan which should be  
13 guiding every state agency here. The Action Plan has as one  
14 of its principal goals to increase the abundance and  
15 diversity of aquatic life in California's ocean bays,  
16 estuaries and coastal wetlands.

17           Part of our message here today repeats what you've  
18 already heard, which is please work with other agencies.  
19 The Energy Commission has flown down here and is willing to  
20 help you out. The Coastal Commission has, too. The Ocean  
21 Protection Council, as you heard last Friday, approved a  
22 motion to study once-through cooling. They called it a  
23 natural fit for the council. I think there's a great  
24 opportunity here for you guys to be working with other  
25 sister agencies.

1           Secondly, learn from other states. There are a  
2 variety of states that have already made more progress than  
3 we have on these issues, New York, in particular. Let me  
4 give you a quick look at New York's policy here.

5           New York requires that plants consider all  
6 feasible options based on physical considerations alone.  
7 That means that they would have to consider (inaudible)  
8 cooling. They would have to consider cold cycle wet  
9 cooling. They give you a justification for why it is not  
10 valid. New York doesn't let them get away with just a line  
11 that says these technologies are not feasible, period. New  
12 York requires the permittee to explore cold cycle cooling at  
13 each facility, as I said. New York seeks to impose the  
14 higher end of the performance standard ranges.

15           Now, these ranges are actually part of the current  
16 challenge in the Second Circuit. We don't know how that  
17 will turn out. But New York has already said regardless of  
18 how that turns out, we're seeking to impose the higher end  
19 of those ranges. That means 95 percent reduction in  
20 impingement, and 90 percent reduction in entrainment. New  
21 York does not, flat out does not consider restoration plans  
22 as an appropriate or acceptable (inaudible) alternative for  
23 any facility, new or existing. And New York is not  
24 considering the so-called site specific alternative EPA  
25 determinations in the Phase 2 rule. So look at your sister

1 states, especially New York, who's right out there in front  
2 on this issue.

3           The final recommendation, and I know I don't have  
4 to tell you this, but keep an eye on your mission. Your  
5 mission is to preserve, enhance and restore the quality of  
6 California's water resources. I, I included this because  
7 I've had some talks with some regional board staff members  
8 across the state, and I get the sense that they want to  
9 promote the Energy Commission mission. And it's not their  
10 job. We all use electricity, we all, we all are partly to  
11 blame for this issue, but keep your eye on the ball, water  
12 quality.

13           Here's our vision. We want to phase out once-  
14 through cooling as soon as possible. We think the pictures  
15 say a thousand words there. I hope it doesn't come out of  
16 my time. While recent investments by the energy companies  
17 of hundreds and millions of dollars in combustion technology  
18 have been commendable, because they help reduce electricity  
19 more efficiently, they help reduce air emissions, this is no  
20 excuse for continuing the use of what anyone with any  
21 appreciation for the march of technological process would  
22 consider caveman cooling.

23           While we appreciate the engineering challenges of  
24 implementing the latest technologies, this is what engineers  
25 are born to do. They love a puzzle. They love something

1 challenging, and no one ever said that progress was going to  
2 be easy. Also, another contextual point the Energy  
3 Commission said before. Since 1966, 95 percent of plants  
4 licensed have used alternative cooling methods. It's high  
5 time for the remaining plants to take this step toward the  
6 future.

7           Just let me say a few words about interpreting the  
8 Phase 2 regulation. Obviously, we want you guys to go  
9 beyond the Phase 2. We see it as a floor. EPA said this  
10 morning that you can go beyond that floor, and we think you  
11 should. We feel the California coast deserves it. You're  
12 right to point out the difficulties in the calculation  
13 baseline, and we urge you to study the language in the rule.  
14 We urge you to study the language in the proposed rule and  
15 the notice of data (inaudible), and together, those three  
16 options can give you a pretty good sense where the  
17 calculation baseline should be.

18           We agree that we should give credit for  
19 technology, like the locking caps that are in place at, at  
20 certain plants like El Segundo and Scattergood. And we urge  
21 you to pay attention to a very tricky part of the baseline,  
22 which would be operational baseline. We believe that the  
23 operation -- operational baseline should be determined by  
24 how plants have actually been operation, not by -- we've  
25 heard strange arguments that we don't know where they come

1 from. You know, a plant operating at max capacity 24/7  
2 forever and ever, these plants weren't designed that way.  
3 They can't, they can't function that way, and that's wholly  
4 a fiction of -- there's going to be a tricky issue in the  
5 operational baseline for you guys.

6 Think twice about the site specific (inaudible)  
7 exception, and reach some performance standards, because  
8 those are subject to the federal lawsuit. And overall, we  
9 want you to pay a role in helping ensure consistency. It  
10 seems like we definitely agree with Ms. Damron and Mr. Kay  
11 on that point. They want consistency. We want consistency.  
12 The fellow in (inaudible), we all know that. Our view of  
13 the Phase 2 regulation at the end of the day is what should  
14 be in your mind is what justifies a departure from closed  
15 cycle performance standards. The, the performance rates and  
16 the regulation were clearly adopted with closed cycle in  
17 mind, and I think that should be the driving question, the  
18 repeated question in your minds and regional board staff  
19 time, et cetera.

20 Ask the hard questions, find things. If  
21 technology is not feasible, challenge them to prove it to  
22 you. When they say it costs too much, challenge them to  
23 prove it to you. We, we have nothing to hide. We want them  
24 to be able to just document what, what they say. And  
25 really, to date they haven't had to do that. But shift the

1 burden to the plant. They're the ones with the data.  
2 They're the ones who can make the case. Ask them to do it.  
3 Use of California's water is a privilege, not a right.

4 I think I've probably had my five minutes, but let  
5 me just -- well, let me just have you look at this slide,  
6 and then we'll continue with a presentation from the next  
7 speaker.

8 MS. ABRAMSON: Good morning. My name is Sarah  
9 Abramson, and I'm (inaudible) of Heal the Bay. Thanks for  
10 taking the time to hear our comments today.

11 I'm going to speak on two topics today, resource  
12 economics and biological considerations associated with  
13 once-through cooling.

14 In the case of the way California's coastal  
15 resources (inaudible) once-through cooling, the benefits  
16 outweigh the cost. California has the largest ocean economy  
17 in the nation. As you interpret 316(b), (inaudible) the  
18 whole California's history of environmental value and  
19 actually by ensuring all the costs and benefits associated  
20 with the coastal environments. Every party has a -- and  
21 make sure that every (inaudible) given confidence and  
22 (inaudible) of consideration.

23 There are many non-market and market values, both  
24 direct and indirect, associated with our coastal resources,  
25 including commercial fishing, recreational (inaudible)

1 tourism, recreational boating. (Inaudible) whale-watching  
2 and (inaudible) and eco-system. The national ocean economic  
3 (inaudible) for 2005 estimates that in 2000, the gross state  
4 produce for coastal tourism and recreational (inaudible) was  
5 over \$12 million. Clearly, coastal resources are a high  
6 value to California, and it is imperative that all of the  
7 appropriate non-market and market values are calculated and  
8 considered for an industry-related economic analysis.

9           Recreational fishing is a large part of  
10 California's economy. The impacts of once-through cooling  
11 on this (inaudible) must be realize. The (inaudible)  
12 economic fisheries on the economic status of U.S. fisheries  
13 in 1996 estimates that recreational fishing contributes over  
14 170 million to southern California's economy. This figure  
15 is backed up by the sheer number of people who participate  
16 in recreational fishing. An additional study by Noah (ph.)  
17 fisheries estimates that each year in southern California  
18 over 620,000 anglers participate in commercial and  
19 (inaudible) recreational fishing charters.

20           (Inaudible) Bay also has an education program that  
21 tracks the number of pier fishing anglers from the Santa  
22 Monica pier to Seal Beach. Educators with this pier  
23 outreach program have reached over 30,000 anglers in the  
24 past two and a half years fishing solely on piers in this  
25 small region. Recreational fishing is largely a coastal

1 activity. These anglers fish in the same coastal waters as  
2 once-through cooling (inaudible), and it's driving millions  
3 of gallons of water, fish larvae, eggs and plankton. These  
4 resources directly influence the fishing industry. The  
5 (inaudible) recreational anglers of southern California  
6 include sea bass, mackerel, tuna, (inaudible) and rockfish.  
7 Many of these same species are impinged and entrained by  
8 once-through cooling.

9           In addition to the economic value of California's  
10 coastal resources, the cumulative and individual impacts  
11 must be considered. As we heard from the EPA, the  
12 (inaudible) Moss Landing Marine Laboratory, (inaudible)  
13 showed all of the power plants in southern California that  
14 use once-through cooling. In so many intakes in a small  
15 region, it's difficult to understand why the cumulative  
16 impacts associated with these plants has historically been  
17 written off. The environmental impacts at these plants must  
18 be considered both on an individual (inaudible) as well as  
19 cumulatively. The 2005 CEC staff -- staff report on once-  
20 through cooling states, quote, "It is not sufficient to  
21 assess the proportional entrainment of a single intake when  
22 there are multiple intakes distributed throughout the  
23 region", end quote.

24           When considering the biological effects of once-  
25 through cooling, it's important to remember that seawater

1 itself is a habitat. It supports fishing, larvae,  
2 (inaudible) and plankton, as well as bait fish such as  
3 herring, anchovies and mackerel. Seawater also provides an  
4 important linkage to other (inaudible) and rocky (inaudible)  
5 larvae to their eventual home. Once-through cooling impacts  
6 may be particularly detrimental to species (inaudible).  
7 Entrainment and impingement of threatened and endangered  
8 species such as (inaudible), various species of abalone, and  
9 (inaudible) should be more closely monitored, and the  
10 cumulative impacts for these species should be considered.  
11 The larvae of these species may also occur in coastal waters  
12 in close proximity of these intake (inaudible).

13           Many people don't know about the serious impacts  
14 that these plants have on larger marine (inaudible). For  
15 instance, from 1998 to -- or, 1988, excuse me, to 1994, a  
16 period of only six years, (inaudible) took 59 California sea  
17 lions, two harvest seals, three (inaudible) and a loggerhead  
18 sea turtle. There is documented (inaudible) but other  
19 plants, as well. And these photos show it here. You can  
20 see a large sea lion that was trapped in the forebay at El  
21 Segundo's power plant. These photos were taken from  
22 helicopters of (inaudible).

23           So, anyway, this (inaudible) is really important,  
24 and we need to follow this more closely. The indiscriminate  
25 take of (inaudible) can no longer be tolerated. The large

1 volume of seawater used for once-through cooling is not just  
2 a raw ingredient for generating electricity. By driving  
3 millions of gallons of seawater, once-through cooling  
4 facilities are also driving millions of (inaudible)  
5 organisms that provide the basis for marine (inaudible)  
6 report to California's marine habitats and large protected  
7 species.

8           Incomplete scientific and economic analyses  
9 associated with once-through cooling are no longer  
10 acceptable. We encourage you to use your responsibility to  
11 see that future analyses are comprehensive and that they  
12 undergo adequate peer review.

13           I thank you for my comments, and now I'll turn it  
14 over to Rebecca Pearl.

15           MS. PEARL: Thanks very much for this opportunity.  
16 I'm going to speak very specifically about the South Bay  
17 Power Plant impacts.

18           My name is Rebecca Pearl, I'm a policy advocate  
19 for the Environmental Health Coalition. EHC is a 25 year  
20 old grass roots environmental justice organize based in the  
21 San Diego-Tijuana region. The issue of once-through cooling  
22 is an issue of great significance to us, and we urge that  
23 swift action be taken to ensure the phase-out of this  
24 destructive and, as Dana said, caveman technology.

25           By far the largest and most acute and devastating

1 impact to marine life in the south bay is the cooling system  
2 of the South Bay Power Plant. The power plant is a 65 year  
3 old generation facility that utilizes San Diego Bay, as much  
4 as 600 million gallons a day of water for the system. This  
5 water is chlorinated, dechlorinated, heated to very high  
6 temperatures, then discharged back into the bay. The intake  
7 and discharge are located in the most sensitive shallow  
8 water and mud flat habitats in San Diego Bay, and the  
9 results are devastating.

10 For decades, study after study have shown a range  
11 of serious impacts from this cooling system on the bay eco-  
12 system. It is well established that once-through cooling  
13 process is devastating to marine life in the shallow bays  
14 and estuaries like San Diego Bay and in the near shore zones  
15 in the ocean. These areas are the most biologically  
16 productive marine zones and absolutely the worst place to  
17 allow these impacts to continue.

18 Many studies, even those conducted by the power  
19 plant owners themselves, have demonstrated massive impacts  
20 to the marine life in the bay. Here's a couple of examples.  
21 I have, I've cut out a bunch of these to cut my time down.

22 The most recent study of entrainment impacts, and  
23 this was funded by -- conducted by the discharger,  
24 demonstrated very significant entrainment of larval stages  
25 of three species of (inaudible), anchovies, silver sides,

1 (inaudible) and mudsuckers. These losses were reported to  
2 be between 13 percent of the adult anchovy population to  
3 losses of 50 percent for larval populations of the same  
4 species. The regional water board, the Department of Fish  
5 and Game, and the National Marine Fishery Service, have all  
6 determined that these impacts are significant.

7 Secondly, the number of fish loss was estimated at  
8 over 385,000 individuals. Ninety-three percent of the fish  
9 impinged were anchovies. While the discharger dismissed  
10 this as an insignificant -- as insignificant because  
11 anchovies are not a commercially or recreationally caught  
12 fish, they missed the point entirely. The anchovies are  
13 critically important species in the food (inaudible) for  
14 south, South San Diego Bay. The anchovy and the silverside  
15 are key prey species for all the fish-eating (inaudible) in  
16 San Diego Bay. This includes endangered, threatened and  
17 sensitive species that live and nest in the bay. These  
18 species are also significant prey fish for other fish. The  
19 impacts to the bay fishery are unquantified.

20 In a recent permit renewal, the local regional  
21 water control board staff found that (inaudible) have been  
22 degraded due to once-through cooling water. Among other  
23 impacts, the regional board also found that because of the  
24 power plant discharge, up to 104 acres of the critical  
25 (inaudible) habitat has been precluded in the south bay.

1 This habitat is important as turtle foraging and fish  
2 habitat. An independent assessment by the -- by Pisces  
3 Conservation in July of 2004 reaffirmed the significant  
4 impacts of the cooling system on the bay fishery and marine  
5 life, and I'll be submitting this report for the record.

6 Our own local marine ecology expert, Dr. Richard  
7 Ford, Professor Emeritus of Biology of San Diego State  
8 University, reported in April of 2003 that the thermal  
9 impacts of the power plant discharges had adverse effects in  
10 several major groups of (inaudible) by reducing the number  
11 and the diversity of species. I also have this report for  
12 the record.

13 Many species of fish depend on the shallow water  
14 habitat for a portion of their reproductive cycle. One  
15 impact that is seldom discussed in the case of South Bay is  
16 the impacts to the juvenile halibut nursery in South San  
17 Diego Bay. The California halibut is important to the  
18 ecology and fisheries of southern California. It appears  
19 that temperature turbulence and sediment characteristics are  
20 important factors determining whether juvenile halibut will  
21 settle in an area or not.

22 A list of impacts from just this one cooling  
23 system goes on and on, including the impacts of the heat,  
24 chlorination, and zinc and copper through the pipes.  
25 Recirculation and rechlorination of the discharge of the

1 water, reproduction and growth (inaudible) and more. All of  
2 these impacts are well documented in numerous studies. We  
3 are also submitting into the record the San Diego Bay  
4 Council's report called "Deadly Power", that collated much  
5 of this data on the South Bay Power Plant in 2003, and I  
6 also put copies out here for the audience.

7           Looking at other plants elsewhere in the region,  
8 consider the recent fish kill due to entrainment into the  
9 (inaudible) cooling system reported in the North County  
10 Times on August 22nd. More than five tons of anchovies were  
11 wiped out in a single event in the cooling system there.  
12 This power plant process 2.5 million gallons a day of water,  
13 of (inaudible) water. We also have this for the record.

14           The cumulative impacts that those cooling systems  
15 statewide are having impact of huge proportions. The June  
16 20, 2005 staff report issued by the CEC states that  
17 cumulative impacts of impingement at southern California  
18 coastal power plants may be as high as 30 percent of the  
19 fish caught in the southern California recreational facility  
20 -- fisheries, excuse me.

21           Technology is readily available, like dry cooling,  
22 that can eliminate this impact altogether. Dry cooling  
23 technology has been easily incorporated in many other  
24 facilities across the country, including one proposed plant  
25 that is ten miles from the South Bay Power Plant. All new

1 plants should be required to implement dry cooling  
2 technology, and old plants that intend to remain operational  
3 for five more years should be required to retrofit this  
4 technology.

5 We urge the state board in the strongest possible  
6 terms to develop and implement an aggressive policy to rid  
7 the state of this destructive technology and allow us to  
8 take this major step toward restoration of our marine  
9 ecology and fisheries. We strongly support the state rule  
10 for 316(b). Thank you very much.

11 MS. SIVAS: Good morning -- I guess we're  
12 afternoon. Good afternoon. So I'll try to speak quickly  
13 here. I'm Deborah Sivas, and I'm the director of the  
14 Environmental Law Clinic at Stanford Law School. We have  
15 been involved with a number of the groups up and down the  
16 state, Voices of the Wetlands, Santa Monica Baykeeper, and  
17 others, on a variety of permitting issues around coastal  
18 power plants, in particular in connection with Section  
19 316(b).

20 So what I'd like to do very quickly today is just  
21 share a little bit of our experience, having gone through or  
22 being in the middle of some of those permitting processes,  
23 in particular two central coast power plants, Moss Landing  
24 and Morro Bay. We believe that there are some important  
25 lessons from these two plants that should inform the board's

1 efforts going forward.

2           Quickly, three issues I'd like to address. One is  
3 the use of restoration or mitigation measures in lieu of  
4 best technology. The second is the application of a site  
5 specific benefit cost analysis to exempt generating units  
6 from the, the general performance (inaudible). And three,  
7 an issue I haven't heard too much about here today, is the,  
8 what we believe is a gaping regulatory loophole around the  
9 -- around allowing for brand-new generating units to be  
10 classified as existing units and regulated under less  
11 stringent standards.

12           As others have discussed, we believe that  
13 California clearly has the authority, if not indeed the  
14 legal mandate, to address each of these three issues in a  
15 way that will protect our coastal resources. So I'm going  
16 to turn quickly to restoration and mitigation measures.

17           As you've heard today, the Second Circuit Court of  
18 Appeals in New York has found in (inaudible) versus EPA that  
19 the use of mitigation measures is inconsistent with the  
20 (inaudible) text of the Clean Water Act. While that ruling  
21 was in connection with Phase 1 regulations, the Phase 2  
22 regulations are under challenge in the same court. That  
23 same issue is before the same court, and with all due  
24 respect to the EPA, we actually believe that it's fairly  
25 likely the very same judges are going to rule the very same

1 way.

2           And incidentally, as this board probably knows,  
3 there's a similar issue floating around in the Court of  
4 Appeals here in the state of California with respect to the  
5 Moss Landing Power Plant. So I think (inaudible) play  
6 catch-up after the fact. The state of California is in a  
7 position to get ahead of the curve by adopting a statewide  
8 policy against the substitution of mitigation measures in  
9 lieu of technology. After all, it is a technology statute.  
10 The statute only refers to technology, and the best  
11 technology here is not to knowingly allow the damage to  
12 occur the eco-system. We know it's happening, as many of  
13 the speakers have said today. And then to hope somehow,  
14 maybe someday, decades from now, we can -- the mitigation  
15 measures will somehow offset them. The best approach, we  
16 would argue, is to use available proven economically viable  
17 technology that avoids the damage in the first place.

18           And just, just to tie in the Moss Landing Power  
19 Plant here, I think it provides a textbook example of what  
20 the state should not be doing with respect to these power  
21 plants. Their, their regional board allowed for two brand-  
22 new gas turbine generating units, allowed the, the facility  
23 owner to continue with once-through cooling, to install a  
24 new once-through cooling system, in return for a \$7 million  
25 environmental enhancement program.

1           Now, that program had no sideboards to it  
2 whatsoever. No criteria for how it was going to work. It  
3 was simply a pot of money that went to an outside foundation  
4 to administer (inaudible) and to do all kinds of potentially  
5 useful uplands activities, but not necessarily related to  
6 the impacts of the power plants. One of the things, for  
7 instance, they are purchasing conservation easements. Good,  
8 good thing to do generally, but really not tied to the  
9 impacts of the power plant. And the scientists conceded  
10 there was not a shred of data or scientific analysis to show  
11 that, that that mitigation pot of money is going to produce  
12 even one (inaudible) in response to replace the, the  
13 countless, you know, trillions of organisms that, that are  
14 going to be destroyed by the power plant over the next 50  
15 years.

16           Let me just skip through here. I guess our, our  
17 conclusion on this point is that that kind of policy is, is  
18 sheer lunacy here, and, and is, is taking place because  
19 these plants are able to use those as settlers, because  
20 (inaudible) this water for free. You can bet that if it was  
21 an interior power plant that had to pay market rates for the  
22 price of that water, they would not be willing to do once-  
23 through cooling. It, it's simply of fact of not having the  
24 correct market signals, but in fact subsidizing these  
25 facilities with public trust waters each year.

1           So we urge the board to stop that give-away of  
2 public resources, and to move to a state policy that  
3 requires, except perhaps in the most extreme circumstances,  
4 that these plants use technology and not some kind of  
5 restoration mitigation.

6           A second, quickly, on site specific analysis of  
7 cost and benefits. Again, this is an area where the Moss  
8 Landing Power Plant went through that process. Even though  
9 we had two, two brand-new operating units, basically  
10 concluded that, that the cost for putting on once -- putting  
11 on closed cycle cooling technology was prohibitive. And you  
12 kind of ask well, how did they come to that conclusion.  
13 Well, I'll let you draw your own, your own conclusions from  
14 that. But the (inaudible) didn't ask for any cost revenue  
15 numbers from the facility whatsoever. When questioned,  
16 basically the board said we don't think that's relevant. So  
17 they didn't look at the cost side, they didn't look at  
18 operating costs or revenues over the life of the facility.

19           So that's one area where the process, it seems to  
20 me it breaks down entirely. Not really a cost benefit  
21 analysis, but just an analysis based on what staff thought  
22 was reasonable or unreasonable in that particular  
23 circumstance.

24           On the benefit side of that calculation, I think  
25 the staff was even more troubling. As you've heard, the

1 Moss Landing Power Plant uses sort of (inaudible) accounting  
2 methodology to come up with a number that value benefits.  
3 But in fact, as the, as staff and the (inaudible) admitted,  
4 they did not use, they did not employ a resource economist.  
5 They did not do any kind of systematic looking at the true  
6 environmental costs or any generally accepted methodology  
7 for actually valuing those lost benefits that will be  
8 forgotten, even though this plant is going to destroy  
9 something like 30 to 40 percent of the entire biological  
10 productivity of that eco-system.

11 I'm trying to whip through here, but I wanted to  
12 just get you a couple of other facts. I think, as we heard  
13 Dr. Foster say today, that some of the analyses that have  
14 been suggest that the, the value of sort of restoring  
15 habitat is, he's done a calculation of \$114,000 an acre. At  
16 Moss Landing, they whipped a number out of a hat, \$18,000.  
17 And it made all the difference, because at \$18,000 an acre,  
18 that looked like, like the, the cost of the technology was  
19 extremely expensive, and 114, or more likely 200, which are  
20 some of the numbers that were in the record, all of a sudden  
21 restoration doesn't look like such a good number.

22 So I think what we, what we've seen is that  
23 economic analysis has kind of been used as a invitation for  
24 manipulation of the numbers at a particular plant. And, and  
25 we, we actually encourage this board to look at a statewide

1 policy that would not, would not, except in the most extreme  
2 circumstances, allow regional boards to apply some kind of a  
3 reasonableness standard. In fact, if, if you're going to  
4 allow that, you should put some clear sideboards on, on how  
5 that process should be done.

6           And I just want to move on to my very last point.  
7 I know the time's running. One of the issues that I think  
8 has come up, and as you've heard today, there are, as far as  
9 I know, no new coastal power plants being proposed. But a  
10 lot of these repower plants are, in fact, brand-new  
11 facilities, or at least new generating units. So the  
12 rationale for EPA to kind of (inaudible) new versus existing  
13 facilities does not really exist or apply for these  
14 facilities. And the Morro Bay facility is a perfect  
15 example.

16           That's a plant where they're proposing to scrape  
17 the site, build an entirely new plant. The only thing  
18 they're going to preserve is that one little intake system.  
19 They're going to run the pipes to the intake system, and by  
20 that, by doing that, the project proponent has basically  
21 manipulated itself into a, an existing facility under Phase  
22 2 instead of a, a new facility under Phase 1. We think that  
23 California has the ability to, to put a stop to that. In  
24 fact, one of the very interesting things at Morro Bay is  
25 that it, it would be a new facility for purposes of the

1 discharge permit, an existing facility for purposes of a 216  
2 analysis, and we encourage the board to look at requiring  
3 that in the state of California, that any permit that would  
4 be a new permit for other purposes under the NPDES program  
5 also be considering new facilities subject to the Phase 2  
6 regulations that EPA has adopted previously.

7 So with that, I will turn it over to my colleague.

8 (End Tape 1, Side B. Start Tape 2, Side A.)

9 MS. HOECHERL: Somebody put that -- this Power  
10 Point on this computer.

11 My name is Heather Hoecherl. I am the Director of  
12 Science and Policy at Heal the Bay. And I'm going to make  
13 this really fast because I have a really bad cold and it's  
14 hard to talk, so you'll probably appreciate that.

15 First of all, I just wanted to emphasize strongly  
16 that the state can issue a policy that will clarify how  
17 316(b) should be implemented in California, and they can do  
18 it, and you can do it in a timely manner through issuing of  
19 a statewide guidance document to the regional boards to  
20 follow. And this shouldn't disrupt the utility information  
21 gathering and studies.

22 I think they're meeting designs, this concern with  
23 meeting designs and the (inaudible) is really a red herring,  
24 and they should go ahead and work on a state guidance  
25 policy. Other states have done it. New York did, did it

1 recently, and it certainly is possible, and it's  
2 recommended.

3           So (inaudible) I think we urge this, you guys, the  
4 state board, to issue a policy within the next few months  
5 for the regional boards to follow before the new NPDES  
6 permits come up for some of these plants. There are a lot  
7 of them up in L.A. I think in 2006. And I, we just have a  
8 few suggestions for a couple of things that could be in the  
9 state policy, so I'm going to run through them quickly.

10           The first one, to require that the studies that  
11 are done vigorously assess all physically feasible  
12 technologies. And I think Dana touched on that. They can't  
13 just brush aside cold cycle cooling or dry cooling, that  
14 they really take the time to assess that. And also, the  
15 second thing, make it a priority for staff, the regional  
16 board staff, to identify local alternative cooling sources,  
17 such as reclaimed water from a wastewater facility, to use  
18 instead of the ocean water for once-through cooling if, if  
19 that is going to continue to be used at that plant in that  
20 area.

21           The third point, that's not up there, is for the  
22 state board to develop an approach, a required approach to  
23 require the study and consideration of cumulative impact in  
24 coastal bays and estuaries, and use the cumulative impact  
25 study to advise in issuing individual NPDES permits to the

1 individual plants that are in that, in that bay or estuary  
2 system.

3           The next thing. EPA set a range, and this sort of  
4 addresses the issue that the utilities brought up, stating  
5 that the state has to show that EPA performance standards  
6 are insufficient. Well, that's, again, another red herring.  
7 I think the state can very easily, within its own authority,  
8 as well as under the EPA regs, make a policy stating that  
9 they should regulate all of these plants at the top of the  
10 range of the performance standards. In other words, 90, 95  
11 percent reduction in impingement and 90 percent reduction in  
12 entrainment. I think that's worthwhile, given the value of  
13 our coastal waters in the state.

14           Finally, the last two things. We urge the state  
15 to issue a policy stating that you will not consider site  
16 specific EPA determinations in the Phase 2 rule. And you've  
17 heard a lot about that just now from Deborah, so I'm just  
18 going to emphasize a couple of the points. That, such as  
19 site specific (inaudible) which shifts the (inaudible) focus  
20 inappropriately away from minimizing adverse environmental  
21 impacts. And also, assess the economic determinations made  
22 by the legislature in the Coastal Act and (inaudible).

23           And the final point is part of the policy to  
24 require independent peer review of the methodologies used in  
25 the comprehensive demonstration plans that will be submitted

1 by the plants. This area is quite complex. And you should  
2 also require, particularly require review of decisions of  
3 economic and technical (inaudible).

4 And I just wanted to say at the end, I hope that  
5 the, I want to thank the board for taking interest in this  
6 issue in the first place, and to remember and hopefully  
7 issue a stronger policy, recognizing that we have a big  
8 opportunity to uphold our history as an environmentally  
9 progressive state and moving beyond the 316(b) regulations  
10 and implementing our own (inaudible) state policy.

11 Thank you.

12 BOARD MEMBER SILVA: Thank you.

13 Well, that's all the cards I have. Anybody else  
14 that I missed, or -- okay, seeing none.

15 First of all, thank you. Before I give my  
16 comments, Jerry, did you have anything you wanted to say?

17 BOARD MEMBER SECUNDY: Just a couple of comments.  
18 It's honestly very refreshing to sit through one of these  
19 hearings. Pete and I had the opportunity to do this ASBS.  
20 We did it in Monterey. We're going to have a second  
21 workshop on ASBS here in southern California. And Mr. Silva  
22 and I are discussing the feasibility of having a second  
23 workshop on 316(b) in northern California, and in the  
24 evening if that's more convenient for people. We really are  
25 trying to reach out and make certain that we understand

1 exactly where everyone's coming from.

2           Some of the not so subtle messages we got today  
3 were that the state board is a useless appendage and if we  
4 would simply sit back, relax and enjoy ourselves, the feds  
5 will take care of it all. And we could go to the barbecue  
6 and enjoy the cow. I understand that.

7           On the other hand, we got something to the effect  
8 of if we would just eliminate once-through cooling for all  
9 of these existing 21 power plants and ignore the economics,  
10 that would also be a happy state of affairs.

11           So I'm not drawing any conclusions about either  
12 statement at this point time. But I'd like to say that we  
13 did get your message loud and clear.

14           Secondly, for those of you that did make a  
15 presentation, and even for those of you who did not, if you  
16 have some written material that you would like to give us  
17 please make certain we get it. We do take notes, we do try  
18 to remember, but it's much easier if we have your written  
19 comments, and staff certainly needs the opportunity to go  
20 through each and every one of those.

21           And just, finally, two things that I found  
22 somewhat puzzling, and I am new to this area, that were not  
23 discussed today. There's no challenge that I could see to  
24 the impact on the marine organisms themselves, no challenge  
25 as to the magnitude of that. I didn't hear anyone dispute

1 that this is actually a very enormous problem up and down  
2 the coast of California.

3 And also, although there were allusions to the  
4 economic impediments and to eliminating once-through  
5 cooling, I've really not heard any numbers whatsoever as to  
6 just what the cost for a plant to be converted to dry  
7 cooling, for example, from once-through cooling, whether or  
8 not we are supposed to in some way look at the economics  
9 connected therewith.

10 So just some thoughts for those of you that might  
11 come to a northern California workshop. You might want to  
12 give us some information on both of those.

13 BOARD MEMBER SILVA: I would agree. Jerry put it  
14 very, very well in terms of the extreme views on this, and  
15 obviously there's, there could be some middle ground there.  
16 But also for, I agree, I think we should set up a meeting in  
17 northern California. Perhaps Region 2 has (inaudible) take  
18 advantage of that.

19 But also, following up on what Jerry said. Some  
20 of the points that I'd like to get more clarification in  
21 terms of staff presentations or other experts, is this  
22 whole, you know, how you do look at economic -- I don't know  
23 if it's benefits, but whatever the economic impact of  
24 conversion from one technology to another, how you, how you  
25 do that.

1           And also, this other issue that came up in terms  
2 of permitting new versus retrofit. If you could explain  
3 that a little bit better, that would help me. And also,  
4 just you talked about different types of technology, you --  
5 maybe the differentiation between dry cooling and closed,  
6 closed cycle cooling, if there's others out there. I just  
7 want to get an idea of what they entail in terms not only of  
8 cost, but, you know, feasibility. Can you put them on the  
9 coast, what other, what other impacts -- for example, I know  
10 there's not a lot of impacts in dry cooling, you know, that  
11 might have equal impact. But it would at least give us a  
12 range of technologies, what do they entail.

13           And also, just we heard a lot about New York.  
14 What does New York do, and would that really apply to  
15 California. We've got this rather -- areas that were  
16 brought up. Well, you know, New York does this, Arizona  
17 does that, or does it really apply in California. There's  
18 different, different issues relating to this. So that would  
19 be helpful. And any other things that you came up with that  
20 would be helpful to us, in terms of presentations at the  
21 next meeting. Appreciate it.

22           What timeframe are you looking at for (inaudible)?

23           SPEAKER: I think as soon as possible. I mean, I  
24 think given what I've heard today and what -- the sooner the  
25 better, in the next month or two. (Inaudible.) We're

1 getting into the holiday cycle. Once we're past  
2 Thanksgiving, I think it's too late, so --

3 SPEAKER: So we're looking at probably November.

4 SPEAKER: November, mid-November sometime.

5 SPEAKER: Okay.

6 SPEAKER: Yeah, if we can. So staff, do you have  
7 any comments or any other thoughts?

8 SPEAKER: Just a couple of things. The slide that  
9 Steve brought up earlier in the day. Where we would put up  
10 any statewide policy if you decide to --

11 SPEAKER: That's sort of a (inaudible) point.  
12 Maybe we can get a little bit more guidance at the next  
13 workshop for that. We're tending to lean towards the  
14 thermal plan because it's the plan that covers all of the  
15 power plants, the existing plan. But it certainly could be  
16 a stand-alone document, as well.

17 SPEAKER: And this is the plan that has not been  
18 updated since 1975?

19 SPEAKER: That's correct.

20 SPEAKER: But, but if we, if we did work on  
21 including a policy in the thermal plan, I think, because of  
22 staff resources, we'd like to limit that work to just the  
23 316(b) implementation and not the rest of the updated  
24 thermal plan. Just, like I said, because of staff  
25 resources.



CERTIFICATE OF TRANSCRIBER

TITLE: Regional Water Quality Control  
Board Workshop

DATE: September 26, 2005

I hereby certify that the foregoing is a correct transcript from the tape recorded workshop of the above-referenced matter for the Regional Water Quality Control Board, to the best of my ability.

Lee Robb

DATE: October 19, 2005

PETERS SHORTHAND REPORTING CORPORATION (916) 362-2345