

BEFORE THE
STATE WATER RESOURCES CONTROL BOARD

In the Matter of:)
)
)
Amendment to the Water Quality Control)
Plan for the San Francisco Bay/)
Sacramento-San Joaquin Delta Estuary:)
San Joaquin River Flows and Southern)
Delta Water Quality and on the Adequacy)
of the Supporting Recirculated Draft)
Substitute Environmental Document (SED))
_____)

VOLUME II

PUBLIC HEARING

Merced Theatre
301 W. Main Street
Merced, CA 95340

Monday, December 19, 2016

2:21 p.m.

Reported by:
Peter Petty

APPEARANCES

Board Members Present:

Felicia Marcus, Chair
Frances Spivy-Weber, Vice Chair
Tam M. Doduc
Steven Moore
Dorene D'Adamo (via webcast)

Staff Present:

Thomas Howard, Executive Director
Eric Oppenheimer, Chief Deputy Director
Les Grober, Deputy Director of Water Rights
Will Anderson, Water Resources Control Engineer
Jason Baker, Staff Services Analyst
Tina Leahy, Senior Staff Counsel
Erin Mahaney, Senior Staff Counsel
Yuri Won, Senior Staff Counsel
Daniel Worth, Senior Environmental Scientist

Public Comment (Volume I):

Anthony Cannella, Senator, 12th Senate District
Adam Gray, Assembly Member, 21st Assembly District
Bill Lyons, Former Secretary of Agriculture
Larry Morris, District Attorney, Merced County
Dave Long, President, Merced Irrigation District
Bob Giampaoli, Le Grand Community Services Water District
Scott Koehn, Vice President, Merced Irrigation District
Jim Price, Mayor, City of Atwater
Daron McDaniel, Supervisor, Merced County
Barbara Levey, Assessor, Merced County
Mike Murphy, Mayor-Elect, City of Merced
Paul Creighton, Council Member, City of Atwater
Steve Tietjen, Superintendent, Merced County
Tony Dosetti, Council Member, City of Merced
Scott Silveira, Council Member, City of Los Banos
John Pedrozo, Supervisor, Merced County
Josh Pedrozo, Mayor Pro Tem, City of Merced
Jerry O'Banion, Supervisor, Merced County
Patricia Ramos-Anderson, Santa Nella County Water District
Anthony Martinez, Council Member, City of Merced
Alex McCabe, Council Member, City of Livingston
Rodrigo Espinoza, Supervisor-Elect, City of Livingston
Jim Costa, Congressman, 16th Congressional District

APPEARANCES (Cont.)

Public Comment: (Volume 1 Cont.)

Michael Belluomini, Councilman, City of Merced
Lloyd Pareira, Supervisor, Merced County
Deidre Kelsey, Supervisor, Merced County
Cole Upton, Chairman, Chowchilla Water District
Robert Kelley, General Manager, Stevinson Water District
John Sweigard, General Manager, Merced Irrigation
District
Phil McMurray, General Counsel, Merced Irrigation
District
Lee Bergfeld, MBK Engineers
Hicham ElTal, Deputy General Manager, Merced Irrigation
District
Jim Lynch, Merced Irrigation District
John Larson
Jeff Marquis, Board Member, Merced Irrigation District
David Ortiz
Tim Goodson, Calaveras Trout Farm
Jasmine Flores, Atwater FFA
Dan Dewees, Advisory Committee Member, Merced Irrigation
District
Jeff Hawks
Gary Tessier
Martin Gothberg
Roger Wood
Marcus Metcalf
Helio Brazil, Superintendent, McSwain School District
Diana Westmoreland Pedrozo
Susan Walsh, Merced College
Rose Marie Burroughs
Nicola Adams

Public Comment (Volume II):

Hubert Walsh, Chairman, Board of Supervisors, Merced
County
Ron Rowe, Merced County Public Health Department,
Division of Environmental Health
Scott Stoddard, UC Cooperative Extension
Stan Feathers, General Manager, Delhi County Water
District
Steven Gomes, Superintendent of Schools, Merced County
Joe Scoto, Merced Farm Bureau
Gino Pedretti, III
Simon Vander Woude

APPEARANCES (Cont.)

Public Comment: (Volume II Cont.)

Tony Toso
Breanne Ramos
George Burkhardt
Doug Forte, Kellogg Supply
Dr. Michael Martin, Merced River Conservation
Fernando Aguilera, Merced Soccer Association
Steve Bertram
Dr. Luke Miller, Vierra Dairy Farms
Alan Peterson, Merced County
Spreck Rosecrans, Restore Hetch Hetchy
Brad Samuelson, Best Crane Orchard
Tom Roduner
George Park, Love Tree Mutual Water Company
Mike Plum, McClure Boat Club
John Borba, Jr.
Frenchy Meissonnier
Allison Jeffery
Tim O'Laughlin, San Joaquin Tributaries Authority
Dennis Yotsuya, Water District
Sonia Diermayer
Robert Dylina, Merced Chamber of Commerce
Loren Scoto
Andrew Skidmore
Jason Scott
Scott Ruduner
Mary Michel Rawling, Golden Valley Health Centers
Adam Shasky
Maxwell Norton, Central Valley Farmland Trust

INDEX

	<u>Page</u>
Introduction by Felicia Marcus, Chair	219
Panel Two	219
Hubert Walsh, Merced County	
Scott Stoddard, UC Cooperative Extension	
Stan Feathers, Delhi County Water District	
Steven Gomes, Merced County	
Public Comment	254
Panel Three	290
Spreck Rosecrans, Restore Hetch Hetchy	
Public Comment	297
Panel Four	316
Tim O'Laughlin, San Joaquin Tributaries Authority	
Public Comment	342
Adjournment	373
Certificate of Reporter	374
Certificate of Transcriber	375

1

2

P R O C E E D I N G S

3

DECEMBER 19, 2016

2:21 P.M.

4

(On the record at 2:21 p.m.)

5

CHAIR MARCUS: We're now going to go to the
6 next panel, which is the Merced County Panel. And then,
7 we will go to some of the speaker cards before going to
8 the other presentations. And Tim O'Laughlin, from the
9 San Joaquin Tribs, has graciously volunteered to go a
10 little later because he presents to us all the time. And
11 John has to leave, so I already promised him that you
12 would give him, his own personal presentation at some
13 time, that you two can arrange. I think I'm safe in
14 doing that.

15

MR. O'LAUGHLIN: Yes.

16

CHAIR MARCUS: Thank you very much, sir.

17

Thank you, looking forward to the Merced County
18 Panel. Thank you very much.

19

MR. WALSH: Good day.

20

CHAIR MARCUS: Good day.

21

MR. WALSH: Good day to you, and the Water
22 Board. I'm Hub Walsh, and I am Chairman of the Merced
23 County Board of Supervisors. Thank you for the
24 opportunity for Merced County, and our colleagues, to
25 provide you some information on the potential impacts of

1 this proposed update to the Bay-Delta Water Quality
2 Control Plan to Merced County.

3 I want to welcome you, again, to Merced County.
4 While you're here, hopefully, and I don't know it looks
5 like a full agenda but, hopefully, you'll have an
6 opportunity to get to know us, and know the community,
7 the treasures that we have here, and the unique place we
8 all call home.

9 Things like UC Merced, the Hilmar Cheese,
10 Foster Farms, and our over one million acres of field
11 nuts, fruit, and vegetable crops.

12 While we've been working hard to build our
13 community into a thriving, desirable place to live, we
14 also want to understand, and hopefully, you understand,
15 that Merced County faces some daunting challenges. Over
16 81 percent of our population, in this region, lives in
17 areas designated as economically disadvantaged, or
18 severely disadvantaged.

19 Merced County has held kind of an unenviable
20 position, during the great recession, of being one of the
21 top ten metropolitan areas with the highest foreclosure
22 rates in the nation.

23 Though the unemployment rate in Merced County
24 has gone down and we anticipate, hopefully, for the
25 future it to continue in that trend, it is, at 9 percent,

1 twice what the State average is and what the national
2 average is. It's still a dismal number.

3 Even now, Merced County is only slowly
4 recovering from the great recession. And, obviously,
5 from this morning you got a sense. We may be poor
6 economically, but we're not poor in spirit. And you
7 probably got a sense of that spirit this morning.

8 Under the proposed SED, our region and these
9 disadvantaged communities are facing even bleaker
10 outlook. We know that you've done an economic analysis
11 that shows an economic impact of about 433 job losses,
12 and \$64 million to the regional economy, over three
13 counties.

14 However, our economic analysis, and that
15 information's just being made available, and we will
16 share it with you, shows that the SED dramatically
17 underestimates the economic impact. These independent
18 analyses that show over 900 jobs lost, just in Merced
19 County, alone. And the economic impacts of closer to
20 \$231 million, just in our community.

21 According to Stratacon, Inc.'s economic
22 analysis, San Joaquin County, Stanislaus County, and
23 Merced Counties could be facing long-term impacts of over
24 \$7 billion, over the 50 years. And much of this could be
25 related to the fact that the loss of water impacts the

1 value of the land that folks have, and then the economic
2 impact in terms of to our local government.

3 Over the past five years, the communities in
4 the San Joaquin Valley have been weathering one of the
5 worst droughts in California history. Responses to the
6 drought conditions have led to increasing groundwater
7 pumping, wells going dry, the lowering of groundwater
8 levels. At the same time, our water management agencies,
9 in the Merced Groundwater Subbasin, a high priority,
10 critically overdraft basin, has come together to address
11 these issues under SGMA.

12 Additionally, the County has implemented a well
13 ordinance and a transfer ordinance of water, groundwater
14 out of our community in attempting to address that issue.

15 However, should the SED be implemented, surface
16 water recharge, one of the most important tools for
17 bringing the subbasin into sustainable condition, will be
18 greatly reduced. Leaving, really, the only option, which
19 is fallowing of property.

20 All of the benefits of this take are identified
21 as potentially -- and I, frankly, was using the 1,100
22 figure, but I'll take MID's number, which was 400 fish
23 out of the Merced area.

24 The purpose of this panel is to give you
25 information. I think you've got a sense of the passion

1 from our community, and education regarding the local
2 groundwater situation, and its effect on our community.

3 Ron Rowe, the expert from Merced County Public
4 Health Department, Division of Environmental Health, will
5 go over groundwater and subsidence issues for Merced
6 County.

7 And an overview of the draft's SED impact to
8 agriculture will be presented by Scott Stoddard, from the
9 UC Cooperative. And they are more focused on our small
10 water district, who relies solely on groundwater, and
11 serve disadvantaged communities, will be shared by Stan
12 Feathers, General Manager of the Delhi County Water
13 District.

14 Later, Merced County Superintendent of Schools,
15 Steve Gomes, will explain the potential devastating
16 impact to our schools, and children, who rely on wells.

17 I'll now hand it off to Ron Rowe, who will
18 provide information on groundwater subsidence, flood
19 control, and harm-free algae blooms, which have been
20 requested by the Water Board Members at the November 29th
21 meeting here, at Merced.

22 Ron.

23 CHAIR MARCUS: Thank you very much.

24 MR. WALSH: Thank you very much.

25 CHAIR MARCUS: Supervisor.

1 MR. ROWE: Good morning, Chairman, Members of
2 the Board, and staff for the Water Board, thank you very
3 much for your time today.

4 As Supervisor Walsh indicated, on November
5 29th, the State Water Board requested a little bit more
6 information from us regarding land subsidence potential,
7 and water quality impacts related to unimpaired flows.

8 First, I'd like to give a tremendous amount of
9 credit to Michelle Snead (phonetic), and others at U.S.
10 Geological Survey, for many of the images and the texts
11 that you'll see.

12 So, a very brief explanation of land
13 subsidence. Where there's pour space between particles,
14 especially where they're clay, these clay-like particles
15 are shaped like small plates. When there's pumping that
16 occurs, it reduces the pour pressure between those
17 plates, and those plates tend to collapse on top of one
18 another, reducing the overall volume available for
19 storage and reducing yield.

20 The ultimate impact is the land deforms at the
21 surface and creates a tremendous number of problems for
22 us. And the largest problem that we have, where we would
23 have the lack of surface water, would be groundwater
24 storage capacity reductions.

25 This image, also from U.S. Geological Survey,

1 shows soil texture from borehole logs, throughout the
2 Central Valley. The most dominant feature here is the
3 blue tone, which clearly indicates that much of the soil
4 beneath us, where our groundwater is derived, has a high
5 clay content and is very susceptible to subsidence.

6 Flood protection and infrastructure is in
7 question. Natural resource impacts, also problematic.

8 This particular slide shows trends over time
9 that, in essence, even in periods of non-drought
10 conditions, subsidence can continue and does continue.

11 These are satellite images, again from U.S.
12 Geological Survey, between 2003 and 2010. The circle to
13 the south is historic subsidence where, through surface
14 water deliveries in the mid-1900s, late-1900s I should
15 say, it resolved some of that subsidence problem through
16 the Delta-Mendota Canal, in particular, as agricultural
17 deliveries to the Tulare Basin.

18 New subsidence has been observed, particularly
19 in the last five years. And one of the problems that we
20 have, and that we would be looking for, hopefully, in
21 additional assessment in the SED, would be to look at
22 subsidence on the eastern side of Merced County. As you
23 can see, there's a large void there.

24 So, it's a rather busy slide, but I think the
25 important issue to take note is within the black box.

1 That in the south central part of our County, near El
2 Nido, the U.S. Geological Survey's recorded land
3 subsidence of at least 21 inches in a two-year period.
4 And that's a substantial amount of subsidence. It's
5 affected our eastside flood bypass control structures.
6 And it's impacted many surface water deliver, and other
7 infrastructure conveyances, et cetera, in a negative
8 manner.

9 So, that same black box, if we take a little
10 bit closer look at that, we've converted the metric to --
11 in the larger color image, those values there are in
12 inches. So, you can see along the axis of A to A prime,
13 going from north to south, you can see a fairly
14 significant deformation in the bypass. And what that
15 basically means is we no longer have the flood control
16 that we had, previously. And trying to keep up with that
17 is a costly endeavor, no doubt.

18 As it relates to surface water delivery, work
19 was done in 2003 to 2008, in the lower sections of the
20 Delta-Mendota Canal. And, more recently, between '07 and
21 '10. And the significant take home message here is where
22 subsidence has impacted the Delta-Mendota Canal, that
23 loss of capacity there, in essence water can't run
24 uphill, even though it's a very small amount of
25 subsidence, only about 15 millimeters. That loss in

1 storage capacity restricted flow to the San Luis
2 Reservoir and water delivery was unavailable.

3 The future of land subsidence is probably the
4 most interesting piece of this discussion, related to
5 specifically the land subsidence in general. This is
6 relatively new information from U.S. Geological Survey.
7 And what the color map basically indicates is those tones
8 that are lighter in pink, particularly along what we'll
9 call the Chowchilla Alluvial Fan, and the Fresno Fan,
10 which the Chowchilla is adjacent to us, to the south,
11 where the Chowchilla River -- excuse me, the Madera and
12 Merced County boundaries adjoin.

13 That because of those fine grain materials in
14 that area, with just a small amount of pumping influence,
15 those areas are exceptionally vulnerable to further
16 subsidence. In the absence of surface water deliveries,
17 the likelihood of more subsidence is quite high.

18 And, so, over the last century, estimates
19 are that we've lost probably close to 200 million
20 acre-feet in storage.

21 Economics. This one is very difficult to
22 estimate because, oftentimes, as work is
23 performed they don't connect it to subsidence,
24 itself. But in looking through some data, again
25 provided by U.S. Geological Survey, Santa Clara

1 Valley had costs to \$375 million that was
2 documented.

3 The San Joaquin Valley, to date, maybe
4 \$145 million. Probably much more. And Long
5 Beach, historically, over \$600 million.

6 So, it's further broke down for the Santa
7 Clara Valley. They did a great job of connecting
8 subsidence to specific types of work, damage, and
9 repair. When we add those up, to date in
10 California, it's in excess of a \$1 billion impact
11 from just the recorded subsidence, alone.

12 The question mark is what is the current
13 cost in the San Joaquin Valley and what will it
14 be in the future with lack of surface water, and
15 additional pumping?

16 Harmful algal blooms and other
17 components, biological components in surface
18 waters are becoming more and more prevalent.
19 Although they're referred to as algal blooms, the
20 materials that we're seeing the San Luis
21 Reservoir, for the first time this summer, at
22 very, very high concentrations, are associated
23 with a 25-year low in the San Luis Reservoir
24 storage elevation.

25 And the values that we saw out there for

1 Microcystins, which are actually a cyanobacter --
2 excuse me cyanobacteria, are probably very close
3 to 16, almost 17 times the action level for human
4 health and animal exposure. So, the result of
5 that was posting at the San Luis Reservoir, and
6 some other local surface waters, where contact
7 sports, swimming, animal exposures were not just
8 dangerous, but toxic. And it's quite alarming to
9 see that this is a possibility for surface waters
10 were elevations in storage reservoirs are lowered
11 and it is very concerning from a public health
12 perspective.

13 CHAIR MARCUS: Much of that posting came
14 as a result of our orders. I don't know about
15 San Luis, particularly, in our monitoring
16 program, so it is --

17 MR. ROWE: It did. The data that was
18 presenting earlier was from the statewide
19 monitoring efforts, from DWR and others.

20 A little advancement issue. So, I can --
21 I only have one slide left, for some reason it
22 won't forward but --

23 CHAIR MARCUS: Yeah, if someone can help?
24 Great.

25 MR. ROWE: So, a summary. Loss of

1 surface water. Reduced opportunities for surface
2 water-reliant groundwater recharge. Without
3 surface water we can do recharge in a predictable
4 manner.

5 Increased dependence on stressed
6 groundwater resources, and deterioration of
7 groundwater and water, not just groundwater, but
8 surface water quality, is also a possibility and
9 a concern of ours. And land subsidence impacts
10 to all kinds of conveyances, transportation, a
11 variety of different infrastructure. We see many
12 more wells that are groundwater wells, and other
13 types of wells in the subsurface, that are being
14 either compressed, or fractured by subsidence-
15 related physical forces.

16 And, ultimately, we talked about this the
17 last time we were here, the disproportionate
18 impacts to disadvantages communities is of great
19 concern to us.

20 The image on the lower right is one of
21 many residences in the County that receive tanked
22 water, and it's a potential site, you know, could
23 possibly see again, that we'd really like to
24 avoid.

25 And, so, the real question for the staff

1 is, if you have an interest, we would be more
2 than happy to share more information on land
3 subsidence, and water quality, and the impacts
4 that it has had to our community, and the
5 potential impacts, and data that we have, that we
6 can share with you. That I think we could make,
7 potentially, a better product in the SED.

8 Thank you for your time.

9 CHAIR MARCUS: Thank you very much, Mr.
10 Rowe, appreciate it.

11 MR. ROWE: And I'd like to go ahead and
12 pass it on, now, to Scott, with UC Cooperative
13 Extension.

14 MR. STODDARD: Thank you, Ron. Okay,
15 well, again my name is Scott Stoddard, Farm
16 Advisor with University of California,
17 Cooperative Extension, here in Merced County. I
18 work predominantly with farmers and consultants
19 who work with the vegetable crops. So, most of
20 my presentation seems to be geared towards that
21 type of commodity.

22 However, obviously, we also grow a lot of
23 almonds, in orchards, and other things in the
24 County, as well.

25 The main purpose of my presentation today

1 is essentially to probably remind you of
2 something that you already know. But I think
3 that it's important because soil salinity is not
4 just an issue that only occurs on the west side
5 of the valley or in the south valley.

6 Sacramento does not have nearly the
7 issues with soil salinity, even Stockton area.
8 It starts to pick up significantly in and around
9 Merced County. As you can kind of see by this
10 map that's there, that's showing the percentage
11 of saline-impacted soils. As you go from north
12 to south in the San Joaquin Valley, it starts to
13 become fully red by the time you get down, you
14 know, closer to Bakersfield. But it's starting
15 to get yellow and red in our community, as well.

16 Now, this is kind of zooming in more on
17 just the east side part of the County. As you
18 can see, the black lines here would represent
19 Highway 99, kind of going in that diagonal,
20 north/south direction.

21 And then, Highway 140, going towards the
22 west, from Merced to Gustine, for those of you
23 who know where I'm talking about.

24 The soil types in this area, to under
25 that line are very saline. And we have a lot of

1 issues with salt as a result of that. There are
2 some soil types, to the north of that line, that
3 also have some saline issues, though not nearly
4 to the extent.

5 So, it's not limited to just west side,
6 west of the river, this kind of thing. Even
7 though, of course, they have their saline issues,
8 as well.

9 So, even though we are predominantly a
10 granitic type of geology in this area, and we
11 have access to good quality surface water, when
12 it is available, we do have some soils that have
13 the potential for having a high -- a lot of salt.

14 This is important because crops are --
15 salt is bad. Basically, just like you and I
16 can't drink ocean water, plants don't like salty
17 water, either. Depending on the crop, some are
18 more sensitive than others.

19 Again, this is just predominantly showing
20 vegetable crops. We know this information for
21 trees, as well, and for grapes, and for the
22 agronomic crops, like corn, and alfalfa, and
23 things like that. But they vary. So, there's
24 very different kinds of tolerance to salinity, as
25 you're probably well aware. Of which, some of

1 the vegetable crops tend to be more sensitive
2 than like corn, or alfalfa, or cotton.

3 So, what we have is kind of -- this would
4 be a general equation for talking about crop
5 water use. And you can even relate this to your
6 efficiency of crop water -- or water use. As in
7 agronomy, or in agriculture, it would be the
8 amount of water applied versus the amount of
9 yield that you get. Okay?

10 And, so, the depleted moisture,
11 essentially, is our crop evapotranspiration.
12 Though we haven't -- we need a leaching
13 requirement in western irrigated agriculture.

14 Then, you have your application
15 efficiency. You divide this by your application
16 efficiency which is, essentially, the way we
17 water. That's our irrigation system. That's the
18 way we deliver water. So, there are different
19 efficiencies.

20 What we have done, since this drought
21 began, for all intents and purposes, is we've
22 eliminated the leaching requirement from this
23 equation, in order to save water.

24 So, you have essentially entered into,
25 for many crops in our area, and others throughout

1 the State of California, you've gone to a system
2 where you're deficit irrigating, more or less.
3 Not everywhere, not always. We try to -- we have
4 several tricks up our sleeve to try to make this
5 work, where you deficit irrigate at only certain
6 times during the year, and things like that, to
7 make this less impactful on yield, on how well
8 the crop is growing.

9 So, we've essentially eliminated that
10 leaching requirement and we've just been going by
11 ET, and we're trying to use as much efficient
12 irrigation as possible. We've had a big increase
13 in the amount of drip-irrigated use. Processing
14 tomatoes in the past, when I started in 1998, we
15 were probably at around, I'll say, 25 percent of
16 the acres. Now, we're at over 90 percent.

17 Okay. So, the problem is, is that all
18 this deficit irrigation that we've been doing, or
19 eliminating the leaching requirement, is starting
20 to cause effects even in areas that do not have
21 saline soil types.

22 For example, on east side of Merced
23 County you get orchards, now, that are starting
24 to develop high loads of sodium, and other salts
25 in their leaf tissue, which is a reflection of,

1 essentially, not being irrigated with enough good
2 water.

3 You see this? Welcome to Merced County.
4 We're the area in the United States that produces
5 sweet potatoes. And for everybody else, too, we
6 are the area of the Western United States where
7 you will get your sweet potatoes from, if you eat
8 sweet potatoes. It's a big crop here. And it's
9 one of the more sensitive crops to salt, not only
10 from the direct impacts of during the growing
11 season, but since this is a stored product it
12 also affects how well they store. And you get
13 this kind of deterioration. This is an abiotic
14 disorder. This is not being caused by some kind
15 of disease or something like this. This is
16 actually cellular death, within the product, as a
17 result of too much salt in the plant tissue.

18 Okay. So, anyway, so we know that we can
19 use good water as a way to leach salts out of the
20 soil. So, basically, there are three ways that
21 we deal with salts in agriculture, and leaching
22 is one of them, and as you probably all know.

23 This leaching requirement, leaching works
24 a lot better when you have good quality surface
25 water.

1 As you can see from this diagram, which
2 is just basically showing -- this would be EC,
3 which is electro connectivity, which how salty
4 the soil is. And then you apply some good
5 quality water, in this case through a drip
6 irrigation system, and the whole profile turns
7 blue, which means that you've gotten rid of your
8 salt. That's a good thing. That's what you
9 want, if you want to have any kind of long-term
10 sustainability of the agroecosystem.

11 Now, we've done a lot of work. Not me,
12 specifically, on this particular slide. This is
13 done by an irrigation specialist from UC Davis,
14 by the name of Blain Hanson. He's done a lot of
15 work on many different crops. Just an example in
16 that, you know, if you can't leach, you get yield
17 reductions. If you can leach, then you improve
18 your yield. And, therefore, you improve your
19 efficiency of your use of water.

20 So, I'm just going to wrap this up. Just
21 a reminder that --

22 CHAIR MARCUS: No, it's a good reminder.

23 MR. STODDARD: I'm sorry?

24 CHAIR MARCUS: No, it's a good reminder.

25 MR. STODDARD: Okay. Salinity is not

1 just a south, a Southern California or a west
2 side issue --

3 CHAIR MARCUS: Or a Delta issue.

4 MR. STODDARD: Yeah, that's right, it's a
5 Delta issue, too.

6 CHAIR MARCUS: We've heard chapter and
7 verse on this in the Delta.

8 MR. STODDARD: Yes, yes. And I knew that
9 you probably all realize this. But we use our
10 deficit -- we over-apply water to deal with this
11 salt issue. Which is, in and of itself, you
12 know, just another layer of the nitrogen
13 management issues that we have to deal with at
14 the same time. It's just another thing we have
15 to kind of think about.

16 But the lack of canal watering is going
17 to result in increased well water use. Increased
18 well water use or deficit irrigation is just
19 going to increase the amount of salinity in our
20 soil. Which means that it just is this -- it's
21 just this vicious snow effect that's taking
22 place. A vicious circle that we find ourselves
23 in. We can't deal with the salinity unless we
24 can irrigate. And we have to irrigate with good
25 quality water. And we're not going to get that

1 from a lot of wells, because the wells are salty,
2 now, because they're not having the leaching.
3 And it just goes on and on.

4 So, low EC canal water is necessary for
5 long-term crop productivity and long-term
6 sustainability. We are seeing the impacts of not
7 having enough surface water, even in our low-
8 saline soils that are more common in the east
9 side, east of the river here, in Merced County.

10 Okay. And with that, I'll pass the
11 torch.

12 CHAIR MARCUS: Thank you.

13 MR. STODDARD: Thank you.

14 MR. FEATHERS: Great, thank you. My
15 name's Stan Feathers. I'm the General Manager
16 for the Delhi County Water District. And,
17 actually, the part-time General Manager, a three-
18 day-a-week job. But I come with, basically, 30
19 years of governmental experience. Everything
20 from working in a CEO's office of a county, to
21 being the budget manager for a large city, to
22 being an assistant city manager and a city
23 manager. So, I bring a little different depth of
24 experience, I think, to this position.

25 CHAIR MARCUS: I can respect that, as a

1 former public works director.

2 MR. FEATHERS: Of course. Thank you for
3 the opportunity to provide some thoughts.

4 The Delhi County Water District is the
5 largest -- well, it's a district, it's a water
6 and sewer district, and it serves the largest
7 unincorporated area in Merced County, about
8 10,000 people. Less than 3,000 customers is the
9 base.

10 You know, obviously, it's enterprise
11 fund. We try to run it like a business. We have
12 a long-range, you know, capital operating and
13 financial plan, that we update every year for the
14 District.

15 The primary focus, of course, is fiscal,
16 operational viability over time, and the
17 continuity of service for the community.

18 We're the ones that don't want anybody to
19 turn on the faucet and see sand coming through
20 it, you know, as was mentioned by one of the
21 previous speakers.

22 One of our major concerns is the impact
23 of uncertainty, of a huge issue like this, for
24 the District. And we're kind of where the rubber
25 meets the road. And we've dealt with, you know,

1 the drought. We've adapted to that.

2 We think, really, from a long-range
3 planning perspective, SGMA is great for the
4 State. You know, we're heavily participating in
5 that and a lot of support of that.

6 But, you know, we're like any district,
7 we deal with water quality issues, problems with
8 aging infrastructure, increasing operational
9 demands. I mean, this stuff never gets easier.
10 It always gets harder.

11 We're like most small districts, we kind
12 of face the problem of limited resources. You
13 know, case in point, although very successful,
14 our conservation measures that we've taken during
15 the drought, have had a significant impact on our
16 revenues. Because a lot of our revenues in the
17 past had come from over-charge -- charging for
18 over-use of water. Well, the community was
19 great, they complied with our conservation
20 measures and now we're losing out on the revenue.
21 And we're losing out on that revenue and we're
22 still in the midst of a five-year rate study,
23 with rate increases every year, and we're not
24 meeting our expectations in those areas. So,
25 that's concerning to us.

1 Most small districts operate with very
2 limited reserves. Basically, we have reserves
3 for cash flow purposes, for contingencies and
4 exigency situations. And then, the remainder of
5 our reserves are completely earmarked for
6 infrastructure and capital replacements.

7 And for anyone to have a viable business
8 in the long term, you have to replace the
9 infrastructure, the equipment. You have to keep
10 your capital acquisitions in good shape. And
11 there are certain segments of funding that
12 they're sort of a different color of money. We
13 can't spend our impact fee money for replacement
14 of existing equipment and assets. That's
15 earmarked, basically, for items that are related
16 to growth and development. And we, like most
17 small districts, are very cognizant of that
18 factor.

19 We're really concerned that this proposal
20 will impact a decade of capital and operational
21 planning that has been ongoing. I have projects
22 right now that are underway, that I'm sort of
23 second guessing myself on them. The Board, our
24 Board, is rethinking those projects. We're
25 concerned because producing -- finishing a

1 project that doesn't provide long-term value for
2 the community, that's -- I mean, that's sacrilege
3 for us, you know, I mean and we're concerned of
4 that.

5 We also feel that we've already increased
6 our rates. You know, we think that there is the
7 potential for other, additional huge rate
8 increases. If there is an economic impact in the
9 area, our area is heavily supported by the
10 agricultural sector.

11 So, what happens is, if we get businesses
12 that basically exodus, that leave the area, then
13 we have -- and we have residential customers that
14 leave the area, too, and we have additional
15 operational and capital costs brought on by this
16 proposal, that the remaining customer base will
17 essentially be -- have the prisoner's dilemma,
18 you know. They're going to get higher rates.
19 There's going to be fewer customers to pay those
20 higher rates and that's just going to drive the
21 costs up, and may make the area just financially,
22 operationally unviable for the future.

23 That's kind of one of our biggest
24 concerns. And not only on the operating end, on
25 water, then basically that there's a peripheral

1 impact on the wastewater operation, too, if those
2 customers leave. So, you know, those are huge
3 concerns, you know, for us.

4 And then, just kind of as a side note,
5 I've worked for cities that we had plenty of
6 staff. When we had a problem, we could muster
7 the troops and put a team together, and tackle a
8 problem and deal with it. Well, the scaling of
9 staffing and the -- on a small district basis is
10 a totally different dynamic. I mean, you do not
11 have the staffing capacity. It's not because you
12 don't have really good staff, you know, it's
13 because you just don't have the capacity to deal
14 with it.

15 And right now many small districts are
16 over-taxed, just dealing with the drought,
17 dealing with SGMA, dealing with regulatory
18 issues, as it is now. So, you know, that's a --
19 it's a financial issue, but it's also an
20 operational issue, too.

21 So, with that, I'd like to thank you for
22 allowing me to give you some of my concerns and
23 thoughts. And with that, I'll pass it on to
24 Steven.

25 CHAIR MARCUS: All right, thank you.

1 That adds to the picture. And you all have gone
2 over, but you've done a very good job of pointing
3 out the issues that we need to focus on, and I
4 appreciate that.

5 So, can we set -- is five minutes okay,
6 Superintendent Gomes. What did you --

7 MR. GOMES: So, you'll just owe me a
8 minute, is that --

9 CHAIR MARCUS: You can have six, if you
10 want.

11 MR. GOMES: Okay.

12 CHAIR MARCUS: You can have whatever you
13 -- I know you're very concerned about this issue,
14 so I've been looking forward to hearing from you
15 so --

16 MR. GOMES: I think I can keep it to five
17 minutes.

18 CHAIR MARCUS: Yeah, five or six.

19 MR. GOMES: Okay, thank you very much for
20 the extension of time. We don't know where that
21 time --

22 CHAIR MARCUS: No, it's hard to do, so
23 thank you.

24 MR. GOMES: Well, I just wanted to start
25 talking about -- about 90 years ago, my great-

1 grandfather brought his cows, with a covered
2 wagon, and moved his cows from Centerville, which
3 is Fremont, now, to Gustine, on the west side of
4 our County. And he came here because Crocker
5 Huffman had put in the irrigation system. And he
6 noticed that he could get five, to six, seven
7 cuttings of alfalfa with irrigation versus,
8 depending on rainfall, which didn't happen much
9 in the summer, so getting one or two cuttings of
10 alfalfa. And my family's been here ever since.
11 I'm a 66-year -- I've lived in the County 66
12 years, which is all my life.

13 And I am, as you said, I'm Merced County
14 Superintendent of Schools. I'm retiring in a
15 couple of weeks and capping off 44 years in
16 education, to students in this County.

17 But I'm really pleased to be able to talk
18 to you. I know I've written you a couple of
19 times. I appreciate Mr. Howard writing back to
20 me.

21 But I also want to say that I'm
22 representing the 70,000 pre-K-12 grade children,
23 and students attending schools in our County. Of
24 that 70,000, about 20,000 students are on campus,
25 and get their water for drinking, for sanitation,

1 and for restrooms from a well on their campus.
2 And under the Board's proposal, I'm confident
3 that these wells are going to go dry, and I'll
4 talk about that in a second, in, certainly, the
5 near future.

6 But before the groundwater becomes
7 nonexistent, I think school districts will
8 probably spend millions of dollars of taxpayer
9 money, intended to be spent on educating those
10 students, on drilling new wells, bottled water,
11 and Porta Potties. Because we know that, as a
12 well goes dry, they're going to drill new ones
13 and have to mitigate whatever they can do to get
14 by.

15 And I know that you're already in
16 possession of this information from your Division
17 of Drinking Water, outlining existing water
18 challenges facing Merced County schools. Some of
19 our schools have received notices, from your
20 Division of Drinking Water, acknowledging single
21 sources of water and requiring the schools to,
22 and I quote from your letter, "Develop a drought
23 contingency plan to deal with possible shortages
24 and outages."

25 In light of these notices, it is clear

1 that the Board knew of existing threats to the
2 water supply and, nevertheless, proposed a plan
3 that will make the challenge more difficult,
4 especially in these drought years.

5 Reducing the amount of surface water
6 increases groundwater pumping and drops the
7 groundwater levels. And I wanted to cite an
8 example from Le Grand Elementary, and I think
9 Superintendent Hurtado is not here.

10 But in 2004, Le Grand Elementary drilled
11 a new well. And at that time, the water level
12 was 174 feet. And, so, they had a new one and an
13 old one. The old one went dry in 2015. And when
14 they went to hook everything up to the new one,
15 they realized that that water level was down to
16 271 feet. And as the slide clearly shows, in 11
17 years that groundwater level dropped 97 feet.
18 That's almost 9 feet a year.

19 Now, I know that in the San Joaquin
20 Valley, over the last 30 to 35 years, maybe
21 except for the drought, the water levels have
22 been dropping about a foot a year. So, for this
23 to be nine times that, during a very short period
24 of time, really underlines the problems that
25 we're facing in the Le Grand/Planada area.

1 So, I'm thinking that it is important to
2 know that that groundwater is going to disappear.
3 And then, what do we do with those schools?
4 Because that's what I'm going to talk about
5 today. You've had a lot of testimony on all the
6 other things, and so I'm going to restrict my
7 conversation to that.

8 In one of the letters I sent to you, from
9 our legal counsel, it said, "While recognizing
10 significant, but unavoidable environmental
11 impacts within our client schools and students,
12 the Plan fails to discuss mitigating these
13 impacts in order to be in compliance with the
14 California Environmental Quality Act."

15 Further, I consider your actions, thus
16 far, as discriminating against mostly minority
17 and low-income children. Dr. Tietjen talked
18 about that a little bit, earlier on. He's going
19 to be my successor.

20 And, as well as an infringement on their
21 right to a free public education, guaranteed by
22 Article 9, Section 5, of the California
23 Constitution.

24 Please, make no mistake, and I want to be
25 on the record that we are prepared to vigorously

1 protect our schools and children, and will take
2 any legal action necessary to do so.

3 As an example of the reduction of water,
4 I cite the Le Grand Elementary School. One of
5 the other things that -- and my concerns, I've
6 just got a couple more minutes so I'm going to --
7 but my concern, really, is one of the schools in
8 our County, between Livingston and Atwater, out
9 in the country, there's 114 schools in our
10 County, but I am especially concerned about the
11 Shelby School, used for severely handicapped or
12 medically fragile students.

13 I can't replace that school. They're on
14 a well. They're surrounded by orchards, all
15 irrigating with wells. And that well is -- the
16 level is dropping. Not as bad as Le Grand,
17 because they're in a better water position, but
18 it is dropping, and I think will eventually go
19 dry.

20 And, so, again, I said that I wanted to
21 focus on my part of the world to let you know,
22 and I wanted to put a face on what those students
23 look like. These are the students that are in
24 that Shelby School. And they're severely
25 disabled and, of course, severely handicapped.

1 And they also, of course, are medically fragile.

2 Even if I -- if their well went dry, if
3 they ran out of water, and I wanted to move them
4 to, let's say, Stanislaus County, or somewhere
5 else, I can't because most of these students
6 can't be on a bus for more than 30 minutes. Most
7 of them come to school with a full-time nurse.

8 So, that's what -- that's some of the
9 difficulties I'm going to be dealing with, or my
10 successor will deal with, as we continue to -- if
11 we continue down this path and we run out of
12 water.

13 So, in conclusion, I would just -- there
14 are just three questions or thoughts I'd like to
15 see you answer in your final proposal. And those
16 really are, you know, specifically, what is the
17 impact of the water take in this proposed plan
18 going to have on groundwater in the near future?

19 What can we expect? Are we going to have
20 half of our County go dry? Twenty years from
21 today, where are we going to be if this goes
22 forward?

23 With groundwater levels dropping, nine-
24 feet-a-year, like it did in Le Grand, what is the
25 plan when schools run out of water? Your, is it

1 1,500 pages, I think it is, plan, doesn't address
2 that. And how will that be mitigated? How are
3 we going to do that? I don't know. I have no
4 clue.

5 How does this address -- and then, I'd
6 like to know how it addresses the California
7 Environmental Quality Act guidelines?

8 The superintendents and boards of
9 education would like an explanation, detailing
10 how 1,100 salmon, and I realize that that's not a
11 good number --

12 CHAIR MARCUS: That's a lot of -- that's
13 understandable. People have been told that's not
14 --

15 MR. GOMES: Okay.

16 CHAIR MARCUS: But it's not -- it's not
17 correct but, still, I understand why people --

18 MR. GOMES: I'll amend that by saying any
19 amount of salmon have --

20 CHAIR MARCUS: Well, that's kind of
21 worse.

22 MR. GOMES: Okay, whatever you'd like to
23 live with.

24 CHAIR MARCUS: Yeah.

25 MR. GOMES: You know, how do they have --

1 at what point do they have a higher priority to
2 interrupting the educational process of our
3 County? Is it like half of them, or if we can
4 quadruple the number we have now? I don't know
5 what that is. Is it we're going to increase
6 that, provide more water, increase the amount of
7 salmon at what cost? What will be -- where is it
8 that the Board would draw the line and say, no,
9 we can't go past that line. That's going to be
10 too devastating to students that you just saw on
11 there, or on other students throughout the
12 County, or all of the other things as well.

13 I think that that would be important for
14 us to know so that we can continue to do long-
15 range planning.

16 And, so, I leave you with those thoughts
17 and questions. And I will, of course, send
18 you -- I know your address well, and so I will
19 send you my written comments. Thank you.

20 CHAIR MARCUS: Thank you, sir.

21 MR. WALSH: Thank you, Madam Chair, for
22 the extension of time to my colleague. I, also,
23 appreciate you and the Water Board's hearing the
24 four S's of concerns for us, subsidence,
25 salinity, services and students. And we look

1 forward to the further discussion as this matter
2 moves forward in the future.

3 CHAIR MARCUS: Thank you, very much, and
4 thank you, Supervisor, for your years of great
5 leadership. Appreciate it.

6 MR. GOMES: Thank you.

7 (Applause.)

8 CHAIR MARCUS: All right. Now, we're
9 going to take a number of public comments. I
10 suspect some people, unfortunately, may not still
11 be with us. I am going to name off -- some of
12 these said they were going to leave early, but I
13 just want to double check to make sure.

14 I'm going to go read off the next 15, and
15 I may actually go to 20 because many of you have
16 been waiting all day. Our panels went longer
17 than we thought they would, and we had more
18 elected officials, which is totally fine, than we
19 had anticipated.

20 So, if you don't mind coming and sitting
21 closer to the beginning, so you can tell -- we've
22 got Colleen Medefind. She said she was going to
23 have to leave early so she -- oh, but she
24 attached a letter, that's helpful.

25 Followed by Joe Scoto, from Merced County

1 Farm Bureau. Followed by Gino Pedretti, III.
2 Followed by Simon Vander Woude, Tony Toso.
3 Someone with great handwriting wrote all of
4 these. Breanne Ramos, also in the Farm Bureau.
5 George Burkhardt. Chris Chavez. Great. Doug
6 Forte or Forte, Kellogg Supply. Michael Martin,
7 from the Merced River Conservation Committee.
8 Fernando Aguilera.

9 Oh, we've seen you before, Mr. Aguilera.
10 Roy Hart. Steven Bertram. Luke Miller.
11 And Shiella Shamblin.

12 Okay, we'll see how many we have left.
13 Please, if you'll state your name. Hopefully,
14 you're in that order, and if you'll state your
15 name so I can find your card, that would be
16 terrific.

17 Ms. Medefind? Mr. Scoto? You don't feel
18 like you won a prize, do you? Thank you for
19 staying with us, I appreciate it.

20 MR. SCOTO: Oh, no, I was going to stay.

21 CHAIR MARCUS: Great.

22 MR. SCOTO: After -- yeah. Anyways,
23 excuse me for being late, but I went and got
24 water, so I wasn't here for a while.

25 CHAIR MARCUS: That's quite all right.

1 MR. SCOTO: But, anyways, okay, my name's
2 Joe Scoto, third generation Merced County farmer.
3 A School Board member, McSwain School Board
4 member, Merced Irrigation District Advisory
5 Committee member, past 4-H leader, Cub Scout
6 leader, past Merced County Historical Society
7 President and, currently, Merced County Farm
8 Bureau President.

9 So, the point I'm trying to make is we,
10 in agriculture, not only me, but all my
11 neighbors, friends, we're all involved with this
12 community. And as business owners, we're all
13 involved, and we're here for ourselves because we
14 believe in our community and the future of our
15 youth.

16 This could never have been achieved
17 without our past generations' hard work and the
18 vision of a community and County revolving around
19 water and agriculture.

20 Our forefathers built infrastructure,
21 schools, businesses and towns, making sure our
22 future generations could help our communities
23 grow.

24 The State Water Resources Control Board's
25 proposed unimpaired flow requirement would

1 literally collapse our community, dismantle our
2 economy and destroy our sustainability. Frankly,
3 our future is the fifth largest County, in the
4 United States, in total value of agricultural
5 products sold would vanish.

6 Under your proposal, we would have a
7 severe shortage of water 50 percent of the time.
8 That's not sustainable for us to farm, and grow
9 crops and raise livestock.

10 To replace this loss of surface water,
11 your document states that we will be able to
12 increase pumping groundwater by more than 1,000
13 acre-feet per year. At the same time, you are
14 demanding we implement sustainable groundwater
15 management policies.

16 We all know, as common sense individuals,
17 that surface water is the biggest tool that we
18 have to preserve drought-stressed aquifers.

19 Merced County agriculture is the number
20 one economic driver in this County, will over
21 \$3.5 billion in gross revenues. If implemented,
22 both the flow proposal and the Groundwater
23 Management Plan, you will definitely destroy this
24 County and all its communities. This would be
25 the largest water grab in this State since the

1 Metropolitan Water District robbery of the Owens
2 Valley water.

3 Are you doing this because we are a
4 small, poor, agricultural-based community? Are
5 you doing this to benefit others? If we were Los
6 Angeles, would you be taking our water?

7 This devastation could all happen with a
8 decision made by you, an appointed Board that
9 would be not held accountable for your actions.

10 There has never been a time in our lives
11 when we have felt so threatened with our future.
12 We all work so hard at keeping our youth involved
13 in activities that would have a positive outlook
14 on their wanting to stay and better our
15 community. If this Board has a conscience, and
16 is truly concerned about this State and its
17 communities then you, the Board, should look at
18 other alternatives that would benefit and not
19 destroy this County.

20 The Merced Irrigation District, the
21 Merced Safe Plan would be a positive alternative
22 to the Bay-Delta Plan. And, also, looking at
23 building reservoirs in dry canyons, off-stream,
24 and getting water diverted in wet years to them.
25 That way, it wouldn't impact the salmon. Thank

1 you.

2 CHAIR MARCUS: Thank you, sir.

3 (Applause.)

4 CHAIR MARCUS: Actually, this Board did
5 take back a lot of water from the City of Los
6 Angeles, in one of our seminal, early decisions,
7 on the Public Trust Doctrine. So, that was the
8 first place we actually acted.

9 Gino Pedretti, III. Followed by Simon
10 Vander Woude, followed by Tony Toso. I think
11 we're going to have to go to two minutes, so I'm
12 going to ask people to really stay on the time,
13 just because I'm worried about folks having to be
14 here very late into the evening. I know we'll be
15 going into the evening, I guarantee it but --

16 MR. PEDRETTI: I'll just try to read mine
17 fast, ma'am.

18 CHAIR MARCUS: That would be just fine.
19 And to the extent you agree with what's already
20 been said, it's helpful to say so and then add
21 the other things we should be thinking about.

22 MR. PEDRETTI: Good afternoon, ladies and
23 gentlemen of the State Water Resources Board. My
24 name's Gino Pedretti. I'm a fourth generation
25 dairyman and first Vice-President of Merced

1 County Farm Bureau.

2 My great-grandpa bought our dairy
3 property after immigrating from Italy in 1939.
4 Three generations of my family still work on our
5 operations today. There's, also, great-great-
6 grandchildren, now, that are young and have the
7 possibility of becoming involved with our family
8 operation. We're a small, family operation with
9 17 full-time employees.

10 I learned many years ago that you need to
11 treat your employees right if you want to be
12 successful. For that part, I'm proud to say that
13 many of our employees have been with us for 10,
14 20 plus years. They have seen me grow up and
15 I've watched their families grow. Many of them
16 are first generation immigrants. They've come to
17 America, wanting to provide a better life for
18 their family. Because of their hard work and
19 their dedication, their kids have gone on to
20 college and most have come back to the Merced
21 community, working various jobs.

22 Because of the parents' hard work and the
23 opportunity to work in the ag field, these kids
24 have gone on to be productive members of the
25 Merced community.

1 My family, my employees, and I have one
2 question for you today. How are we supposed to
3 live our American dream if we lose 40 percent of
4 the flows of water? We use this water to farm
5 and provide jobs for the community.

6 Your own studies show 1,103 salmon, and I
7 know you disagree with that, would be saved from
8 the 40 percent flow, at a cost of over 1,000
9 jobs, and in excess of \$262 million to the Merced
10 community. You're asking for 40 percent flows,
11 but your own studies show, according to MID, 20
12 percent would have the same result.

13 This last year, 1,950 Chinook salmon have
14 returned to the Merced River Hatchery. Your flow
15 targets have already been met.

16 Our ranch is 15 miles south of Merced, in
17 a small community called El Nido. Only a few
18 hundred people live in El Nido, so our drinking
19 water comes from the ground. Over the years,
20 groundwater levels have been dropping and the
21 problem's only been magnified from the drought.

22 Groundwater levels have dropped below
23 where pumps are set for many domestic wells.
24 This causes a hardship for many people in the
25 community, who do not have the tens of thousands

1 of dollars to drill a new well.

2 Another problem in our area is land
3 subsidence. Land has been sinking six inches a
4 year at my house, and a few miles to the south
5 over a foot per year. Land subsidence in our
6 area has made national news. I've been on tours
7 with the subsidence with members of your own
8 Board. Everyone understands it's a major issues
9 and one of the reasons SGMA was put into law.

10 I have a hard time comprehending how the
11 Merced Subbasin would be able to support SGMA and
12 support the loss of flows.

13 CHAIR MARCUS: You should probably wrap
14 just --

15 MR. PEDRETTI: It's just a bit more,
16 ma'am, sorry. You have to ask yourself at what
17 cost is it to save the thousand salmon? One job
18 per every salmon, at over \$250,000 per fish? Is
19 the ground going to sink six inches a year
20 because we do not have surface water? The
21 surface water helps recharge the groundwater
22 basin and reduces the amount of groundwater used
23 for irrigation.

24 Has the Board even thought of the cost of
25 subsidence and management? How are the housing

1 communities going to be affected when homeowners
2 start seeing cracks in their walls? Or, farmers
3 see their casing crack on their wells and have to
4 re-drill wells? Will there be any mitigation to
5 help these costs?

6 I do not want to see the salmon go
7 extinct, but there is a better way of coming to a
8 solution. Please support the Merced Irrigation
9 District and try their SAFE Plan. We want to
10 work together with you, but losing 40 percent of
11 our flows is not working together.

12 Thank you for the chance to work
13 together, with you. Have a good day.

14 CHAIR MARCUS: Thank you, sir.

15 (Applause.)

16 CHAIR MARCUS: And I just want to
17 clarify, the staff proposal is not 40 percent off
18 current, it's 40 percent total. It's still
19 significant. I'm not saying it's not
20 significant, but it's not 40 percent off current.
21 It's addition.

22 (Off-mic comments.)

23 CHAIR MARCUS: It still does, yes.

24 Absolutely.

25 Great, Mr. Vander Woude, followed by Mr.

1 Toso, followed by Ms. Ramos.

2 MR. VANDER WOUDE: Good afternoon, my
3 name's Simon Vander Woude. I thank you guys for
4 coming to our turf. I've been on your turf a few
5 times. And I don't have to wear a suit and tie
6 here, so I'm grateful for that.

7 My family owns, and we daily operate, a
8 dairy here, in Merced County. To that end, we
9 employ 29 Merced residents, who support their
10 families and the local economy through their
11 wages.

12 I'm also a husband and a father of six
13 children, ranging in age from 19 to 4. I
14 sincerely hope there is an ag economy here, in
15 Merced County, in which they may be able to
16 participate someday.

17 I'm also very involved in my community,
18 church and school. Our children attend
19 Providence Christian School and Stoneridge
20 Christian High School.

21 I currently serve on the Building
22 Committee for a new campus for these schools.
23 We're building a \$25 to \$30 million Christian
24 school campus here, in Merced. All of this money
25 will be privately raised through generous

1 supporters of Christian education.

2 We're building this school to educate
3 young men and women to not only be civic leaders,
4 but to also be those who will conduct their lives
5 with honesty and integrity. Most importantly, we
6 strive to provide a Christian faith as their
7 foundation on which to base their lives and
8 future decisions.

9 A large portion of our funds raised are
10 from the ag community, even though our student
11 population represents the community demographics,
12 as a whole. A negative impact to this group of
13 donors puts negative pressure on our fundraising
14 abilities.

15 At our new campus, we get our drinking
16 water from a well, from a private water company,
17 Meadowbrook Water. It's all groundwater. If
18 they have to go deeper for drinking water, it
19 will not only cost more but, as you know, as you
20 get into different strata, there's different
21 quality issues in the water.

22 This is the drinking water for our
23 students. Please don't place this increased
24 river flow impediment as a hurdle to what we are
25 trying to build for future generations of Merced

1 families.

2 I beg you to consider the students of our
3 communities. I am told that 70 percent of the
4 property tax base in Merced County is from
5 agriculture. By taking this additional water,
6 our ag economy will be directly impacted, and I
7 fear the population and, therefore, our student
8 body will be adversely impacted.

9 I'm also very involved in the SGMA
10 process in our subbasin. By the diversion of
11 surface irrigation water out of our subbasin, the
12 math for groundwater sustainability will not
13 work, without even more cutbacks or stoppages to
14 agriculture.

15 We have participated, in good faith, in
16 the SGMA GSA process. We have a large enough
17 task in front of us, already, without this added
18 burden of even less water for our valley. Please
19 don't pull the rug out from underneath us, as we
20 try to create a sustainable model for water in
21 our basin.

22 The ramifications of these decisions will
23 have long-lasting effects on not only the jobs
24 lost in agriculture, but also the community as a
25 whole. Thank you.

1 CHAIR MARCUS: Thank you.

2 (Applause.)

3 CHAIR MARCUS: Mr. Toso, followed by Ms.
4 Ramos, followed by Mr. Burkhardt.

5 MR. TOSO: Good afternoon.

6 CHAIR MARCUS: Good afternoon.

7 MR. TOSO: My name's Tony Toso. I'm a
8 cattle rancher in Mariposa County. I am also a
9 fee appraiser, with the firm of Edwards Lien &
10 Toso. In Hilmar, I serve as the California Farm
11 Manager's Rural Appraiser's President. I also am
12 on the Ag Advisory Committee, in Mariposa County.
13 And I am the second Vice-President of California
14 Farm Bureau Federation.

15 I appreciated the opportunity to address
16 this Board, pertaining to the SED, today. And
17 I'd like to challenge you, today, by taking a
18 step back from following the agenda, and
19 recommitting to the mission statement I observed
20 on your website the other day. Which, in a
21 nutshell, is to do what is best for California in
22 regards to water. Forty million Californians and
23 the sixth largest economy in the world depend
24 upon that.

25 And the impact that California

1 agriculture plays is none less staggering when
2 you consider that.

3 I'd like to respectfully remind you that
4 your decisions will have a vast and far-reaching
5 impact on California. And to draw a parallel, in
6 my own endeavors, this is something that I
7 understand very well. Because every decision I
8 make, in my responsibilities as an appraiser, can
9 greatly impact the lives and the wellbeing of
10 those people.

11 To form an opinion and conclude a value
12 for a property, it's critical that I understand
13 as much about that farm or ranch, as possible, to
14 perform my responsibilities, and water's a huge
15 part of those considerations. My unbiased
16 research and conclusions must be credible,
17 accurate, and reasonable, a key word today, for
18 obvious reasons.

19 We've heard many differing opinions and
20 viewpoints in the other hearings today, and the
21 other hearings, but have you truly considered the
22 potential impact on property values by this loss
23 of water?

24 No one wants to deplete the salmon
25 populations or put them in peril, but it does

1 make sense, and it is reasonable to be so -- is
2 it so reasonable to be so focused on fish that we
3 lose sight of one of our most important
4 resources?

5 And I'm just going to wrap this up.

6 CHAIR MARCUS: Thank you.

7 MR. TOSO: The math simply does not add
8 up. When you contrast the potential impact on
9 California farmland and agricultural products
10 that are in the billions, versus 1,100 salmon,
11 this proposal just collapsed under that enormity.

12 So, I would challenge you today to step
13 back, take another look at that, and I would
14 implore you to put this one aside and look at
15 other, more reasonable, more well-thought
16 solutions to this problem. Thank you.

17 CHAIR MARCUS: Thank you, Mr. Toso.

18 (Applause.)

19 CHAIR MARCUS: Ms. Ramos, followed by Mr.
20 Burkhardt, followed by Mr. Chavez.

21 MS. RAMOS: Chair, Members of the Board,
22 good afternoon. My name is Breanne Ramos, and
23 I'm the Executive Director of the Merced County
24 Farm Bureau, representing 1,200 farming,
25 ranching, and dairy families from throughout the

1 community, many who have sat behind me today.

2 I come before you to share our great
3 concerns with the proposal you have presented.
4 By scheduling the meetings during the holidays,
5 you've not only impacted the lives of my members,
6 but also those they employ. Most of whom travel
7 to family, at a great distance.

8 On the heels of our California
9 Legislature raising not only minimum wage, but
10 also altering agricultural overtime, this
11 governing body is bringing to question if that
12 even matters. As without water, those same
13 employees will no longer be employed here.

14 Many of our communities are
15 disadvantaged, yet this proposal will remove
16 fresh drinking water from our families. As you
17 know, the Merced Subbasin, and it's been
18 mentioned today, has been declared critically
19 overdrafted.

20 While our leaders are coming together to
21 solve the issue and work to comply, this plan
22 will cease all progression. Removal of surface
23 water from our river will not only allow us to
24 offset the loss that has occurred, essentially,
25 you are declaring our GSPs inadequate before they

1 are written.

2 New Exchequer Dam was built on the backs
3 of many of the families that still call Merced
4 County home. And I'm happy to say that Merced
5 County Farm Bureau played a large role in the
6 beginning stages of the Dam. Since its initial
7 operation, Merced Irrigation District has managed
8 the Merced River as good stewards.

9 We encourage you to review and select the
10 Merced River SAFE Plan, instead of the proposal
11 that was presented today. Time and time again,
12 agriculture has bended. We have adapted to new
13 technology and practices so that more can be done
14 with less.

15 As we are approaching our one hundredth
16 year of service, I would hope that MCFB is able
17 to celebrate another 100. Our economy,
18 agricultural makeup, and community will be
19 drastically impacted should you elect to adopt
20 this proposal. Thank you for your time.

21 CHAIR MARCUS: Thank you, very much.

22 (Appause.)

23 CHAIR MARCUS: Mr. Burkhardt, followed by
24 Mr. Chavez, followed by Mr. Forte.

25 MR. BURKHARDT: Good afternoon.

1 CHAIR MARCUS: Good afternoon.

2 MR. BURKHARDT: I'm George Burkhardt,
3 Vice-President of the Connor Estates Homeowner
4 Association. This is a community on the shores
5 of Lake Tulloch, in Calaveras County,
6 Copperopolis.

7 Today, I journeyed here with a couple
8 other folks who are homeowners on the shores of
9 Lake Tulloch. One of those individuals is the
10 Vice-President of the Poker Flat Tulloch Shores
11 Homeowner Association.

12 The brief comments we'll make will be new
13 information, not a repeat of anything you've
14 heard today.

15 In your introductory slides, I saw the
16 term "reasonable" put up there multiple times.
17 My understanding is you have a regulatory
18 requirement that the decisions you make be
19 reasonable. I think your plan, that's based on
20 inaccurate and incomplete information is
21 completely unreasonable. But worse, I think your
22 plan is totally unnecessary.

23 Now, you many wonder how I come to that
24 conclusion? By this scientific report, I have in
25 my hand, and I'm just going to read just a couple

1 of quotes from the report.

2 First of all, I want to tell you where
3 the report comes from. It is the written
4 testimony of Doug Demko. Doug Demko is a
5 fisheries scientist. He is also a principal of
6 the firm called FISHBIO. FISHBIO is a world-
7 renowned scientific fisheries research
8 organization. It has done fish studies all over
9 the world, including the United States. FISHBIO
10 has done the most studies on the Stanislaus River
11 of any other organization.

12 The document I have in front of me is the
13 written testimony, dated February 10th, 2016,
14 provided to the United States House of
15 Representatives, Subcommittee on Water, Power and
16 Oceans.

17 Could I see by a show of hands how many
18 members here have either heard the presentation
19 or have read this document? One has, okay. Two.

20 CHAIR MARCUS: No, we've met with Mr.
21 Demko.

22 MR. BURKHARDT: And you've all read this
23 document? Two.

24 CHAIR MARCUS: I haven't. I need to read
25 that document.

1 MR. BURKHARDT: Okay, I have copies for
2 you. All right.

3 CHAIR MARCUS: But if you can wrap,
4 because we do have a lot of other people.

5 MR. BURKHARDT: I will.

6 CHAIR MARCUS: But submitting things is
7 really helpful, as we can read it in our time.

8 MR. BURKHARDT: Absolutely, I will. But
9 I think the audience will be extremely interested
10 in just the couple of items I'm going to quote.

11 CHAIR MARCUS: A couple quotes is fine
12 and then, yeah.

13 MR. BURKHARDT: Okay, thank you.

14 "California resource agencies sink tens
15 of millions of dollars every year into a failing
16 effort to protect native and endangered fish
17 species, while also bolstering introduced, top-
18 level predators that are decimating the very fish
19 they are required to maintain."

20 "The Central Valley Project Improvement
21 Act of 1992 actually requires protecting and
22 improving both introductory predatory striped
23 bass and salmonids, an illogical contradiction of
24 science and policy."

25 "Increased flow appears to be the popular

1 red herring for recovering native fish
2 populations, but scientific studies continue to
3 indicate that water releases from dams are no
4 silver bullet: more water doesn't equal more
5 fish. Or, it's impact on survival is small
6 enough as to be difficult to establish."

7 "The problem, ignoring unnatural and
8 excessive predation of native fishes."

9 In the spring of 2015 --

10 CHAIR MARCUS: You, actually, really
11 should wrap because you're going quite long, not
12 just a little over.

13 MR. BURKHARDT: All right. Okay. "A
14 predation study in the Lower San Joaquin River,
15 near Mossdale, was conducted by NOAA Fisheries.
16 Predators were found to outnumber Chinook salmon
17 by a ratio of roughly 200 predator for every one
18 Chinook salmon." "Simple and straight forward
19 changes to California sportfishing regulations
20 should be implemented to remove harvest limits
21 and size limits on stripe bass and other non-
22 native predators."

23 One last quote --

24 CHAIR MARCUS: Only if it's short,
25 without an introductory story.

1 MR. BURKHARDT: It is short. These are
2 quotes. "February 10th, 2016: Despite continued
3 pressure on California Department of Fish and
4 Wildlife through various mechanisms, which are
5 research, monitoring studies, and through the
6 litigation sediment and sediment process, no
7 action has been taken to address predation or
8 predation impacts in any meaningful manner.
9 Perhaps more importantly, striped bass
10 sportfishing regulations have remained
11 unchanged."

12 Thank you.

13 CHAIR MARCUS: Thank you.

14 MR. BURKHARDT: And there's more.

15 (Appause.)

16 CHAIR MARCUS: There is more and it's a
17 very complex issue that we absolutely want to
18 address.

19 Mr. Chavez, followed by Mr. Forte,
20 followed by Dr. Michael Martin.

21 Nobody there? All right. Oh, thank you.

22 MR. FORTE: Madam Chair, Board --

23 CHAIR MARCUS: Hi.

24 MR. FORTE: -- staff, thank you. Thank
25 you for coming to Merced and allowing us to have

1 the opportunity to address the issues that we
2 have here.

3 CHAIR MARCUS: No, there's been a lot
4 that's been very useful. Thank you for coming.

5 MR. FORTE: I represent Kellogg Supply.
6 We're a local hardware equipment dealer. I
7 haven't seen a lot of local businesses here. But
8 what you're -- and I'm not going to go over what
9 everybody else has. I agree with what everybody
10 has said here.

11 One of the things that we have come up
12 with -- I have been in this business since I was
13 14, in Merced County. I've been dealing with
14 friends and family. Everyone that you see here,
15 I've probably done business with.

16 One of the things that I want to talk
17 about is exactly what Mr. Rowe had a slide up
18 here, a while ago with, was the water issue of
19 dry wells. As a member, as a family that depends
20 on a well, our store, in 2015, supplied over 200
21 2,500-gallon tanks and systems to people that had
22 woke up in the morning and had a dry well. We
23 supplied the pumps, the whole system. In fact,
24 at this point in time, I believe that all of us
25 here, if we're paying our taxes like we should

1 be, are supporting, still, the people because
2 we're supplying them with the water for those.

3 Up to this year, we've supplied almost a
4 hundred more tanks. This issue is not going
5 away.

6 By reducing the amount of water that
7 these gentlemen are able to use, is not only
8 going to affect my business, my employees -- we
9 had a conversation about this last week, as to if
10 this moves forward, how it's going to affect our
11 company and the number of employees. My
12 employees have been there for 10, some 20 years.
13 I would hate to go to them and say because these
14 gentlemen can't do their jobs, can't farm the
15 ground, that I'm going to have to reduce staff.
16 But that's exactly what you're -- with this water
17 issue, is what you're saying is going to happen.

18 I applaud what MID is doing and I would
19 ask that you continue to work with them and see
20 if there's another solution, than what is
21 proposed today. Thank you.

22 CHAIR MARCUS: Thank you, sir.

23 (Applause.)

24 CHAIR MARCUS: Dr. Martin, followed by
25 Mr. Aguilera, followed by Roy Hart.

1 DR. MARTIN: Good afternoon, Madam Chair
2 Marcus --

3 CHAIR MARCUS: Hello.

4 DR. MARTIN: -- Members of the Board.
5 I'm Michael Martin. I represent the Merced River
6 Conservation Committee, a local Mariposa County
7 volunteer organization that's been interested in
8 the Merced Watershed and its future.

9 I'm an avid fly fisherman. I've been fly
10 fishing for 65 years and still standing. I'm a
11 retired California Fish and Game Scientist, for
12 35 years, and retired university professor. I've
13 fished all over the world chasing trout, chasing
14 salmon, and the Merced is my favorite.

15 Its anadromous fish stocks are on the
16 edge of extinction and I'm worried about them.
17 And that's why I'm here.

18 My main points. Firstly, there is no
19 scientific evidence that flows less than 50
20 percent unimpaired will achieve salmon and
21 steelhead doubling targets for the San Joaquin
22 River and the Merced River ecosystem.

23 Secondly, even at these higher than
24 historic baseline flows, salmon doubling is
25 possible only if accomplished -- only if

1 accompanied by very precise management of flows,
2 plus huge investments in physical restoration of
3 habitat in the lower Merced, and in the San
4 Joaquin.

5 Thirdly, rearing habitat restoration is
6 required under all alternatives, but flows less
7 than 50 percent unimpaired require
8 proportionately higher restoration acreages, thus
9 inflating cost.

10 And, finally, high temperatures limit egg
11 incubation and juvenile rearing habitat, at flows
12 less than 50 percent. This affects the Merced
13 River's carrying capacity and reduces its ability
14 to shape -- it reduces your abilities to shape
15 flows without serious negative effect.

16 Can we reduce flows and simply construct
17 habitat? My scientific, professional opinion is
18 negative. There are a number of non-flow
19 measures that will improve salmon population
20 conditions, screened, unscreened diversion,
21 reduce the proportion of river flow directly
22 diverted, reduce predator abundance, increase
23 geomorphic flows through shaping, increase large,
24 woody debris, and provide access to habitat above
25 the existing project.

1 I recommend that you adopt a flexible 50
2 percent unimpaired flow standards, with options
3 to increase flows should fish population targets
4 not be met. Science says 60 percent is required
5 to meet the salmon doubling goal.

6 Board-mandated, non-flow measures to
7 compensate for flow reductions are necessary, as
8 well, for the restoration in salmon and
9 steelhead. Thank you very much.

10 CHAIR MARCUS: Thank you, sir.

11 (Applause.)

12 CHAIR MARCUS: The flavor of what we
13 heard in some of our other hearings.

14 I have an elected who's come, Alan
15 Peterson, Superintendent, Merced Union High
16 School District. Do you -- thank you, sir,
17 appreciate that.

18 Hello, Mr. Aguilera.

19 MR. AGUILERA: Hi, Board Members,
20 audience. My name is Fernando Aguilera, and I'm
21 the President of Merced Soccer Academy, Merced
22 Atlas. Having been a resident of Merced for over
23 35 years, and a volunteer coach for 20 years, I'm
24 also a downtown small business owner.

25 During this time, as volunteer coach with

1 kids from 5 to 18 years old, we have had a dream
2 of building a soccer complex, like other cities.
3 And to now, we have not been able to do. And
4 with what you are proposing, it will be harder.

5 I want to make sure you understand that
6 those over 800 signatures I delivered to you, in
7 Sacramento, are an example of some of the
8 hardworking people of Merced County. I am here,
9 today, to again let you know that the 4,500
10 parents, soccer players, and families in the
11 Soccer Academy Merced Atlas are against your
12 proposed plan. Most of those families work all
13 day and are not able to come here today.

14 You make decisions without taking us
15 account. We are here, today, because we do
16 count. And your proposal is going to impact us a
17 lot. Our trees right now are dying, and many
18 other living things are being affected by the
19 lack of water. Thousands of trees have died.
20 They continue to die because there is not enough
21 water right now in our community.

22 So, you are directly affecting the
23 standard of living of our community with this
24 proposal. In essence, what you are doing is
25 taking from Peter to pay Paul. Taking water

1 from our community to pay to other communities.

2 In the long run, you are adding to the problem.

3 Therefore, I am asking you to reconsider

4 your proposal and find other ways that will not

5 damage the future of our youth. You might even

6 consider the MID SAFE Plan.

7 Thank you for allowing me to speak.

8 CHAIR MARCUS: Thank you.

9 (Applause.)

10 CHAIR MARCUS: Thank you for the

11 students.

12 Mr. Hart, followed by Steve Berchard

13 [sic], followed by Luke Miller.

14 All right, do we have Mr. Hart? Mr.

15 Berchard [sic]? Great. Oh, Bertram, sorry.

16 Well, I just was thinking about the last, the

17 earlier speaker.

18 MR. BERTRAM: Okay. Just a couple of

19 things that I wanted to say.

20 CHAIR MARCUS: Great.

21 MR. BERTRAM: I'm a small, family farmer

22 from the town of --

23 CHAIR MARCUS: Oh, move it closer.

24 MR. BERTRAM: I'm a small farmer from the

25 Town of Firebaugh. Family farm, second

1 generation going on, now. But when you look at
2 it and the problems that you guys have to deal
3 with, there's a question to me as to why their
4 ammonia, by all the cities, counties, sewage
5 departments around the Delta and the rivers.
6 You're looking at tens of thousands of tons per
7 day.

8 CHAIR MARCUS: Yeah, those are being
9 updated. Particularly, we did a decision, what,
10 almost two years ago, and Sacramento is upgrading
11 theirs, and they were absolutely the largest.
12 So, that's in process. That's a good point.

13 MR. BERTRAM: Sacramento, as of this
14 month, is still at 10. According to Costa
15 they're fining them. We're not doing anything
16 with that.

17 CHAIR MARCUS: No, they're upgrading
18 right now, but it will take a while, but it's in
19 process.

20 MR. BERTRAM: Yeah, they've gotten years
21 to do it. Farmers are given two years, three
22 years, tops, before we have to change our
23 tractors, before we have to update our equipment,
24 change the closed systems to keep the County
25 happy. We don't get that.

1 You have one of them, you've caught,
2 you've caught Sacramento. There's still 299
3 others that are still untouched.

4 CHAIR MARCUS: Uh-hum.

5 MR. BERTRAM: Why can't we get something
6 -- you guys have contact with your Legislators.
7 Why not contact them and have them start working
8 on that, instead of working on the farmer that's
9 trying to make a buck.

10 Thank you.

11 CHAIR MARCUS: Thank you.

12 (Applause.)

13 CHAIR MARCUS: No, ammonia is a big deal.

14 Dr. Miller, followed by Ms. Shamblin,
15 followed by Mr. Peterson.

16 DR. MILLER: My name is Dr. Luke Miller.
17 I manage dairy in Northern Merced County, by
18 Hilmar. Economics covered. Groundwater covered.
19 In your own document.

20 CHAIR MARCUS: Uh-hum.

21 DR. MILLER: Science, you used closed-
22 door, nontransparent studies. You didn't allow
23 any input from the agencies that have been doing
24 the studies on these rivers for over a hundred
25 years, managing these rivers, and those were not

1 allowed for input.

2 I don't understand why no one, who's been
3 running a river for a hundred years, and have
4 kept it alive, shouldn't be allowed to have --
5 they have their say, but hasn't been involved in
6 the whole SED process.

7 One of your points is you said your
8 number one priority is a stable, viable water
9 source for California. How is two out of three
10 years, with a zero inch allotment, considered a
11 stable water source for California? And that's
12 what we would have had, as a TID District member,
13 is zero allotment in 2014 and 2015. We could not
14 continue. If we did, we're back to the
15 groundwater issue, again. We don't have enough
16 wells to do that on our 700 acres. And I know
17 the majority of the people that I deal with on a
18 daily basis, as peers, do also not have enough
19 wells to cover their ground. That means TID has
20 to pump and that really sucks the groundwater out
21 of the ground, and we're back to light wells.

22 You will have your names attached to this
23 SED. You will have your names go down in a
24 legacy as possibly helping along the ruination of
25 ag this year, in California, if this is allowed

1 to continue. This is an economic decision, as
2 well as an agricultural decision.

3 And you talk about listening. But I went
4 to meetings four years ago in Stockton, and I
5 spoke at those meetings, and I spoke in front of
6 your experts at that time, of flawed science, of
7 the items that were brought to me at that time.
8 And everybody said, gave back answers about
9 vague, scientific answers. And they gave
10 reference to poorly cited scientific procedures
11 and scientific results, as well.

12 What did you do for the last four years?
13 You were tasked to go back, by the people that
14 you sat in front of last time, to come back with
15 an arrangement that was more manageable, more
16 livable, and better. You returned four years
17 later with a 15 percent increase over what you
18 had come with the last time. That's
19 irresponsible.

20 I'm so disappointed in the politicians
21 that we've seen come up here today, that not one
22 of them held anybody up there accountable. And
23 all they want to do is work forward, and try to
24 manage and disaster manage what's going on, now.
25 Not one of them said, what did you do with our

1 tax dollars for the last four years, to make a
2 document that's worse than what it was?

3 CHAIR MARCUS: To be fair, there are a
4 lot of improvements in the document. Maybe not
5 enough. We looked at what everybody submitted,
6 we'll see. We're now here, hearing. But staff
7 has not been working on it four years straight.
8 We all have been consumed with the worst drought
9 in modern history, and it was all the same
10 people. And we finally got staffing to be able
11 to continue this process.

12 So, if staff didn't get it right, if
13 stuff was submitted that was ignored, that's
14 important to tell us and we'll -- we're back at
15 it. It's an interruption, not four years' worth
16 of work.

17 DR. MILLER: I think we've heard that
18 there are several flaws in the science and people
19 have mentioned that. That's why I'm not going
20 down that road at all. This is merely someone
21 who was in front of you before, watched this go
22 away, watched it come back. And the groundswell
23 that you're seeing now is far greater than the
24 groundswell you saw four years ago. Because the
25 detrimental aspect of this new document is so

1 much greater than it was four years ago. Thank
2 you.

3 CHAIR MARCUS: Thank you.

4 (Applause.)

5 CHAIR MARCUS: Ms. Shamblin. And, now,
6 Superintendent Peterson. Thank you for your --

7 MR. PETERSON: Thank you, Madam Chairman
8 and Board. I've been a Merced County educator
9 for 24 years. I am a fourth generation farmer in
10 this County. My grandfather came to Hilmar and
11 started a dairy in 1905.

12 You've heard a lot of frustration in the
13 room today, and I guess that's what I would like
14 to express to you. The economic impact on our
15 County, on our students, on our schools, after
16 we've come out of this great recession, which has
17 taken all the last six to eight years to recover
18 from.

19 I'm thankful for the process our State
20 put in place on the education side. The LCAP
21 process, and local control, community input, that
22 builds trust. That's what we need in this room,
23 today.

24 And it's up to you, as leaders. Because
25 as leaders, our decisions matter. And the

1 process that you create, whether or not you reach
2 out to our local Legislators, whether or not you
3 reach out to our irrigation district leaders to
4 come up with a proposal that will work for
5 everybody, I really implore you to do that.

6 But thank you for being here today.

7 CHAIR MARCUS: Thank you, very much.
8 That's what we've asked for but unclear whether
9 that's been heard.

10 (Applause.)

11 CHAIR MARCUS: Thank you very much.
12 We'll now move, briefly -- Tim, if you don't
13 mind, Spreck is just ten minutes, so can I just
14 take -- is that all right? Great.

15 Spreck Rosecrans, from Restore Hetch
16 Hetchy, ten minutes. And then, we'll go back to
17 a few more cards before we come back to Mr.
18 O'Laughlin.

19 MR. ROSECRANS: Thank you very much, it's
20 a pleasure to be here. I'm Spreck Rosecrans,
21 from Restore Hetch Hetchy.

22 And our issues are upstream, but we do
23 have some relevant comments downstream. First,
24 let me say it's a pleasure to be here in Merced.
25 I'm not from here, I'm from the Bay Area. But it

1 was a few blocks from here where I began courting
2 my wife 36 years ago. Although, she didn't know
3 it at the time.

4 It's also ironic that we are also
5 downstream from probably the most famous mountain
6 valley in the world, Yosemite Valley, and
7 tomorrow you'll be in Modesto, downstream from
8 its sister valley, Hetch Hetchy Valley, which was
9 dammed and flooded a hundred years ago.

10 Our mission is to restore Hetch Hetchy
11 Valley and deal with the San Francisco water
12 system. We think we can do it without them
13 losing any one drop of water that they would be
14 taking from the Tuolumne, whatever comes out of
15 this process, and we hope to have the chance to
16 show that to you.

17 Hetch Hetchy Valley is just north of
18 Yosemite Valley, on the Tuolumne River, as I
19 said. It's the only time in American history
20 we've allowed one of our national parks to be so
21 destroyed. And, now, it's an important part of
22 San Francisco's water system. And we'd like to
23 show that they can get their full Tuolumne River
24 supply by diverting it further downstream, using
25 their other reservoirs and recharging groundwater

1 better.

2 But back to today. We support the State
3 Board in its very difficult and very challenging
4 effort to balance beneficial uses. We don't take
5 a clear position or a precise position on exactly
6 what that decision is, but we respect the Board,
7 and the staff, and the very difficult challenge
8 ahead.

9 We are very interested in the solution
10 and we believe that a solution, particularly on
11 the Tuolumne, in our case, might make it easier,
12 actually, for us to show that it's economically
13 in our interest to restore Hetch Hetchy Valley.

14 So, I'm going to basically focus on three
15 things right now. I'm going to show a little bit
16 of a different perspective on how the Tuolumne is
17 managed. I'm going to talk about some missed
18 opportunities of San Francisco, and its
19 customers, to develop local water supplies, and
20 just touch on that.

21 And then I'm going to talk, be a little
22 critical of what San Francisco said three years
23 ago. And I don't know what they're going to say
24 January 3rd, when you see them in Sacramento, or
25 what they're going to put in writing.

1 So, first of all, water rights on the
2 Tuolumne in wet years are almost evenly divided
3 between San Francisco and the Turlock and Modesto
4 Irrigation Districts. But in drought years,
5 almost all the water goes to the irrigation
6 districts.

7 Storage is also about evenly divided San
8 Francisco has Hetch Hetchy as well as Cherry and
9 Eleanor Reservoirs upstream. San Francisco has
10 about a third of the Don Pedro Reservoir
11 dedicated to a water bank. And Turlock and
12 Modesto are always very clear that it's water
13 pre-delivered to them, so it's really their
14 water. It's a complex issue, I won't get into
15 that anymore. I see it a little differently.
16 San Francisco did pay for half the cost of
17 constructing Don Pedro.

18 And then, if we just look at a couple of
19 year examples here, what happens between February
20 and June in terms of diversions. Some water is
21 diverted directly to cities and farms for
22 consumptive use. Other water's diverted to
23 storage.

24 Here's what happened with Turlock and
25 Modesto on the left, and San Francisco on the

1 right, in 1991. '92 was a different story. San
2 Francisco actually lost a little bit of storage.

3 In '93, if you look after the six-year
4 drought, San Francisco diverted almost a million
5 acre-feet of the river's flow into storage. So,
6 that's water that otherwise might have gone down
7 the Tuolumne, if you think about what the State
8 Board might be doing, in a year like 1993.

9 Again, '94 different story.

10 Moving on, and I am respectful of
11 everybody's time here. San Francisco, in the
12 last couple of years, actually have done some
13 good things locally with groundwater. They've
14 started -- they've reestablished their west basin
15 withdrawals annually, about 4,500 acre-feet.
16 That's something they were doing, actually, about
17 80 years ago, and that's a good thing. That
18 comes out every year and helps them with Golden
19 Gate Park, and not have to use Tuolumne River
20 water for that. So, kudos to San Francisco, they
21 did something right.

22 And, also, they've done a great thing
23 with essentially groundwater banking just south
24 of the City, in Colma and Millbrae, where they've
25 established another 62,000 acre-feet, basically,

1 of storage. Those people take surface water in
2 wet years and in dry years, everybody gets to
3 access that. So, those are positive things the
4 City has done.

5 Some of their customers, in particular,
6 have not done such things. I'm going to pick on
7 Palo Alto for a minute. Palo Alto, when they
8 started getting Tuolumne River water they said,
9 hey, this is great, we can shut down our wells.
10 We don't need to manage our groundwater anymore.
11 And that's right in there -- I guess it's the
12 2010 Urban Water Management Plan.

13 Hayward, the same thing. There's 21
14 other cities, some of them don't say it quite so
15 clearly, as blatantly as this. But I think if
16 you look, you would find, that once they started
17 getting that Tuolumne River Water they shut down
18 a lot of their efforts to retain their local
19 supplies.

20 And, now, they're kind of scrambling to
21 try and figure out how they can do better. But I
22 would recommend the Board put pressure on them to
23 do that.

24 Finally, when we did have the first part
25 of this year, three years ago, I sat stunned in

1 the boardroom, in Sacramento, when I heard San
2 Francisco's presentation. It was a hydrologic
3 presentation, done by -- oh, I'm sorry, Dan --
4 Dan somebody. And then, an economic presentation
5 by Dave Sunding. And it was a draft Brattle
6 Group Report. I don't think it's quite been
7 published.

8 But their estimates of impacts were
9 astronomical, way beyond the pale of anything
10 that I've heard in my almost 30 years of
11 involvement in California water issues. They
12 said that there could be economic impacts of \$49
13 billion per year, which broke down to about
14 \$415,000 an acre-foot of water.

15 And we wrote a detailed letter to the
16 State Board, at the time, and I don't anticipate
17 they'll come back with that sort of assertion on
18 January 3rd. I'm interested to see what they
19 will hear. But I would suggest that the State
20 Board look at whatever those assertions are very,
21 very carefully.

22 With that, I'll close. Thanks, Tim, for
23 letting me go first. And I appreciate your time.
24 Thank you.

25 CHAIR MARCUS: Thank you, very much,

1 appreciate it.

2 Question?

3 UNIDENTIFIED SPEAKER: It is your
4 anniversary, correct?

5 MR. ROSECRANS: Yeah, I am getting home.
6 This is my 34th anniversary. And my son and
7 four-month-old granddaughter are visiting from
8 New York City, so I get to go back and have
9 dinner with them, before they have to go back.
10 So, I appreciate it, thanks.

11 CHAIR MARCUS: Thank you.

12 I'm going to call 15 folks and see who's
13 still here. Hopefully, they are.

14 Greg Thompson, from Joseph Gallo Farms.
15 Followed by Brad Samuelson, from Bert Crane
16 Orchards. Followed by Mike Gallo, from Joseph
17 Gallo Farms. Craig Arnold, Arnold Farms. Tom
18 Roduner, Roduner Farms. George Park, Lone Tree
19 Mutual Water Company. Mike Plum, McClure Boat
20 Club. John Borba, Jr. Raul Diaz. Rod Webster,
21 Merced Group of the Sierra Club. Arlan Thomas.
22 Gloria Conlin. Tim O'Neill. Frenchy Meissonnier
23 or Meissonnier, depending on the pronunciation.
24 Allison Jeffery.

25 We'll see how many of you are still here

1 and we'll go on, if there are more.

2 Greg Thompson? Brad Samuelson?

3 MR. SAMUELSON: Members of the Board and
4 staff, welcome to Merced. Thank you for the
5 opportunity to provide comment on the Bay/Delta
6 Draft Revised Substitute Environmental Document.

7 My name is Brad Samuelson, and I'm a
8 farmer and environmental planner for Provost and
9 Pritchard Consulting Group.

10 My comments, today, are on behalf of Bert
11 Crane Orchards. The Crane family has farmed in
12 Merced County for seven generations, and were
13 some of the early pioneers that financed and
14 built the original Crocker Huffman
15 infrastructure. The eighth generation is in
16 their early twenties and are working on the farm,
17 and plan to pass the ranch to their children.

18 The Cranes are diversified, with crops
19 such as oats, walnuts, almonds, cotton, grapes,
20 as well as cattle. Their ranches are located
21 both within and outside the Merced Irrigation
22 District and have tens of millions of dollars of
23 investment.

24 Currently, my environmental planning
25 practice is consumed with helping Merced area

1 farmers comply with SGMA. I'm sure you know that
2 the end goal of SGMA is to achieve a groundwater
3 balance by 2040.

4 One thing you have not heard today is
5 that the Merced Subbasin currently operates at a
6 deficit of approximately 120,000 acre-feet per
7 year.

8 I can tell you that the vast majority of
9 farmers, including the Cranes, are taking SGMA
10 seriously and are hard at work planning, and
11 implementing conservation and recharge projects
12 to help achieve the groundwater balance.

13 Conservation, alone, won't solve our
14 groundwater pumping deficit. The agricultural
15 community and the municipalities will be relying
16 on the surface water provided by MID to both
17 offset groundwater pumping and recharge of the
18 aquifer.

19 The SED's analysis of groundwater impact
20 is severely flawed. The economic analysis within
21 the SED is also grossly flawed. The analysis
22 makes minimal mention of those hit the hardest,
23 our disadvantaged communities.

24 Now, I say this without trying to sound
25 dramatic, or be dramatic, but it is absolutely

1 true, from someone who was born and raised in
2 this community. The SED will cause children to
3 go hungry. It's that simple. If you go into our
4 rural communities, these are people who are
5 living on the edge.

6 Remember that the pioneers built our
7 system, with the State's encouragement, and in
8 full compliance with the laws and regulations at
9 that time. Our livelihood and our children are
10 more important. I'm going to grossly overstate
11 and go ten times the number, 10,000 salmon
12 predicted with the SED's flawed model.

13 The Crane Family supports the Merced SAFE
14 Plan. The Merced SAFE Plan is comprehensive.
15 Actually, I'll skip all this because you guys
16 know about the SAFE Plan.

17 CHAIR MARCUS: Yeah, if you don't mind,
18 because you're out of time to --

19 MR. SAMUELSON: I will. All right, well,
20 I've been here since eight o'clock this morning,
21 right.

22 CHAIR MARCUS: I know.

23 MR. SAMUELSON: All right. Well, I would
24 tell you that we would encourage settlement, with
25 no more downstream flows than the final FERC EIR.

1 Thank you.

2 CHAIR MARCUS: Thank you, sir.

3 (Applause.)

4 CHAIR MARCUS: Mr. Gallo, followed by Mr.
5 Arnold. Followed by Mr. Roduner.

6 Mr. Gallo? No.

7 Mr. Arnold?

8 Mr. Roduner?

9 MR. RODUNER: Thank you, good afternoon.
10 I'm just going to read this.

11 CHAIR MARCUS: Sure.

12 MR. RODUNER: I'm against a State Water
13 Resources Control Board that will increase the
14 flows to the Delta. This plan will have negative
15 impacts on the entire San Joaquin Valley. It
16 will lead to thousands of acres of productive
17 farmland, which will be fallowed. Which, in
18 turn, can lead to greater soil erosion and the
19 reduction of air quality in the Valley.

20 This plan will greatly reduce the
21 thousands of acres of wetlands and the wildlife
22 habitat that they provide, all through the use of
23 surface water. This includes both National and
24 State Wildlife Refuges, many conservation
25 easements that are currently in place, as well as

1 many private duck clubs in the area.

2 I do not believe your Board and staff
3 have taken the realistic view of my concerns
4 because there has been no mention of them in any
5 of the documents that I've seen, or comments in
6 the previous meetings.

7 There will never be enough water until
8 you fix the real problem of not enough storage in
9 the State, and for all the parties that are
10 concerned. Thank you.

11 CHAIR MARCUS: Thank you, very much.

12 (Applause.)

13 CHAIR MARCUS: Mr. Park. Great.

14 MR. PARK: Good afternoon, Madam Chair
15 and Board Members. My name's George Park. I'm
16 the Manager of the Lone Tree Mutual Water
17 Company. We are managing 12,000 acres of
18 irrigated land on the southwest corner of the
19 Merced Subbasin, which we are adjoining to the El
20 Nido Division of the Merced Irrigation District.

21 Most of what I'm going to say has already
22 been said, but I want to emphasize some issues.
23 Mainly, that the unimpaired flows will seriously
24 reduce the groundwater recharge, both within the
25 Merced Irrigation District and the surrounding

1 areas of the Merced Subbasin.

2 These reduced surface water deliveries to
3 the District landowners will result in greater
4 groundwater draw down, both within and outside of
5 the District. The lack of recharge and that
6 subsequent draw down in groundwater levels will
7 threaten the domestic water supply and quality to
8 the El Nido community, and all the other
9 unincorporated communities in the Merced
10 Subbasin, which rely on individual domestic water
11 wells.

12 It will also affect the municipalities'
13 and other community water districts' quality and
14 quantity of water derived from groundwater wells.

15 The SED states that it anticipates an
16 average increase of 105,000 acre-feet of
17 groundwater pumping as a substitute for the
18 increase in unimpaired flows. Yet, at the same
19 time, the State mandate's groundwater
20 sustainability be achieved.

21 And I believe that your Board is the
22 enforcers for if it's deemed to have failed.

23 The loss of recharge will significantly
24 impact the Merced Subbasin's attempt to meet the
25 requirements of SGMA to develop a workable GSP

1 that will not require a massive fallowing of
2 farmland, and the resulting economic damage to
3 the local economy.

4 This economic damage will be widespread
5 and be felt throughout the subbasin. A damaged
6 economy will also be reflected in greater damage
7 to the social fabric of the communities in this
8 area.

9 Lastly, the State Water Board should take
10 attempts to improve salmon populations by
11 encouraging cooperative partnerships, like the
12 Merced SAFE Plan, rather than taking actions that
13 leave much actual harm in their path, while
14 gambling on results. Thank you.

15 CHAIR MARCUS: Thank you, very much.

16 (Applause.)

17 CHAIR MARCUS: Mr. Plum?

18 MR. PLUM: Good afternoon.

19 CHAIR MARCUS: Good afternoon.

20 MR. PLUM: I'm Mike Plum and I represent
21 the McClure Boat Club.

22 CHAIR MARCUS: Great.

23 MR. PLUM: Which is a community of 63
24 people on the shores of Lake McClure. The
25 residents of the community are predominantly

1 retired, and the age ranges all the way up to 97
2 years old. The Club operates a State-licensed
3 water treatment facility, and the lake is our
4 sole source of water.

5 The drought causes us to look for
6 alternative sources and there are none. We live
7 on a rock and a well is infeasible.

8 A press release in September made claims
9 that the Plan would provide protection for
10 drinking water, for irrigation water, and for the
11 fisheries.

12 I'm here to tell you that none of those
13 protections are provided. The Plan will cause
14 permanent drought conditions on the Lake. Those
15 conditions are such that the Lake will be
16 significantly lower. With that low water level,
17 the Lake will fluctuate more frequently. This
18 leads to a couple of nasty problems. The
19 turbidity rises significantly, the temperature
20 rises significantly, and with that temperature
21 rise the algae blooms get out of control.

22 So, we're talking about a storage
23 facility, and the quality of the water that we're
24 putting into the rivers is degrading
25 tremendously.

1 So, these increase in turbidity and algae
2 greatly complicate the process of producing
3 drinking water. And even when properly treated,
4 our water takes on a swamp-like quality. This is
5 in a million acre-foot storage facility. Think
6 about what it does downstream.

7 So, also, our water treatment costs grow
8 tremendously with the algae and turbidity. This
9 is a big hardship, financially, on such a small
10 community. The hardship was recognized by the
11 State Water Control Board during the drought, and
12 we were awarded a grant to deal with these
13 problems that are going to be inflicted on us
14 full-time. We can't afford to live in that
15 situation. Is the Water Control Board willing to
16 finance, you know, fund us permanently?

17 The increased temperatures to the Lake
18 hurt the local fish population. You know, too
19 little has been said about what happens with the
20 Lakes in this scenario. The Chinook may benefit,
21 but the steelhead don't. And, clearly, the Lake
22 fish don't.

23 The plans, with the Lake levels dropping,
24 really minimize accessibility of the Lake. That
25 tremendously hurts camping. It tremendously

1 hurts many water sports. There are many boat
2 manufacturers in the Valley, and less water means
3 less boats, means less jobs.

4 There's alternatives. The SAFE Plan,
5 good start. Incomplete, though. Water flows
6 don't fix everything. Infinite water flows
7 wouldn't fix this problem. So, any plan needs to
8 be far more complete, has to take into account
9 more tributaries, needs flow rates specific to
10 each tributary, and it needs to be far more
11 rounded.

12 In conclusion, the Plan fails to deliver
13 the stated protections. I implore you to honor
14 those claimed protections and come forth with a
15 plan that provides protections for our drinking
16 water, for our irrigation, for our fisheries and,
17 most importantly, for the people.

18 Thanks for this opportunity to speak
19 today.

20 CHAIR MARCUS: Thank you, sir. And I let
21 you go a little longer because we hadn't spent as
22 much time on the Lake --

23 (Applause.)

24 CHAIR MARCUS: -- today, and I know we
25 need to understand the interplay of the Lake, and

1 everything around it. We've danced into and out
2 of it during emergencies. You shouldn't do it
3 right now, because there are a lot of people.
4 But, hopefully, you'll submit a lot of that.

5 MR. PLUM: The Lake is, and all the
6 lakes, are very unrepresented in this plan.

7 CHAIR MARCUS: All right, thank you.

8 Mr. Borba, Jr.? Good. Followed by Mr.
9 Dias, Mr. Webster, Mr. Thomas, Ms. Conlin, Mr.
10 O'Neill, Frenchy Meissonnier, and Ms. Jeffery.

11 Sir?

12 MR. BORBA: I'm John Borba, grower and
13 cattleman. I have used Merced River water for 66
14 years. I'm going to cut this down. Exchequer
15 Dam, our containment and river rights are pre-
16 1914, and in accordance with the law of the land.
17 You have suggested water increases for southern
18 Delta to improve quality. Well, a water flows
19 across our watershed and down our river, it
20 accumulates salt. Thereby, more water provides
21 more salt and the salt concentration index
22 remains the same.

23 MID constructed and paid for Exchequer
24 Dam containment. If Exchequer Dam were
25 constructed today, the costs would be one and a

1 quarter billion dollars.

2 We have a cattle ranch, which is also a
3 private fish and wildlife reserve, with no
4 fishing or hunting allowed. I have seen two-
5 thirds of this ranch three feet deep in water,
6 and the large creek within overflow waste deep
7 for 2,000 feet.

8 The creek, for 80 years, has always had
9 water at lease six-foot deep. In the last three
10 years, this water has dried up intermittently,
11 but it's a cycle. And it will return to
12 abundance. You must be patient, as we are.

13 MID irrigating a hundred thousand acres,
14 also influences with underground recharge,
15 another 400,000 acres. One-half million acres,
16 with a crop value of three-quarters of a billion
17 dollars. To do this, we need all inputs we now
18 have, land mass, climate, infrastructure,
19 manpower, and most of all water.

20 The most efficient, effective, sensible,
21 compatible and decent method of enhancing the
22 life of the fish would be the Merced River SAFE
23 Plan. Thank you.

24 CHAIR MARCUS: Thank you.

25 (Applause.)

1 CHAIR MARCUS: Mr. Diaz?

2 Mr. Webster?

3 Mr. Thomas?

4 Ms. Conlin?

5 Mr. O'Neill?

6 Mr. Meissonnier? Tell me if I've
7 pronounced that correctly?

8 MR. MEISSONNIER: Very close, Ma'am. In
9 English, Meissonnier. In French, Meissonnier.

10 CHAIR MARCUS: Meissonnier, thank you.
11 I don't know French, but it sounds great.

12 MR. MEISSONNIER: I like the French
13 better, but no one else could pronounce it that
14 way.

15 My name is Frenchy Meissonnier. I'm a
16 third generation rights farmer in Merced,
17 California. My grandfather and his brother came
18 here from France, and bought land in Merced, in
19 1897. My grandfather was the first man to grow
20 rice in Merced County.

21 I'm able to farm rice because of the
22 Merced Irrigation District and the water that is
23 stored in Lake McClure. I do not pump
24 groundwater. So, without this stored water from
25 the Lake, I would be out of business.

1 You have heard and will hear more about
2 all of the crops that are grown here. Some of
3 these crops are grown nowhere else in the world,
4 or only a small amount in other places.
5 Therefore, I will not belabor that point.

6 Instead, I would like to talk to you
7 about what I call the untold hidden benefits. I
8 would address three points, economic, recreation,
9 and environmental.

10 Of course, you're aware of the obvious
11 economic benefits of farming, but you probably do
12 not notice the hidden benefits. Every year,
13 thousands of people come here to hunt and fish on
14 private farmland. This farmland is here and
15 productive because of the water supplied by
16 Merced Irrigation District, and the water that is
17 stored in Lake McClure.

18 The people that come here also buy here,
19 and support local businesses. They buy gas, they
20 buy food, they stay in motels. I have a friend
21 that comes here from Oakland, California, and
22 comes here at least twice a month in the summer
23 to fish for crawdad. You may know crawdads by
24 other names, such as crayfish, crawfish, or
25 little lobsters.

1 Of course, when my friend comes here, he
2 spends money here. He loves to fish for crawdads
3 and eat them. However, other people catch them
4 to use for fish bait.

5 I have a man that comes here from Los
6 Angeles to trap crawdads and sell them for bait.
7 In some lakes, you cannot use minnows, but you
8 can use crawdads. He sells his mostly to Pyramid
9 Lake. Think of how much money he spends here. I
10 also have lots of local people that come and
11 catch crawdads to fish for bass in the Merced
12 River.

13 Just think, a crawdad that was caught in
14 my rice field goes to catch a bass, which is the
15 largest predator of trout, steelhead, and salmon.
16 Because of my rice farm, that I would not have
17 without stored water, more salmon will live and
18 return to the ocean, and then return here to
19 complete their lifecycle.

20 We also provide habitat for a large array
21 of birds and mammals. No one thinks much of
22 mice, gophers or other rodents. However, these
23 rodents, that are abundant in farm ground, are a
24 critical part of our ecosystem. The Red-tailed
25 Hawk, the fox, the coyote, are just a few of a

1 very large group that need rodents to survive.

2 A study by the California Rice Commission
3 found that rice fields are home to 230 wildlife
4 species, and we provide nearly 60 percent of the
5 food for millions of ducks and geese.

6 We are farming next to the National
7 Wildlife Refuge. The Refuge does not have enough
8 land or food for the birds, so the birds move
9 onto private farmland. That land is made
10 possible because of the stored water in Lake
11 McClure.

12 During the drought, when there was not
13 enough water to farm, the birds were forced to
14 crowd together in the Refuge. This caused a
15 large outbreak of disease because of
16 overcrowding.

17 However, now you can see them flying in
18 my rice fields early in the morning. They stay
19 and eat all day, and they fly out in the evening.

20 If we are forced into another drought
21 because the water cannot be stored in the Lake,
22 but instead flows out to the ocean, where it
23 serves no purpose, the birds and the people will
24 suffer.

25 The Merced Rice Farmers have also

1 partnered with the Nature Conservancy to provide
2 critical habitat and nesting area for shore
3 birds. We re-flood our rice fields after the
4 rice has been harvested, and allow water to stay
5 there all winter. This re-flood water is made
6 possible because of the water from Merced
7 Irrigation District. If our water is not stored
8 properly and, instead, allowed to flow
9 unimpaired, none of the benefits I have listed
10 here would be realized.

11 Remember that every man, woman, and
12 child, regardless of how much money or power they
13 have, still eat three times a day. Please do not
14 take away our ability to feed this great nation
15 and the world. Thank you.

16 CHAIR MARCUS: Thank you, sir.

17 (Applause.)

18 CHAIR MARCUS: Ms. Jeffery?

19 MS. JEFFERY: Good afternoon. My name is
20 Allison Jeffery. And like a lot of the people
21 here, I wear many hats. That's not actually
22 uncommon in small towns, like ours. And I have
23 come from a family where my father was ditch
24 tender in both Stanislaus and Merced County, for
25 several years, and my grandfather is a rancher.

1 But today, I'm actually here on behalf of
2 the Community Health Centers within our area. I
3 do work for a local Community Health Center,
4 which sees about 18,000 patients a year. Sixty
5 percent of our patient base is agriculturally-
6 based. People who report, through self-
7 reporting, that they work in the agricultural
8 field.

9 Removing Valley water does not only
10 affect the farm economy, but also the health
11 economy of our area. Those families rely on work
12 availability within the field system in order to
13 go back to local businesses and spend money. By
14 changing the economy, by changing the water flow,
15 you will see the same effects that we had during
16 the drought. Families relying on an increased
17 amount of Medi-Cal, food subsidy programs,
18 drought relief boxes, and other programs to allow
19 them to sustain life.

20 Our Health Clinic is in a small town that
21 is supported, mostly, through local businesses.
22 All of which are primarily agricultural based.
23 Those local businesses also support our schools,
24 our nonprofit organizations, our community
25 organizations, and each other. Their hard work

1 ethic and sense of community responsibility often
2 reflects itself in the town around us.

3 We are here, today, to urge you to not
4 only look at water rights and water needs for
5 salmon, but also to look at the health risks and
6 public health needs that could come across, not
7 only from bad drinking water, but also from a
8 reduction in economy and available jobs in an
9 area where the economy and available jobs are
10 already limited. Thank you.

11 CHAIR MARCUS: Thank you, very much.

12 (Applause.)

13 CHAIR MARCUS: All right. It's 4:21 and
14 I think we should take at least a 10-minute
15 break. Is that all right with you, if we just do
16 10? I know, I'm brutal. I apologize. We'll
17 take a 10-minute break and then we'll come back
18 with Mr. O'Laughlin's presentation, and then
19 we'll resume the public comment.

20 (Off the record at 4:21 p.m.)

21 (On the record at 4:34 p.m.)

22 CHAIR MARCUS: Tim was going to try and
23 go quickly, but I'm sure it will be intensely
24 valuable.

25 (Laughter.)

1 MR. O'LAUGHLIN: Intensely.

2 CHAIR MARCUS: And, Tim, I appreciate you
3 -- I don't know if you asked for this time. I
4 appreciate you coming here since tomorrow has so
5 many panels, I'm not entirely sure how we're
6 going to juggle panels and people tomorrow, given
7 the sheer numbers that we've gotten.

8 MR. O'LAUGHLIN: Does my PowerPoint show
9 up on this thing?

10 CHAIR MARCUS: It should, soon, as
11 opposed to looking at me.

12 MR. O'LAUGHLIN: Oh, there we go.

13 CHAIR MARCUS: Excellent, thank you.

14 MR. O'LAUGHLIN: Thank you. Tim
15 O'Laughlin, representing the San Joaquin
16 Tributaries Authority. I was going to have a
17 panel today, but given the time constraints, so
18 we lowered it down and you're stuck with me. A
19 pleasure to be back in front of you, again, on
20 this issue that we've been talking about since
21 2006, and that I've been working on since 1988.

22 I want to talk about two issues. The
23 first one is what the project is and what the
24 project isn't. And then, I want to talk about
25 fish, briefly.

1 And I think the important take home
2 message, if I could, from my presentation today,
3 is the communication that has been occurring in
4 this process so far. We seem to be passing, like
5 ships in the night, and we're not communicating
6 clearly and concisely to each other. And until
7 we can communicate clearly and concisely with
8 each other, and get on at least the same page,
9 it's going to be very difficult to move this
10 process forward, either in this regulatory
11 process, or in a settlement process.

12 So, I have two examples that I wanted to
13 bring up, briefly. So, the first one is the
14 Plan. The Water Quality Control Plan that you've
15 put forth has, on Table 3, objectives for fish
16 and wildlife. It's 30 percent to 50 percent,
17 7-day running average, February through June, and
18 800 to 1,200 CFS of Vernalis February through
19 June.

20 You then also have a new narrative
21 objective. This is in addition to the doubling
22 objective that you have in your plan, already,
23 that talks about moving fish through what I call
24 the migration corridor, from the tributaries
25 through the Delta.

1 And the problem here, that I'm having,
2 and that my clients are having, is we are
3 looking, and trying to understand what the
4 impacts of the Plan are. Because the Plan is
5 only those three components. I know there's a
6 doubling goal, but I'm assuming that the doubling
7 goal is either subsuming these other ones, or is
8 assumed in these other ones.

9 And what's happened is the SED is silent.
10 There is no analysis of 30 to 50 percent UIF in
11 the SED. And at a CEQA project level, you have
12 to begin with what your project is.

13 CHAIR MARCUS: But it's a programmatic.

14 MR. O'LAUGHLIN: Even if it's a
15 programmatic project.

16 CHAIR MARCUS: Okay.

17 MR. O'LAUGHLIN: Your component here,
18 when you go and get this adopted, and it goes in
19 front of the APA people, you have three
20 components. You have the unimpaired flow, the
21 minimum flow, and the new narrative. That's what
22 you have. And those are the regulatory
23 objectives that we will be required to meet.

24 So, what's happened here is, in the
25 analysis it talks about more constraints are

1 needed to assure feasibility that reservoirs are
2 not drained entirely, carryover storage was done.
3 And if you look at those first couple bullet
4 points, which go along with your Delta Flow
5 Criteria Report from 2010, the project, as
6 proposed, recognized that there were going to be
7 immediate impacts to storage and water
8 temperature.

9 Now, what's interesting is there's
10 nowhere, in your environmental document, that
11 you've set out showing those impacts to
12 reservoir, storage and water temperature. So,
13 think about it. You've already made the jump in
14 the analysis.

15 So, what happened here, as far as I can
16 tell, is that in the Delta Flow Criteria Report
17 from 2010, it recognized that more water was
18 going to be made available, mass balance of water
19 has to come from somewhere. So, if it comes out
20 of storage, water temperatures would elevate.

21 So, what was modeled in the SED was how
22 it might happen, but not how it will happen. And
23 the problem with that is that you have a modeling
24 result, on paper, of a snapshot of what might
25 happen in a program of implementation at a later

1 date and time. But you haven't disclosed to the
2 public what the actual project is.

3 So, in this scenario, what happens is
4 that the Plan is on the left-hand side, very
5 straight forward. What the Plan isn't, it's not
6 a block of water or a budget of water. I've
7 heard that numerous times in these proceedings,
8 and before, from staff members, and it drives me
9 crazy.

10 Because if you go back to Table 3, it
11 doesn't say block of water. It doesn't say
12 budget of water. It says 40 percent unimpaired
13 flow -- well, it says 30 to 50 percent unimpaired
14 flow, 7-day minimum average. So, literally,
15 every seven days we will be releasing 30 to 50
16 percent water on a particular river, at a
17 particular time.

18 That is what the State Water Resources
19 Control Board cases required.

20 So, when Robie -- Mr. Cliff Lee, you can
21 talk to your attorney about this. When Cliff and
22 I did this case, coming out of the 1995 Water
23 Quality Control Plan, we got in this huge
24 discussion because the San Joaquin River
25 Agreement flows were not the same as the 1995

1 Water Quality Control Plan flows.

2 So, I told Cliff, the Board had to make a
3 finding of equivalency. Mr. Lee had other ideas
4 about how the Board would structure its argument.

5 But what was funny was, whether it was
6 his way or my way, the response from Judge Robie
7 was very clear. No, when the State Board adopted
8 the 1995 Water Quality Control Plan, and the
9 flows set forth therein, those are the flows that
10 will be required to be met. Nothing else, and
11 nothing more.

12 So, one of the problems I'm having --

13 CHAIR MARCUS: But just, I don't mean to
14 interrupt you.

15 MR. O'LAUGHLIN: No, you can interrupt.

16 CHAIR MARCUS: Isn't that because that's
17 the way the Water Quality Control Plan was
18 written? I may be -- I think the attempt here,
19 at least, was to create the flexibility to get
20 people to work together, to use each molecule of
21 water in the most efficient way possible. Are
22 you saying that's impossible to do in a Water
23 Quality Control Plan?

24 MR. O'LAUGHLIN: I'm not saying it's
25 impossible to do in a Water Quality Control Plan.

1 But currently, as written in your water quality
2 objectives, it is, because your objectives don't
3 say that.

4 CHAIR MARCUS: Okay,

5 MR. O'LAUGHLIN: Your objectives don't
6 say 30 to 50 percent unimpaired flow, block of
7 water that will equal X in certain year types. It
8 doesn't talk about carryover storage. It doesn't
9 talk about refill. It doesn't talk about -- and
10 this is a weird one. It doesn't talk about water
11 temperature objectives.

12 And one of the things that's very
13 fascinating to me, I think, is the last one, and
14 my associate told me I should change this slide.
15 The current requirements on the rivers are set.
16 And your plan builds on those.

17 Now, leaving aside the operational
18 problems about trying to figure out whether OCAP
19 Table 2e flows should go down the river in
20 February, or whether the unimpaired flows should
21 go down in February, the problem is this. You
22 have this disconnect where you take flows, at 40
23 percent, and then if there's not enough quantity
24 of water based on perfect modeling, that's in
25 your model, then what happens is you default to

1 these OCAP Table 2e flows or FERC flows.

2 Well, think about this. We're all semi-
3 logical people. It's February 15th, it rained
4 the first of the month, got a fairly decent flow,
5 and you're running along at this 40 percent and
6 you're thinking, huh, things are pretty good. It
7 turns dry. Now, all of the sudden, the 40
8 percent starts to drop. And you're thinking,
9 well, this may be less than the FERC flows, what
10 do we do?

11 Well, your modeling, which is perfect,
12 because it's in hindsight, would tell you what to
13 do. But, what are you going to do?

14 And then, the other disconnect is it's
15 based on a premise, and this goes back to the
16 Water Quality Control Plan, as well, which is
17 you're relying on other regulatory processes to
18 support your Water Quality Control Plan.

19 So, right now, the OCAP Table 2e flows
20 are going to be under reconsideration in the re-
21 consultation process. So, what happens if you
22 believe you're getting the -- oh, busted.

23 CHAIR MARCUS: That was great.

24 MR. O'LAUGHLIN: Oh, just busted. That
25 was great, that was great.

1 CHAIR MARCUS: Sorry. Tim's going to
2 tell on her because she is the queen of scalding,
3 withering glances, when you're phone makes a
4 noise.

5 MR. O'LAUGHLIN: I get a free hall pass
6 at WaterFix next month.

7 Okay. So, the point being here is that
8 under the OCAP BO, Table 2e flows are under the
9 FERC flows, and those change, you're Water
10 Quality Control Plan has relied on those flows,
11 and those flows are no longer there, are you
12 providing the reasonable protection for the
13 beneficial uses that you've set out.

14 So, I think it's very important, as we go
15 forward -- and I'm going to run through these
16 other slides pretty quickly here, for the next
17 couple of seconds.

18 So, you've seen this slide. It was shown
19 to you in Stockton. But I want to show it again,
20 very quickly, and get to the point.

21 CHAIR MARCUS: No, that's fine.

22 MR. O'LAUGHLIN: This is current New
23 Melones storage, end of month September, and the
24 current is D-1641. RPA flows, which are Table
25 2e, dissolved oxygen.

1 Now, we have similar runs on the Tuolumne
2 and the Merced. I'm not going to regurgitate
3 those. So, this is what it looks like today.
4 So, if this is the hydrology over the 82 years,
5 and if we had this program, this is what the
6 storage would look like.

7 This is what storage looks like under
8 your proposed WSE model. So, what you did was
9 you took refill, you took carryover storage, you
10 sent 40 percent unimpaired flow down the river,
11 and this is what your modeling results show. And
12 you never go below 700,000 acre-feet.

13 So, this is what I was talking about
14 earlier. This is 40 percent. We ran it exactly
15 as you ran it, with one small difference. No
16 carryover storage, no refill, no flow shifting.
17 We kept CVP, Oakdale, South San Joaquin, and we
18 met DO. And as you'll see, in this document,
19 when Les was talking the other day about this,
20 this will drain the reservoirs.

21 So, the question is, if the project is
22 going to drain the reservoir, the objectives are
23 going to drain the reservoir, how is it, then,
24 that you go from that project to something else,
25 and what is your legal authority and basis for

1 going to something else in what -- you've
2 basically put everything in your plan of
3 implementation, and you're hoping that when you
4 get around to your plan of implementation that
5 you have the legal authority and capability,
6 through water rights, or other methodologies, to
7 do this.

8 And I'll just give you an example, on the
9 Stanislaus. You would be telling, under your
10 refill and carryover storage requirements, you'd
11 be telling the senior water rights holders on the
12 river, Oakdale and South San Joaquin, to put
13 water into a junior water right holder's
14 facility, a Federal facility, and that water
15 would be used to meet CVP project purposes, under
16 your modeling.

17 So, what would happen is Oakdale and San
18 Joaquin dump, in some years, up to 300,000 acre-
19 feet into the reservoir to maintain these
20 carryover storage requirements. Then what
21 happens is reclamation is releasing that water to
22 make Table 2e flows the rest of the year, not an
23 Oakdale or South San Joaquin Irrigation
24 Requirement. DO requirement, not an Oakdale or
25 San Joaquin requirement. Salinity at Vernalis,

1 not an Oakdale or South San Joaquin requirement.

2 And not only that, your carryover storage
3 requirements also put more water into storage
4 than is required under what you've set forth.

5 So, on the Stanislaus, in some years, because the
6 model has perfect foresight, it puts up to 1.15
7 million acre-feet in storage, when your carryover
8 storage is 700,000. Because it knows that in the
9 model there's going to be two or three more dry
10 years to come.

11 So, we got a serious problem here. And I
12 think, as the people who have to decide the
13 reasonable protection of beneficial uses, you at
14 least, first, have to understand what it is that
15 your project is being proposed before you get to
16 what it is you may be able to do in a plan of
17 implementation that may mitigate for those
18 requirements.

19 Okay. I love fisheries. So, benefits to
20 fisheries, real quick.

21 CHAIR MARCUS: All right, we'll need to
22 spend more time on this so I'm sure I understand
23 it.

24 MR. O'LAUGHLIN: Yes, we will. Not a
25 problem.

1 CHAIR MARCUS: Okay.

2 MR. O'LAUGHLIN: Lots more time.

3 Okay, so benefits to fisheries. This is
4 a real important one. And I totally disagree
5 with the presentation made by your staff on this
6 one.

7 So, in the SED, you put down all the
8 species in the plan area, and you'll see them on
9 -- go back one. So, these are the species in the
10 plan area, okay, and we cited to it in your
11 document. You analyze one species in the SED,
12 Central Valley fall-run Chinook salmon.

13 But that's interesting about this, if you
14 look at the left-hand side of the equation, none
15 of these fish meet your requirements. Because,
16 remember, the fish have to migrate to and from
17 the tributaries, through the San Joaquin, and
18 through the Delta. And most of these fish, on
19 the left-hand side, in fact all of them, don't do
20 that.

21 So, you have a problem, which is you've
22 described your narrative, now, as these natal
23 streams supporting these fisheries coming and
24 spawning, and moving out through the system. In
25 addition, most of these fish that reside in the

1 Delta are not studied or examined because, in
2 this document, you cut your inquiry off at
3 Vernalis for the fisheries. You did not look
4 into the Delta as to what the proposed benefits
5 would be.

6 So, you looked at Central Valley fall-run
7 Chinook salmon. Pacific Lamprey fit into this
8 category, but there's no information. And,
9 finally, your staff said that there was a paucity
10 of information available on steelhead and,
11 therefore, they were excluded from the analysis.

12 I know, in follow-up slides, your staff
13 has said that Rainbow Trout were a beneficiary of
14 this program. The problem is, Rainbow Trout
15 don't fit into this because Rainbow Trout,
16 resident Rainbow Trout are not migratory. It has
17 to be the Omicas, the anadromous form, that is
18 transitory, that would be a benefit of this
19 program.

20 Okay, I'm going to -- in your SED, 1984,
21 it does say, and you use SalSim, and you came up
22 with 1,103 Central Valley fall-run Chinook
23 salmon.

24 Okay. Now, leaving aside the 1,103, we
25 told you, in 2012, not to use SalSim. We told

1 you all the problems with SalSim.

2 CHAIR MARCUS: Right.

3 MR. O'LAUGHLIN: Okay, you decided to go
4 ahead and use SalSim. So, it's kind of like that
5 situation where you've asked your consultant for
6 an answer, they give you an answer, and you say,
7 hum, that's not quite the answer we had in mind.
8 So, you got the answer and, now, you're in a
9 situation where you don't like the answer.

10 So, but what you have to put into context
11 here is the number. So, I'm going to disagree
12 with Mr. Lynch, who spoke earlier. I've spoken
13 to your staff about this. In the SalSim modeling
14 that you did, it talks about the production of
15 fish. So, production is different than
16 escapement. Production is the overall number of
17 adult fish. Escapement are the number of adult
18 fish that return to the river system.

19 CHAIR MARCUS: Right.

20 MR. O'LAUGHLIN: Okay. In the Central
21 Valley, and we've had this, because I know your
22 question's coming up, Mr. Moore, on this one, we
23 put in a number that there's 707,598 Central
24 Valley fall-run Chinook salmon produced annually,
25 in the Central Valley.

1 Okay. Now, we've broken this down by
2 years. We have different bases. We've done it
3 in 10-year stops. We've done it the last 10
4 years, the first 20 years, and so forth and so
5 on. The number does vary, I will tell you. It
6 does go down in some 10-year periods. It never
7 gets below 600,000.

8 So, even if, and I saw your staff slide
9 where they said that they're going to get 4,000
10 adult fish. Even if you got 4,000 adult fish, in
11 the context of 600,000 fish, then, now we can
12 start talking about the weighing and balancing
13 that's going to occur between the water demand
14 and the impacts with the number of fish that you
15 may get.

16 I'm going to skip this slide. It just
17 talks about -- this is information from your SED
18 about what the benefit would be on an economic
19 basis. Basically, it comes out, and even if you
20 multiplied it by four, which would be 4,000 fish,
21 you'd only get about 100,000 a year economic
22 benefit at the dock.

23 So, now, let's go to SalSim. So, your
24 staff is running away from SalSim, and I
25 understand why because the answer doesn't

1 coincide. But one of the things that we've
2 talked about, in this proceeding that I've talked
3 to you previously about, is the June question.
4 So, if you look at this slide, this is the base
5 case run. This tells you how many fish are
6 leaving the tributaries in the month of June.
7 Okay? So, look at the slide and look at the
8 Tuolumne River. There aren't any fish coming out
9 in June.

10 There are some fish coming out on the
11 Stanislaus River, okay.

12 So, we then said, we'll take your SalSim
13 model apart. We did get a response to our PRA,
14 and thank you very much. We appreciated that.

15 So, now, if you look at the results from
16 SalSim, you will see that the number of fish
17 leaving the Stanislaus system declines by, on
18 average, 42 fish. The number on the Tuolumne
19 does go up by 151 fish. And that all occurs in
20 one year, which is June of 1996.

21 So, in the tradeoff of the world, if 45
22 to 50 percent of the water cost is occurring in
23 June, and you're getting a net result of a
24 hundred additional fish out, you have to wonder,
25 a hundred fish get out, survivability coming back

1 is about 2 percent. So, you've gotten roughly
2 two fish back for 45 to 50 percent of the water
3 costs of your proposed program.

4 So, and we have to be careful when we
5 start talking about these numbers about what is
6 or isn't doable. Your staff threw this up in a
7 technical workshop. It's from FISHBIO, who does
8 the monitoring, the rotary screw trap monitoring
9 on the rivers. And this is being put forth, I
10 believe, by your staff, as the proposition that
11 there are fish present in June.

12 There is no disagreement by the agencies,
13 that I represent, that fish out-migrate in June.
14 But you have to look at the chart to figure out
15 what's going on. And the first thing you look
16 at, when you look at the chart, is if you look at
17 the little blue line that's squiggling across
18 the top, you will notice that starting sometime
19 in March, almost all the way through May, that
20 roughly 7,000 CFS is coming out of the Tuolumne
21 system.

22 Well, that's not what you're proposing.
23 That's not what you can propose. Those are flood
24 control conditions. This is 2006. And, so, if
25 you go back in the big years, if you go back in

1 2006, 1999, 1998, when the flood years were
2 occurring, you will see fall-run Chinook salmon
3 out-migrating in June. No doubt about it. But
4 here's the problem. And the conundrum is when
5 you're in the managed flow conditions, which is
6 what most of your proposed plan is, you don't
7 have these flows. They're not there. And
8 they're not there for that duration.

9 And if you look in the managed flow
10 conditions, there are zero fish coming out, in
11 June, from the Stanislaus, the Tuolumne and the
12 Merced. And we have all the rotary screw trap
13 data. We've provided it for your staff. For
14 some reason, it never made it to the report.

15 CHAIR MARCUS: All right. So, the point
16 that you're making there is there are fish
17 present in June, they're in high flow years. You
18 can't -- the tradeoff in the low flow years isn't
19 worth the pain, particularly in that month?

20 MR. O'LAUGHLIN: Well, the pain is, is
21 that let's say it's a low-flow year, and let's
22 say you threw down another 1,000 CFS, you're not
23 going to get those fish.

24 CHAIR MARCUS: It's not high enough to
25 get that response.

1 MR. O'LAUGHLIN: Right.

2 CHAIR MARCUS: Okay, I just want to
3 understand the --

4 MR. O'LAUGHLIN: So, yes, which --

5 CHAIR MARCUS: It crystalized a point
6 that people have been dancing around. And it's
7 interesting because we also had a number of
8 people at the Sacramento hearing, some
9 biologists, who talked about the value of having
10 flows for a longer period of time because you
11 have different lifecycles and genetic diversity.
12 But I'm hearing the response here in a more
13 concrete way, than I had heard at that hearing.

14 MR. O'LAUGHLIN: Thank you. So, let's --
15 one real quick one and then I'll leave you. And
16 this goes back to the last slide. And this, I
17 spent a ton of time with your Delta Flow Criteria
18 Report, back in 2010.

19 CHAIR MARCUS: Uh-hum.

20 MR. O'LAUGHLIN: We did not oppose the
21 Delta Flow Criteria Report, when it was
22 presented. And, so, in your report, you say very
23 specifically two things that you're going to get.
24 At average, 5,000 CFS, March through June, at
25 Vernalis, will substantially improve fall-run

1 Chinook survival and abundance.

2 Okay, so think about that, 5,000 CFS.
3 That's February through June. That's 10,000,
4 that's 1.5 million acre-feet. At an average of
5 10,000 CFS from March through June, you can
6 double San Joaquin Basin fall-run Chinook salmon.
7 So, let's take that as everybody who's come in
8 front of you has said that's the science, that's
9 what we need. Okay?

10 What your staff did is they looked at
11 those numbers and they said, if we took 60
12 percent of the UIF from February through June, we
13 achieved an average of 5,000 CFS 85 percent of
14 the time, okay, and 45 percent of the time we'll
15 get 10,000.

16 So, in that scenario, you read that and
17 it will tell you, well, if I'm going to get 5,000
18 CFS 85 percent of the time, I'm going to
19 substantially improve fall-run Chinook salmon.
20 And, if I can get 45 percent of the years at
21 10,000, I'm on my way to the doubling goal.
22 Right?

23 So, you would say, going on the
24 unimpaired flow paradigm, that this is where we
25 need to go. And your staff has said, we need to

1 keep this up.

2 So, here's where the bait is. This is a
3 very convoluted, complex graph, but it's not that
4 difficult. There's two circles on the graph, and
5 they depict where the 5,000 and the 10,000 are.
6 And they tell you when these flows occur in wet,
7 below normal -- above normal, below normal, dry
8 and critical years.

9 Okay, we've redone this graph and we're
10 going to present it to you at a later date. And
11 what it will show is that you will never meet
12 what these circles are. And here's the reason
13 why.

14 Here's the switch. The Delta Flow
15 Criteria Report utilized the entire San Joaquin
16 River Watershed. The entire watershed. So, it
17 had Stanislaus, Tuolumne, Merced, Chowchilla,
18 Fresno, Upper San Joaquin. You even had Tulare
19 Lake Basin outflow. You had this floor in the
20 west side, okay.

21 So, if you think about it, the way I like
22 to equate this is think about the entire basin
23 being a 10, okay. So, just call it 10 acre-feet.
24 And, so, to meet those achievements and those
25 goals, you were going to have 60 percent, or call

1 it 6. Right? So, we needed 6 at Vernalis to
2 meet those goals of substantially improving fish
3 our doubling.

4 When the Water Quality Control Plan, that
5 you've currently put on the table, you only used
6 the Stanislaus, Tuolumne, and the Merced. And
7 when you do that, what happens is you have taken
8 roughly 40 percent of the watershed away. So,
9 now, we're starting --

10 CHAIR MARCUS: Forty percent of the
11 watershed that makes it to the Lower San Joaquin
12 how often?

13 MR. O'LAUGHLIN: Well, in the scenario
14 that your staff did, most of the time. So,
15 that's the 10 number, because you get -- you get
16 Kings River, you get Tulare Lake, you get Upper
17 San Joaquin. So, they took the whole unimpaired
18 and shoved it down into the river, the whole
19 deal.

20 So, if you're at 10, now you've cut the
21 watershed, you've cut 40 percent of the watershed
22 off and you're down at 60 percent of the
23 watershed.

24 And, then, what you did again is you
25 said, okay, well, we're going to -- I'll use 30.

1 So, 30 times 6 is 1.8. So, in your Delta Flow
2 Criteria Report, this was what Doug Obegi, was
3 trying to say, and I agree with him entirely. He
4 said, wait, you told us the number was 6 at
5 Vernalis. Now, I'm going to get 1.8. 1.8 isn't
6 going to substantially improve fall-run Chinook
7 salmon, nor is it going to reach the doubling
8 goal. So, the question is, then, if you're not
9 meeting your goals, then why are you sending the
10 water down?

11 So, I think it's really important, and
12 the switch here is, if you made these
13 requirements, think about it, so let's go and say
14 you want to -- let's agree that the Delta Flow
15 Criteria Report is correct. If you needed 10,000
16 CFS at Vernalis, to reach the doubling goal in
17 the San Joaquin River, from these three
18 tributaries, that would roughly equal 3 million
19 acre-feet a year. Well, the total runoff in the
20 three tribs is 3.7. So, you can't get to your
21 doubling goal from here, and from these
22 tributaries.

23 So, that's why there's this disconnect.
24 It's kind of the same disconnect that we're
25 having in June. Yeah, you can get fish out in

1 June, and there is a time and a place in how you
2 can do that. But if you try to do it all the
3 time, the water cost gets really high. And when
4 you're trying to look at if that's truly 45 or 50
5 percent of the impacts, and we're going to supply
6 you with the numbers on that. Your staff's
7 number, I don't know how they came up with it
8 because they talk about diversions. And I don't
9 know if they're talking about diversions just to
10 the canal gates, or diversions to the canal gates
11 into storage. We should look at that and talk
12 about it.

13 So, those are two instances where I think
14 we need to start bringing our discussion to bear
15 about how it is we're going to achieve certain
16 goals in your plan, that you're looking to
17 achieve, and whether or not how we're setting
18 this up gets us there.

19 And then, part two is I think we should
20 disclose to people what the impacts are. And
21 then, based on the impacts, we can figure out how
22 you want to move the Plan, or how we can move the
23 Plan to provide reasonable and beneficial
24 protections to the fisheries into the Delta. And
25 that's the pitch.

1 I don't have anything else.

2 CHAIR MARCUS: Thank you.

3 MR. O'LAUGHLIN: Thank you. Thank you,
4 all much.

5 CHAIR MARCUS: I know we'll have a lot of
6 questions, but in the interest of time we'll --

7 MR. O'LAUGHLIN: I know. No.

8 CHAIR MARCUS: -- take them for follow up
9 conversations.

10 MR. O'LAUGHLIN: Thank you.

11 CHAIR MARCUS: Thank you, very
12 interesting.

13 (Applause.)

14 CHAIR MARCUS: All right, I'm going to
15 move directly to public comment. Do we have more
16 or there's somebody that needs to come up? Oh,
17 well, then it should go to the end.

18 If someone spoke at another hearing, I
19 missed a couple of them because we hadn't gone
20 through it, I'm going to put you to the end of
21 the line because it's one hearing. Shouldn't be
22 having multiple speaking opportunities. It's
23 hard to stop elected officials, I'm afraid, but I
24 do want to prioritize folks who have not had a
25 chance to speak to us before.

1 I'm going to call it in batches of ten,
2 and then I'll do the three thing I've been doing,
3 just so that you can prepare.

4 We have Daniel Chavez, from the Plenada
5 Community Services District. Followed by Anthony
6 DeJager, or DeJager. Dennis Yotsuya. Mark
7 Medefind. Sonia Diermayer. I think it's Erio or
8 Eric Sansoni. Paul Ferrario -- Ferrario,
9 probably. Robert Dylina. Alan Waterman. Loren
10 Scoto.

11 Daniel Chavez?

12 Anthony DeJager?

13 Dennis Yotsuya? Thank you.

14 MR. YOTSUYA: Good afternoon. My name is
15 Dennis Yotsuya, and I'm a Board Member and the
16 Treasurer of the Bellico Cortez Water District.
17 And we are located in Merced County, north of the
18 Merced River, and south of the Merced/Stanslaus
19 County Line. Our District's approximately 7,000
20 acres, and it encompasses approximately 160
21 farms.

22 We are about 85 percent permanent crops
23 and the remainder of row crops, annual crops.

24 We rely solely on groundwater for water
25 supply. We have no surface water available to

1 us. And, historically, our groundwater has been
2 recharged by TID, which borders on two sides of
3 our district.

4 Since groundwater is basically our -- the
5 only source of water, it's very important to us
6 to maintain that supply. And, so, we've been
7 involved with the groundwater management
8 legislation in the '90s, and now with SGMA.

9 And we feel that if there's no surface
10 water for a recharge, we're going to have a hard
11 time complying with SGMA.

12 So, that's basically our major point.
13 I'll skip the rest of this. And we've talked a
14 lot about how to deal with the fish. But we do
15 request that the Board consider the impact of the
16 additional flows on SGMA, because we are going to
17 have a hard time complying without surface water.

18 And, also, we would like you to consider
19 working with the local irrigation districts on
20 the salmon enhancement, because they've put a lot
21 of time and money into researching and trying to
22 figure out what works on their river. So, thank
23 you.

24 CHAIR MARCUS: Thank you, sir.

25 (Applause.)

1 CHAIR MARCUS: Perfect timing.

2 Mr. Medefind?

3 Ms. Diermayer? I may have pronounced
4 that incorrectly, sorry.

5 MS. DIERMAYER: Yeah, that's fine, thank
6 you. Sonia Diermayer. And I appreciate your
7 being here, good afternoon.

8 I've spent most of my life traveling
9 around California, from playing in the headwaters
10 of the Merced and Tuolumne rivers, to exploring
11 the margins of San Francisco Bay, and the ocean
12 beaches around the Bay Area. Traveling
13 frequently to Southern California, through the
14 Central Valley, now.

15 And through all of that, those
16 experiences, I have learned to see that we are
17 one interconnected California, linked together by
18 precious ribbons of water.

19 The San Joaquin tributary rivers that
20 we're talking about here, as people in the room
21 probably know better than I, used to be two-way,
22 mega highways for nutrients and sediment for many
23 millennia. They carried tons and tons of
24 sediment and nutrients downstream and deposited
25 them in floodplains here, in the Central Valley,

1 and in the Delta.

2 And I would argue that the farmlands,
3 that we're farming today, are in part due to the
4 fact that the rivers created those rich, fertile
5 soils, and provided the groundwater, over many
6 millennia, that we've been using up, now.

7 And conversely, the rivers provided a
8 means to transport huge, huge millions of salmon
9 and steelhead upstream, and brought enormous
10 amounts of nutrients from the ocean in that
11 direction, which nurtured a whole ecosystem in
12 the mountains, and the headwaters, and the
13 foothills in between.

14 While I have the utmost awe and respect
15 for farming families, and the farming lifestyle
16 and tradition, I think we have heard a lot of
17 language here today that obscures the truth.
18 We've heard a lot about taking water. Well, we
19 humans have been taking water from the
20 environment for many, many decades.

21 We've talked about a created drought.
22 Well, the whole estuary system, from the rivers
23 through the Delta, through the San Francisco Bay,
24 into the ocean, that system has been in a super
25 drought in many years, out of the last 40 years,

1 and almost half of those years, due to diversions
2 for storage, and pumping, and so on.

3 I would say that if the water system in
4 California is broken, maybe we broke it. And by
5 bad decisions that, at the time, maybe have
6 seemed normal and reasonable, but we have
7 continued to take more, and more, and more. We
8 have planted permanent crops, where they perhaps
9 shouldn't be planted, based on the assumption
10 that there would always be water for them. We
11 have planted in saline soils. We have over-
12 pumped the groundwater. We've charged not enough
13 for water, that corresponds to the value of that
14 water in our ecosystem.

15 And it sounds oddly, to me, as though we
16 are now blaming the salmon and the Water Board
17 for the groundwater overpumping, and for the
18 future subsidence that might occur, and all the
19 other practices and choices that have been made.

20 And we're asking the ecosystem, and the
21 smelt, and the salmon, subspecies to make the
22 ultimate sacrifice of extinction so that we can
23 continue those practices. And I would like to
24 object.

25 CHAIR MARCUS: I would let you to go over

1 because you're a minority voice in today's
2 session.

3 MS. DIERMAYER: Yeah, I do feel like I
4 have -- you know, I've listened long and hard
5 here, and I've taken to heart what everybody has
6 said. And I sympathize with the economic pain.
7 It's not all due to the fact that there hasn't
8 been enough water. And water's the basis for
9 life. It's not about 1,100 fish. And it's not
10 theoretical. We're talking about extinctions.

11 We are all tied together, humans and the
12 ecosystems, in one giant, interdependent web, and
13 it's a limited pie of water, and there's not
14 going to be any more, folks. I'm sorry, it's --
15 we can build dams as much as we want, but there
16 isn't going to be any more water to put in them.

17 And, so, it's a limited pie and we all
18 have to learn how to divide it up and take
19 smaller pieces for all of us. For urbans, for
20 rurals, for industry, for everyone.

21 So, I would say, I strongly support the
22 Board's desire to try to provide more flows for
23 the ecosystems. Please aim for the 60 percent of
24 unimpaired flows. And let's, please, stop
25 blaming and punishing the environment and give

1 back some of the water to try to create
2 conditions for restoring the health of the
3 ecosystems. Thank you.

4 CHAIR MARCUS: Thank you. Thank you for
5 staying.

6 (Applause.)

7 CHAIR MARCUS: Mr. or Ms., if I've read
8 it right, Sansoni?

9 Mr. Ferrario? There's a place for e-
10 mail, and not everybody's put it on, so that we
11 can follow up with folks.

12 Mr. Dylina? Did I say that wrong?

13 MR. DYLIBNA: Dylina.

14 CHAIR MARCUS: Dylina. Close, sorry.

15 MR. DYLIBNA: That's okay.

16 CHAIR MARCUS: It's a nice name.

17 MR. DYLIBNA: Madam Chairperson, Members
18 of the Board, thank you for being here, in
19 Merced, today. I know that wasn't originally
20 part of the Plan. Appreciate you guys going out
21 of the way to actually come to the community who
22 will actually be impacted by your decisions.

23 CHAIR MARCUS: No, we should have. Happy
24 to.

25 MR. DYLIBNA: I'm Robert Dylina. I'm the

1 Chairperson or Chairman of the Regular Merced
2 Chamber of Commerce. I sit on the board for,
3 actually, the foundation that operates the
4 theater that you're in.

5 I sit on the City Planning Commission, as
6 well as am a member of Merced Boosters, a local
7 collection of business owners.

8 When I came and spoke in Sacramento, on
9 the 29th, I left off with a cost benefit analysis
10 that basically said we need to look at what we're
11 gaining versus what we're giving.

12 I want to get a little bit more granular
13 and zoom in, today, on Merced and the Merced
14 River, specifically. I think what you've heard
15 today, and seen in the presentation from MID, and
16 others, is that the fish that come out of the
17 Merced River represent an incredibly small
18 portion of the holistic picture. Less than 2
19 percent of the salmon population comes from this
20 river.

21 Yet, it's the water that comes down this
22 river has, relative to the other systems, a
23 disproportionate economic impact. So, my main
24 point today was just to add on that, basically,
25 every percent increase in unimpaired flows out of

1 Merced River, specifically, not out of the
2 region, has an incredibly economic cost relative
3 to a very, very small benefit to fish.

4 And that's the one thing that I wanted
5 you to take away today. Thank you.

6 CHAIR MARCUS: Thank you.

7 (Applause.)

8 CHAIR MARCUS: Mr. Waterman?

9 Loren Scoto?

10 MR. SCOTO: How you guys doing?

11 CHAIR MARCUS: Fine.

12 MR. SCOTO: You know, I showed up here
13 this morning at 7:00 o'clock, 25 degrees, on one
14 of those tractors outside. And I thought for
15 sure, hey, I was going to come up with some
16 grandiose speech that I was going to give you
17 guys. But you know what, I honestly think that I
18 just want to talk from me to you guys.

19 I'm a kid that was born and raised here,
20 in Merced, California. Me and my wife live here
21 and we want to raise kids here. And when you
22 take the water away, the economy goes away.

23 Now, I understand balance. I'm the black
24 sheep in my family. I'm in the middle. I got
25 all right and I got all left, and I'm right in

1 the middle. I want the best of both worlds. I
2 want you guys to seriously consider MID's Plan.
3 The SAFE Plan is the best of both worlds. It
4 helps both the fish and it provides water for the
5 farmers, for agriculture. And I could sit here
6 all day and state facts. You know, I don't got
7 the facts with me right now. I could have wrote
8 down anything, I could Google anything, sure.

9 But you guys have heard it all. You guys
10 have heard it all, all day today. You heard it
11 yesterday. And you're going to hear it tomorrow.
12 At what point does it become white noise?

13 CHAIR MARCUS: Not yet.

14 MR. SCOTO: Not yet. Sure.

15 CHAIR MARCUS: It's helpful.

16 MR. SCOTO: I just want to talk to you
17 guys from the younger generation in this area.
18 we're impoverished. We've been impoverished.
19 We're mainly agriculture. You know, the urban
20 areas of California resist urban sprawl, we
21 resist urbanization. But California's got the
22 best of every single world. If you drive an hour
23 from here, you've got the snow. If you drive an
24 hour -- excuse me, an hour east, you've got snow.
25 If you drive an hour west, you've got the ocean.

1 And then, right, smack dab you've got the salad
2 bowl, you've got almonds, you've got tomatoes,
3 you've got everything.

4 Just please, I urge you all, seriously
5 consider the MID SAFE Plan. It is the best of
6 both worlds. It's balance. Thank you.

7 CHAIR MARCUS: Thank you. Very well
8 done.

9 (Applause.)

10 CHAIR MARCUS: I'm going to use that.
11 That was really good, about California. That was
12 particularly good.

13 All right, I'm going to read ten more,
14 just so you can prepare.

15 Andrew Skidmore. Ralph -- I can't read
16 it. I want to say Gonzales, but I'm guessing
17 there.

18 Candice Adam Medefind. Marty Kirkwood.
19 Saw him earlier. Jason Scott. Chris McGlothlin.
20 Salvador Sandoval. Scott Roduner. Mary Michel
21 Rawling.

22 So, let's start with Mr. Skidmore. Thank
23 you for hanging in there with us.

24 MR. SKIDMORE: I'm glad it's a break, so
25 I can be here.

1 CHAIR MARCUS: Winter break. Oh, good.

2 MR. SKIDMORE: Good afternoon, almost
3 evening. My name is Andrew Skidmore. And I'm
4 originally grown and raised in Atwater,
5 California. I currently come to you as a
6 California State FFA President.

7 CHAIR MARCUS: Wow.

8 MR. SKIDMORE: A high school,
9 agricultural education organization that has over
10 83,000 members statewide.

11 CHAIR MARCUS: Well, we're going to be
12 seeing you for many years, I'm pretty sure.

13 MR. SKIDMORE: The social sustainability
14 of the Central Valley is jeopardized by your
15 proposal. Water and people are innately tied.
16 Wherever water flows, people grow.

17 And in the Central Valley, we had the
18 other sentiment that wherever water flows, food
19 grows, as well.

20 I'm sure the Vice Chair, your experience
21 with the Mono Lake Project can further cement
22 that relationship between water and the success
23 of people.

24 In our organization, we raise the next
25 generation of farmers and ranchers. Through high

1 school curriculum, hands-on experiences, and
2 student-led projects, we're able to cultivate the
3 next generation. From Tule Lake, on the Oregon
4 border, to Los Angeles, all the way down to
5 Calexico, bordering with Mexico, each and every
6 day high school students are able to experience
7 with their eyes, and their hands, agro science,
8 mechanics, soil science, hydrology, you name it.
9 The aspects of agriculture they're taught in FFA,
10 and in high schools across the nation are
11 limitless.

12 Many of you have engineering backgrounds,
13 and I believe even two of you on the Board.
14 Agriculture seeks to do the same thing, use
15 today's tools, the best science and technology to
16 solve problems that are facing the modern world.

17 Agriculture tries to do the same. And
18 our problem is feeding the world.

19 When I was young, I had an intrigue with
20 how jewelry got manufactured. I remembered,
21 distinctly, going to a manufacturing facility
22 where jewelry was being taken, and from raw
23 goods, with a little bit of labor and energy,
24 they were able to transform it into a beautiful,
25 decorative chain.

1 That same intrigue that I had about the
2 jewelry industry exists about agriculture, not
3 only statewide, but across our entire -- I mean,
4 even right here, in our community. And the
5 agriculture industry surrounds our community.

6 Please, don't let agriculture become the
7 next novelty in our economy. Please consider the
8 social sustainability of the valley. The
9 individuals that we raise here, through the
10 Future Farmers of America, we want them to have
11 the ability to come back, return the great talent
12 to where it was grown, and be able to return that
13 excellent skill and passion to the same area
14 which created it.

15 The critical importance, please consider
16 the social sustainability of the valley, and the
17 critical importance of the water in our valley to
18 its future, so my generation can have the
19 opportunity to step up, protect the environment,
20 and feed the world. Thank you.

21 CHAIR MARCUS: Thank you, very much.
22 Honored to meet you.

23 (Applause.)

24 Mr. Gonzales?

25 Ms. Medefind? I think that whole family

1 had to go.

2 Mr. Kirkwood? I don't see you anymore.

3 Mr. Scott.

4 MR. SCOTT: Good afternoon.

5 CHAIR MARCUS: Good afternoon.

6 MR. SCOTT: My name is Jason Scott. I
7 just come here as a Californian, who loves my
8 State. I wanted to speak with you about some of
9 the information that we know, from the scientific
10 perspective, and also to push back on some
11 misinformation that's been perpetuated throughout
12 the day.

13 First, the proposed flows are not just
14 about fish. It's about ecosystems. We know that
15 salmon are a keystone ecological species, whose
16 presence and abundance are critical to the health
17 of ecosystems throughout the State. By
18 protecting our salmon, we revitalized ecosystems
19 throughout huge portions of California.

20 There is strong scientific evidence that
21 changes to the timing and amount of flow have
22 been the most important factor leading to the
23 decline of Delta River ecosystems. Certainly,
24 many other problems need to be addressed to
25 restore the health of these ecosystems. But we

1 cannot forget that flows are the single most
2 important management tool that we have for their
3 protection.

4 Throughout the day we've heard numerous
5 speakers reference the 1,100 salmon number. Your
6 staff has addressed it. I want to reiterate that
7 this talking point is inaccurate and misleading.
8 The SalSim model that produced this number is an
9 extremely limited scientific model. It was not
10 designed to forecast future salmon population
11 levels. That's made clear in the preface and in
12 the SED.

13 What we do know, through scientific
14 consensus, is that increased flows will increase
15 salmon populations throughout our rivers. I
16 would like to make two recommendations, with my
17 limited time, and then one contradictory
18 recommendation. First, I would like to see you
19 increase the upper range of the flow to 60
20 percent.

21 The scientific consensus that says that
22 only 60 percent will revitalize these salmon
23 populations. I think that should be within our
24 toolkit and the water management portfolio to
25 allow water managers to use that level of flow to

1 see if we can bring back salmon levels.

2 Secondly, I'd like to see the SED
3 directly reference the salmon doubling goals.
4 it's an existing law. I think the SED should
5 comply with it. I think it should be built into
6 the SED, itself.

7 CHAIR MARCUS: I thought it did. But
8 we'll check.

9 MR. SCOTT: Okay. The third thing that I
10 just want to say is throughout the day, as I've
11 listened to all the speakers talk, I've been
12 really moved by the representatives of the
13 agricultural community. And as I've listened, I
14 came here to really speak on behalf of the
15 salmon. But I think what I'm walking away with
16 is a deep desire for us to try and do both, which
17 I know is your ultimate goal.

18 CHAIR MARCUS: Yes.

19 MR. SCOTT: But whatever we do to improve
20 the habitat for our ecosystems in California, I
21 really don't want it to screw over communities
22 like here, in Merced. We really need -- we have
23 the ability, the technology, the know how in our
24 State to do both. And I really don't want to see
25 a community, like Merced, turn to dust in the

1 name of salmon. I think we can do both.

2 All right, thank you.

3 CHAIR MARCUS: Thank you. I hope so,
4 too.

5 (Applause.)

6 CHAIR MARCUS: Thank you for coming and
7 listening.

8 Chris McGlothlin?

9 Mr. Sandoval?

10 Mr. Roduner?

11 MR. RODUNER: I'm going to make this a
12 lot shorter than I originally planned. First
13 off, thank you for the opportunity for me to come
14 and speak in front of you. My name is Scott
15 Roduner. My family's been farming the same piece
16 of land for 137 years.

17 I work alongside my grandfather, my
18 father, my aunt, my uncle. I've got a brother,
19 five cousins, two nephews and two kids of my own.

20 By increasing the water flows down the
21 Merced River, you're all but assuring my family's
22 next generation will not be afforded the same
23 opportunities that were afforded to me by the
24 hard work of the people behind me.

25 In closing, there are people in this room

1 that do agree with this plan. I'd like to
2 challenge each of those people tonight, when they
3 sit down for dinner, to remember where their food
4 comes from. Please consider our District's plan.
5 We believe that's what's best.

6 Thank you and have a great day.

7 CHAIR MARCUS: Thank you.

8 (Applause.)

9 CHAIR MARCUS: Ms. Rawling?

10 MS. RAWLING: Good evening, Madam Chair,
11 Members of the Board. My name's Mary Michel
12 Rawling. I'm a Director at Golden Valley Health
13 Centers. We're a federally-qualified community
14 health center, with 28 sites throughout Merced
15 and Stanislaus counties.

16 In 2015, alone, we treated over 110,000
17 patients in Merced and Stanislaus counties.
18 Community Health centers are unique in that we
19 care for all people that walk through our doors,
20 no matter what. As such, about 80 percent of our
21 patients are Medicaid and about 10 percent are
22 uninsured.

23 More than 30,000 of our patients are what
24 we call agricultural workers. Their livelihoods
25 depend directly on the agricultural economic

1 base, here in our area.

2 Community Health Centers care about the
3 whole health of our patients, including the
4 social determinants of health, things that happen
5 outside of the exam rooms, outside of the clinic
6 walls.

7 Having said that, taking this much water
8 from our community will disproportionately impact
9 some of the most vulnerable populations in our
10 State. Not only could these folks lose their
11 jobs, but they won't be able to afford the
12 increased water rates, locally, which will
13 inevitably come when their water quality
14 deteriorates, or they need to buy the bottles of
15 water because the tap won't turn on.

16 As a private, nonprofit, we also have to
17 balance the cost of business and infrastructure.
18 If we don't have the water to connect to our
19 health centers, especially in the rural areas
20 where we have health centers, like Wesley, or Le
21 Grand, because we have water piped to every exam
22 room, every break room, every bathroom, and every
23 dental operatory. If we can't get that, our
24 patients will suffer decreased access to health
25 care. Access that's already very limited.

1 So, thank you for being here today. I
2 implore you to please listen to the folks that
3 have spoken about the alternatives that are
4 present, and please find something that works for
5 all of us. Thank you.

6 CHAIR MARCUS: Thank you, very much.

7 (Applause.)

8 CHAIR MARCUS: Next, I have Casey Steed,
9 Adam Shasky, Rob White, Maxell Norton, Jim
10 Verboon, and Peter Kampa, who is a repeat
11 speaker.

12 Casey Steed?

13 MR. STEED: Yes.

14 CHAIR MARCUS: Okay. Ooh, great voice.

15 MR. STEED: Not to everybody.

16 CHAIR MARCUS: It's really good.

17 MR. STEED: Hi, my name's Casey Steed.

18 I'm a resident of Merced County, the City of
19 Merced, in the Central Valley. I want to thank
20 you for the opportunity to speak to you today, to
21 this body. I pray that you have heard and that
22 you will think about all that was said today.

23 Mark Twain famously once said that in
24 California, whiskey is for drinking and water's
25 for fighting over. I don't know if anybody's

1 said that today, but let me be the first.

2 I, myself, am a lover, not a fighter.

3 But I feel compelled to stand here today, to
4 speak today in opposition of this Board's plan.

5 We have come here with assumptions of
6 water rights. We are told that that isn't so.
7 It's everyone's water. It's the State's water.
8 We are standing, literally, in the middle of the
9 biggest garden in the world, in the middle of a
10 desert. A great experiment that went right in
11 the minds of those of us that live here, and for
12 many in this room today. I feel we are good
13 stewards of the land and of the water.

14 The law of conservation of energy says
15 energy is neither created nor destroyed, it
16 merely changes form. Water can take on potential
17 or kinetic forms of energy, forms of work. Water
18 is energy.

19 What you eventually decide on this issue
20 will impact the energy of the valley and its
21 people forever. Thank you for your time.

22 CHAIR MARCUS: Thank you. Interesting
23 and thoughtful.

24 (Applause.)

25 CHAIR MARCUS: I liked the biggest garden

1 in the middle of the desert, too, that was
2 poetic. It is a miracle.

3 Mr. Shasky?

4 MR. SHASKY: Yes, sir -- ma'am. You
5 know, I'm a fourth generation farmer. Haven't
6 been here quite as long as the Roduner boys that
7 have been up here all night.

8 But, you know, one of the keys words I
9 saw and heard on your PowerPoint slide, earlier,
10 said that it needs to be viable and reasonable.

11 With that being said, it would be my
12 opinion is, I mean, I think your zero fish is
13 reasonable at this point in time. And hear me
14 out. We've been in this part of the valley
15 farming for, you know, my family's been here 75
16 years. But it was all done on the preface that,
17 you know, our water rights that have been coming
18 down through history were going to be there.

19 So, if that's going to be changed, this
20 is something that needs to be taken into account
21 as a true cost of this equation. You know,
22 there's a way to do something. And the way to do
23 that, if you're going to take this water away,
24 you know, we need to be compensated for it.

25 It needs to be -- you know, they'll find

1 these family farms, where there's no kids or
2 whatever, and that they are done farming. Buy
3 their land, take their water that way. Don't
4 just come in and, you know, pull this 40 percent
5 out with everybody that it's just going to be a
6 slow death to all the rest of us. You know,
7 there's a right way and a wrong way.

8 You know, they've done this up in the
9 Chico area, with the National Wildlife Refuge
10 system, where they've bought a lot of ground
11 along the river, you know, and made it work. You
12 know, the Sierra Club and these guys have put
13 money in. That's fine, if that's what you want to
14 do.

15 But, you know, all of these farming
16 families, you know, we've lived on our land, put
17 blood, sweat and tears into it. And it's one of
18 those things that it's unfair what you're talking
19 about doing. You know, do the right thing. Get
20 in there, you know, let's -- you know, instead of
21 just giving people a slow death, give them a way
22 out if that's what you guys -- if you guys feel
23 the salmon are that important, you know, that's
24 what we need to do.

25 The other thing I'd like to challenge you

1 to do is, you know, we hear these arguments back
2 and forth about the scientific facts of whether
3 the salmon's going to make a comeback or whether
4 it's not.

5 You know, let's see some real numbers. I
6 challenge you guys to, you know, buy waters from
7 the farmers for six, eight, ten years, run that
8 100,000 acre-feet, or whatever it is, down this
9 rivers and let's see some real numbers on what
10 the numbers of fish actually do.

11 You know, I have ground that allows every
12 year, and it's something that, you know, I'm sure
13 there's a lot of guys out there would give you
14 the water to prove it. You know, this smoke and
15 mirrors, where it's 1,100 fish, it's 1,200,
16 2,000, doubling, whatever, you know, they're all
17 modeling. We don't have any true numbers.

18 You know, let's see something long-term
19 before we decide to change our whole way of life
20 and, you know, the investment that we've all put
21 in here.

22 You know, private industry would never do
23 anything like that without doing, you know, some
24 kind of research on something like that, that is
25 a true test or experiment, you know.

1 So, anyway, that's my quick two cents on
2 the matter. I thank you guys for coming and
3 hearing us out.

4 CHAIR MARCUS: No, thank you.

5 (Applause.)

6 CHAIR MARCUS: Rob White? Oh, sorry.
7 Mr. Norton?

8 MR. NORTON: Hi, Maxwell Norton. For 36
9 years I worked for the University of California,
10 doing agriculture research and extension work
11 here, in Merced County. I'm also here as a Board
12 Member of the Central Valley Farmland Trust.

13 Now, you've heard from many people that
14 agriculture -- for every job on the farm
15 generates agricultural jobs off of the farm. The
16 really big multiplier here, in California, is in
17 agriculture and the food processing sector and
18 you find these agricultural processing plants all
19 over California, especially in Southern
20 California and in the Bay Area.

21 So, the contributions, economically, from
22 places like Merced County, are strongly felt in
23 our greater urban areas.

24 Because of our very special combination
25 of climate, soils, the availability of water in

1 the summertime, the production of the specialty
2 crops that is lost here will not shift to another
3 part of the U.S. economy. It will shift overseas
4 and the jobs that are created in the processing
5 centers, and allied industries, will be created
6 overseas instead of in the country, domestically,
7 because of the unique combination of climate, and
8 soils, and water.

9 My colleagues and I did a calculation on
10 the impacts of losing a single acre of land, of
11 some of the representative crops, and almonds
12 which get singled out, that loss would be \$24,000
13 per acre, per year. That's the total economic
14 activity. Sweet potatoes, \$29,000 per acre, per
15 year.

16 So, these are the losses. By almost any
17 measure the unemployment rates, and
18 malnourished teenaged pregnancy, this is a
19 severely impacted area.

20 From the perspective of the Central
21 Valley Farmland Trust, we assist farmers, who
22 want to keep their farms undeveloped and end
23 farming in open space, forever. And we do that
24 utilizing State funds, Federal funds, mitigation
25 funds. And as you can imagine, the loss of

1 surface water greatly diminishes the value of the
2 farms. It makes it much, much harder for us to
3 get funding for those types of projects.

4 And, so, the loss of fresh water here, in
5 the Northern San Joaquin Valley, would directly
6 inhibit our mission as a Farmland Trust.

7 CHAIR MARCUS: Thank you, very much.

8 (Applause.)

9 CHAIR MARCUS: Mr. Verboon?

10 Mr. Kampa? Is he still here?

11 All right, I think some of these have
12 e-mails, so we can follow up with them to
13 encourage them to submit written comments.

14 But with that, we've finished the speaker
15 cards. I want to thank those of you who have
16 hung with us all day. Interesting, each hearing
17 is a little bit different. We learn things from
18 what folks bring up. It is actually very helpful
19 to us. We end up with a different mix in every
20 place, people on all sides of the issue. And
21 this one really focused very much on this area,
22 with a few other, hearty souls who came in. But
23 some very interesting things that we have to take
24 to heart and think about.

25 I want to turn to my colleagues and see

1 if they have any questions or comments? You may
2 be too cold to do that, I'm not sure. But I
3 appreciate you, both, particularly coming.

4 Are you getting sick, yet?

5 MS. SPIVY-WEBER: Nope.

6 CHAIR MARCUS: Oh, thank God. I know,
7 but I heard the court reporter sneeze and I'm
8 really worried about that.

9 Les, is there anything you'd like to say
10 to close, for today?

11 MR. GROBER: I just would like restate,
12 because we've heard a lot of great discussion,
13 comments, concerns, and some of the continuing
14 themes that we've heard, we're going to prepare a
15 short PowerPoint, with some additional words to
16 be -- to respond to some of the issues and
17 questions that we've hearing. And we're going to
18 try to post that by about the middle of this
19 week, after we are done with the hearing,
20 tomorrow.

21 CHAIR MARCUS: So, that should help on
22 some of the issues. My interest, there's plenty
23 to argue about, and it's a hard enough decision.
24 But to the extent that folks think we're doing
25 something -- we're proposing something different

1 than we are, we want to save their energy so they
2 can focus on what we are actually proposing.

3 And, so, thank you for responding to some
4 of the questions. I'll take a look at that.

5 MR. GROBER: Exactly. And it's not going
6 to be long, but at least for some simple
7 explanations, discussion having to do with
8 carryover storage, June flows, and SalSim, things
9 like that.

10 CHAIR MARCUS: Right.

11 MS. SPIVY-WEBER: Number of fish.

12 MR. GROBER: Yes.

13 CHAIR MARCUS: Yes, number of fish. But
14 we will need, just so that folks know, we do
15 spend a lot of time going through all of this
16 with staff, afterwards, and in a focused meeting.
17 So, there's a lot of what we heard today I'm
18 going to want to go over with you all. And I'm
19 sure the rest of my colleagues will, as well.

20 The hearing, thank you, again, for your
21 time, particularly in such a cold setting. But
22 we really wanted -- we didn't expect it to be
23 this cold.

24 This same hearing will reconvene tomorrow
25 morning, in Modesto, at the Modesto Center Plaza,

1 I just want to make sure I have the right place,
2 tomorrow. And additional information, including
3 the times and locations on the other hearings is
4 available in the third revised notice.

5 So, again, thank you very much for your
6 time, your attention, your caring for your
7 community, and for the ecosystem. And, really,
8 again, want to reiterate that we appreciate all
9 the help we can get in thinking about how to deal
10 with this issue in a way that balances all the
11 competing needs. I know it's challenging. And I
12 want to just thank you for your time, thank
13 staff, thank the video folks, thank the ironman
14 of court reporters. And we'll see you all soon,
15 I'm sure, and some of you perhaps tomorrow.
16 Thank you.

17 (Whereupon, at 5:44 p.m., the hearing was
18 adjourned, to be continued on Tuesday,
19 December 20, 2016, at 9:00 a.m.)

20 --oOo--


21
22
23
24
25

REPORTER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 19th day of December, 2016.



PETER PETTY
CER**D-493


Notary Public

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 26th of January, 2017.



Barbara Little
Certified Transcriber
AAERT No. CET**D-520