

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BEFORE THE
CALIFORNIA STATE WATER RESOURCES CONTROL BOARD

CALIFORNIA WATERFIX WATER)
RIGHT CHANGE PETITION HEARING)

REGIONAL WATER QUALITY CONTROL BOARD
CALIFORNIA ENVIRONMENTAL PROTECTION AGENCY
11020 SUN CENTER DRIVE
SUITE 200
RANCHO CORDOVA, CALIFORNIA

PART 2 REBUTTAL

Monday, August 13, 2018

9:30 a.m.

Volume 40

Pages 1 - 233

Reported By: Candace Yount, CSR No. 2737, RMR, CCRR
(a.m. session)
Deborah Fuqua, CSR No. 12948
(p.m. session)

Utilizing Computer-Aided Transcription

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

APPEARANCES

CALIFORNIA WATER RESOURCES BOARD

Division of Water Rights

Board Members Present:

Tam Doduc, Co-Hearing Officer
Felicia Marcus, Chair & Co-Hearing Officer
Dorene D'Adamo, Board Member

Staff Present:

Andrew Deeringer, Senior Staff Attorney
Conny Mitterhofer, Supervising Water Resource Control
Engineer
Jean McCue, Water Resource Control Engineer

PART 2 REBUTTAL

For Petitioners:

California Department of Water Resources:

James (Tripp) Mizell
Thomas M. Berliner
Jolie-Anne Ansley

The U.S. Department of the Interior:

Amy L. Aufdemberge, Esq.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

APPEARANCES (Continued)

FOR PROTESTANTS AND INTERESTED PARTIES:

For Natural Resources Defense Council, The Bay Institute, and Defenders of Wildlife:

Doug Obegi

For Sacramento Valley Group, Tehama-Colusa Canal Authority & water service contractors in its service area and North Delta Water Agency:

Meredith Nikkel

For The Environmental Justice Coalition for Water, Islands, Inc., Local Agencies of the North Delta, Bogle Vineyards/Delta Watershed Landowner Coalition, Diablo Vineyards and Brad Lange/Delta Watershed Landowner Coalition, Stillwater Orchards/Delta Watershed Landowner Coalition, Brett G. Baker and Daniel Wilson:

Osha Meserve

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

<u>PETITIONERS' WITNESSES</u>	<u>PAGE</u>	<u>VOL.</u>
WILDER, RICK		
PARKER, NANCY		
REYES, ERIK		
CHILMAKURI, CHANDRA		
VALLES, SERGIO		
GREENWOOD, MARIN		
PHILLIS, COREY		
WHITE, KRISTIN		
(Witnesses Previously Sworn)		
Cross-examination by Mr. Obegi	4	40
Cross-examination by Ms. Des Jardins	121	40
Cross-examination by Ms. Meserve	196	40

1 Monday, August 13, 2018

9:30 a.m.

2 PROCEEDINGS

3 ---000---

4 **CO-HEARING OFFICER DODUC:** All right. Good
5 morning, everyone. Welcome back to this Water Right
6 Change Petition hearing for the California WaterFix
7 Project.

8 I am Tam Doduc, broadcasting from Rancho
9 Cordova today. To my right is Board Chair and
10 Co-Hearing Officer Felicia Marcus. To the Chair's
11 right is Board Member Dee Dee D'Adamo. To my left are
12 Andrew Deeringer, Conny Mitterhofer and Jean McCue.

13 We're being assisted by other staff today.

14 We are in a different location, so please take
15 a minute and do identify the exit closest to you. In
16 the event of an emergency, we will evacuate, and since
17 we're on the first floor, there is no stairs to worry
18 about. Please exit and we will meet up in the parking
19 lot, or across the street if necessary.

20 In any case, second announcement is: Please
21 take a moment and -- Oh, I'm sorry.

22 Please make sure the microphone is on.

23 I like to jump to my favorite announcement as
24 soon as possible.

25 And there is actually a red light instead of a

1 green light on this system, so please make sure that is
2 on, and please speak into the microphone. Begin by
3 identifying your name and affiliation for the court
4 reporter.

5 Thirdly, since we have all been away for the
6 weekend, please take a moment and make sure that all
7 your noise-making devices are on silent, vibrate, do
8 not disturb.

9 This room does not look packed so this should
10 not be a problem, but I will advise you that apparently
11 if too many people access the public Wi-Fi in this
12 room, it actually would slow down and potentially crash
13 the Webcast.

14 So, for the sake of our viewing audience,
15 again, I don't see a whole bunch of people, so that
16 hopefully is not a problem, but if you have another
17 avenue to access your Internet or e-mails without using
18 the Wi-Fi, it might be a good precaution.

19 Any housekeeping matter before we begin today?

20 All right. Oh, Mr. Herrick is walking
21 outside. All right.

22 (Laughter.)

23 **CO-HEARING OFFICER DODUC:** Mr. Obegi, if you
24 could move your -- Actually, no, don't move it because
25 the court reporter may not be able to see it.

1 Anyway, welcome, Mr. Obegi.

2 **MR. OBEGI:** Thank you.

3 **CO-HEARING OFFICER DODUC:** We're here for your
4 cross-examination of this panel.

5 **MR. OBEGI:** Thank you.

6 I'm going to begin with questions of
7 Dr. Wilder regarding upstream water temperatures.

8 And then I have a few questions for
9 Miss Parker regarding the Revised NMFS Shasta RPA and
10 the Reclamation's compliance with regulatory standards.

11 And then I have a couple questions for
12 Mr. Reyes regarding modeling and OMR criteria.

13 And I think we'll finish the first hour,
14 hopefully, with a few amount of questions for
15 Mr. Chilmakuri.

16 (Continued on next page, nothing omitted.)

17

18

19

20

21

22

23

24

25

1 Rick Wilder,

2 Nancy Parker,

3 Erik Reyes,

4 Chandra Chilmakuri,

5 Sergio Valles,

6 Marin Greenwood,

7 Corey Phillis

8 and

9 Kristin White,

10 called as witnesses by the Petitioners,
11 having previously been duly sworn, were
12 examined and testified further as
13 follows:

14 CROSS-EXAMINATION BY

15 **MR. OBEGI:** Dr. Wilder, on Page 8 of your
16 rebuttal testimony, do you recall the statement that,
17 quote (reading):

18 ". . . Temperature-related mortality of
19 eggs is negligible to overall survival of
20 the winter-run Chinook Salmon population
21 and would not constitute an unreasonable
22 effect to winter-run Chinook Salmon."

23 **WITNESS WILDER:** Yeah, I do remember that.
24 It's in the context of the specific calculation that I
25 made.

1 So if I can just revise that statement by
2 saying that it's expressed this way,
3 temperature-related mortality, et cetera, as you said.

4 **MR. OBEGI:** Mr. Hunt or Miss Raisis, would you
5 please pull up State Water Board 104, which is the
6 Biological Assessment, Appendix 5.C, and it's Page 83
7 of the .pdf file.

8 (Exhibit displayed on screen.)

9 **MR. OBEGI:** If you could scroll down to the
10 lower right corner, I believe it will show the
11 temperatures for the month of September, and it's got
12 temperatures by water year-type.

13 If you'd give me a moment, my screen over here
14 doesn't seem to be working, so I'm going to pull it up
15 on my computer as well.

16 (Pause in proceedings.)

17 **MR. OBEGI:** Dr. Wilder, do you see that? The
18 critical temperatures for the month of September under
19 both the No-Action Alternative and the Proposed Action?

20 **WITNESS WILDER:** I'm sorry. Can we -- Can I
21 see where this is?

22 **MR. OBEGI:** Yeah.

23 Could you scroll out, Mr. Hunt and show the
24 full page?

25 (Scrolling out.)

1 **MR. OBEGI:** This is Table 5.C.7-4 which shows
2 Sacramento River above Clear Creek Confluence Monthly
3 Temperatures.

4 **WITNESS WILDER:** Okay. Thank you.

5 **MR. OBEGI:** And then you see it's by water
6 year-type.

7 And if you scroll over --

8 (Scrolling over.)

9 **MR. OBEGI:** -- it's reporting that the average
10 temperature in the month of September would be
11 62.4 degrees under No-Action and 62.3 degrees under the
12 Proposed Action; is that correct?

13 Do you see that?

14 It's the bottom right line in the bottom right
15 corner there.

16 **WITNESS WILDER:** Yes. For September, and I
17 believe that's critical years, I see 62.4 for NAA and
18 62.3 for the Proposed Action, the PA.

19 **MR. OBEGI:** Do you believe that these types of
20 water temperatures would cause -- would be likely to
21 cause temperature-related mortality of winter-run
22 Chinook Salmon?

23 (Pause in proceedings.)

24 **WITNESS WILDER:** Yes, it's possible.

25 **MR. OBEGI:** And, then, turning to the month of

1 October, which is in the upper left corner of this
2 table --

3 (Scrolling over.)

4 **MR. OBEGI:** -- for critical years, you see
5 where it shows temperatures of 61.3 degrees under the
6 No-Action Alternative and 60.9 degrees under the
7 Proposed Action?

8 **WITNESS WILDER:** Yes.

9 **MR. OBEGI:** And do you believe that that --
10 those types of water temperatures would cause -- would
11 be likely to cause temperature-related mortality of
12 winter-run Chinook Salmon?

13 **WITNESS WILDER:** Again, yes, it's possible.

14 **MR. OBEGI:** Do you believe it's likely?

15 **WITNESS WILDER:** It's -- It's possible and
16 likely.

17 **MR. OBEGI:** Does it exceed the temperature
18 thresholds that NMFS has determined are protective of
19 winter-run Chinook Salmon?

20 **WITNESS WILDER:** Yes, under the NAA and the
21 PA, it does.

22 **MR. OBEGI:** And do you recall what those
23 temperature thresholds would be under NMFS -- that NMFS
24 has determined are protective?

25 **WITNESS WILDER:** It depends on which --

1 whether that's recent or in the past, but approximately
2 56 degrees Fahrenheit was the -- was the value.

3 **MR. OBEGI:** And that was the -- the standard
4 prior to the 2017 Revised Draft Shasta RPA; isn't that
5 correct?

6 **WITNESS WILDER:** Yes, that's correct.

7 **MR. OBEGI:** And the more recent Draft RPA
8 identified a lower water temperature that would be
9 protective of winter-run Chinook Salmon?

10 **WITNESS WILDER:** Yes. The Draft Proposed RPA
11 modification shows a lower value, approximately
12 3 degrees, I believe, lower.

13 **MR. OBEGI:** And so this would be several
14 degrees higher than either the older temperature
15 threshold or the lower more protective temperature
16 threshold that NMFS is identifying; correct?

17 **CO-HEARING OFFICER DODUC:** Hold on --

18 **MR. BERLINER:** Objection.

19 **CO-HEARING OFFICER DODUC:** -- please.

20 **MR. BERLINER:** Objection: Vague in terms of
21 use of the -- of the initial part of the sentence
22 line, "and so this would be several degrees." There's
23 no references as to what we're talking about so I'd ask
24 Mr. Wood (sic) if he could be more specific, please.

25 **CO-HEARING OFFICER DODUC:** Are we -- I'm

1 sorry.

2 Are we still on the 61.3 and 60.9?

3 **MR. OBEGI:** Sure.

4 **MR. BERLINER:** Thanks.

5 **WITNESS WILDER:** Sorry. Could you repeat that
6 question? There was one . . .

7 **MR. OBEGI:** I believe the question was: And
8 isn't it true that these temperatures shown for the
9 month of September are several degrees higher than the
10 temperature thresholds that NMFS has identified as
11 protective?

12 **CO-HEARING OFFICER DODUC:** And so you're going
13 back to September now, not October.

14 **MR. OBEGI:** We can stick with October.

15 **WITNESS WILDER:** So, yes, under both the NAA
16 and the PA, they are a couple degrees higher.

17 **MR. OBEGI:** And this table shows that those
18 kinds of temperatures would occur in approximately
19 15 percent of years that have been identified as
20 critical water year-types?

21 **WITNESS WILDER:** I'm not sure exactly what you
22 mean.

23 But the temperatures are 61.3 and 60.9 under
24 the NAA and the PA, which is in critical years, which
25 are 15 percent of -- of modeled years in the -- in the

1 period of record here.

2 **MR. OBEGI:** So in 15 percent of the years, the
3 temperatures would exceed the protective thresholds
4 that NMFS has identified.

5 Yes?

6 **WITNESS WILDER:** The -- The model outputs here
7 are for 15 percent of the years showing exceedance of
8 the NMFS -- the temperatures in the Draft Proposed RPA.

9 **MR. OBEGI:** And, Mr. Hunt, would you please
10 pull up State Water Board 106, which is the NMFS
11 WaterFix Biological Opinion, and turn to Page 908 of
12 the .pdf.

13 (Pause in proceedings.)

14 **MR. OBEGI:** Not in the appendix, but if you
15 scroll up just a little bit.

16 (Scrolling on website.)

17 **MR. OBEGI:** That's it.

18 (Exhibit displayed on screen.)

19 **MR. OBEGI:** And Page 908.

20 (Exhibit displayed on screen.)

21 **MR. OBEGI:** Yes.

22 So this is a table showing the summary of
23 environmental baseline and cumulative effects plus
24 WaterFix on winter-run Chinook Salmon.

25 And if you look at the magnitude of the

1 overall effect, doesn't it show that, quote -- that
2 upstream water temperatures have a, quote (reading):

3 "High-temperature effects place a
4 high magnitude stress on the species and
5 accounts for a large amount of
6 mortality."

7 Did you consider this --

8 **CO-HEARING OFFICER DODUC:** Hold on. Hold on.
9 Mr. Berliner?

10 **MR. BERLINER:** I'm sorry. I'm a little lost.
11 Could Mr. Obegi direct us as to where on the chart
12 you're looking?

13 **MR. OBEGI:** Certainly.

14 So the first row that's Numbered 2.5.1.2.1,
15 and on the far right side, NMFS is summarizing the
16 magnitude of the effects -- of the overall effects the
17 Proposed Action plus baseline plus cumulative effects.

18 **CO-HEARING OFFICER DODUC:** Hold on a second.
19 Miss Nikkel.

20 **MS. NIKKEL:** Good morning. Meredith Nikkel on
21 behalf of the Sacramento Valley Group of Protestants.

22 I'd like to lodge an objection that the line
23 of questioning that Mr. Obegi is going through seems to
24 be outside the scope of Dr. Wilder's rebuttal testimony
25 as well as really outside the scope of the key issues

1 for this hearing, because it has to do with effects in
2 the NAA that Dr. Wilder has identified, as well as
3 baseline effects and cumulative effects that are not
4 relevant to the Project and the impacts of the Project
5 itself.

6 **CO-HEARING OFFICER DODUC:** Mr. Obegi.

7 **MR. OBEGI:** I believe the Hearing Officers
8 have repeatedly ruled that the baseline conditions and
9 the reasonable protection of fish and wildlife under
10 those baseline conditions are an issue at this hearing.

11 Miss -- Dr. Wilder's testimony repeatedly
12 talks about the effects of water temperatures on
13 Salmon, including winter-run Chinook Salmon, both the
14 assertion I quoted before, as well as a statement on
15 Page 2 and on Page 7, that CWF would provide reasonable
16 protection of upstream life stages of Salmonids.

17 He's opened this line of questioning and I
18 think it's fair to pursue it.

19 **CO-HEARING OFFICER DODUC:** Mr. Mizell.

20 **MR. MIZELL:** Yeah. I'd like to direct the
21 Board to the fact that Dr. Wilder's testimony goes to
22 the differential between the No-Action Alternative and
23 the California WaterFix. His rebuttal testimony does
24 not go to baseline conditions.

25 So the appropriate column to focus in this

1 table would be the magnitude of the BA effect, not the
2 baseline and cumulative effects.

3 So we would concur with Miss Nikkel's
4 objection.

5 **CO-HEARING OFFICER DODUC:** Sustained.

6 **MR. OBEGI:** I'd like to request
7 reconsideration.

8 In order to understand whether the effects of
9 the Proposed Action cause an unreasonable effect on
10 fish and wildlife, you have to know whether the
11 baseline conditions cause an unreasonable effect on
12 fish and wildlife. You can't look at it in isolation
13 without understanding those baseline conditions.

14 And the Hearing Officers have repeatedly ruled
15 that the questions -- that questions regarding the
16 baseline conditions are at issue at this hearing, and
17 his testimony is not so limited on Page 2 and on
18 Page 7.

19 **CO-HEARING OFFICER DODUC:** Can we see his
20 testimony?

21 (Pause in proceedings.)

22 **MR. OBEGI:** It's 1229.

23 (Exhibit displayed on screen.)

24 **CO-HEARING OFFICER DODUC:** Page number,
25 Mr. Obegi?

1 **MR. OBEGI:** On Page 2, Line 6 is just a
2 blanket statement that (reading):

3 "CWF will provide reasonable
4 protection of upstream life stages of
5 Salmonids."

6 Summarizing his opinion.

7 The same header on Page 7, Line 9.

8 (Pause in proceedings.)

9 **CO-HEARING OFFICER DODUC:** What I'm struggling
10 with here, Mr. Obegi, is -- and we had some discussions
11 of this when Mr. Bezerra and others were conducting
12 cross-examination -- is, I'm trying to keep the scope
13 narrow so that we do not revisit everything that should
14 have already been discussed as part of
15 cross-examination during the case in chief.

16 And so while it is -- it is -- there are
17 general statements in rebuttal testimony, it does not
18 mean that that automatically opens the door to go back
19 and revisit previous discussion issues.

20 So, I put the onus on Mr. Bezerra and now you
21 to show a clear demonstration of linkage between the
22 line of questioning and the specific rebuttal testimony
23 of Dr. Wilder, which is why I'm looking for these
24 passages.

25 So you are referring to general statements.

1 **MR. OBEGI:** Correct. The general statements
2 in his testimony.

3 **CO-HEARING OFFICER DODUC:** All right. Why
4 don't we --

5 **MR. MIZELL:** If --

6 **CO-HEARING OFFICER DODUC:** I'm sorry.

7 **MR. MIZELL:** If I might respond.

8 **CO-HEARING OFFICER DODUC:** Mr. Mizell.

9 **MR. MIZELL:** The header is as Mr. Obegi just
10 read it. However, if you look at the content of the
11 section under that header, for instance, Page 8, focus
12 you on Lines 9 through --

13 **CO-HEARING OFFICER DODUC:** Are you on Page 8?
14 I'm sorry.

15 (Exhibit displayed on screen.)

16 **MR. MIZELL:** Nine on Page 8.

17 **CO-HEARING OFFICER DODUC:** Are we going on
18 somewhere?

19 **MR. MIZELL:** Lines 9 through 11, you can see
20 this is one example, but it's quite clear that
21 Dr. Wilder's testimony --

22 **CO-HEARING OFFICER DODUC:** Is focused on the
23 difference.

24 **MR. MIZELL:** -- is focused on the difference,
25 exactly.

1 **CO-HEARING OFFICER DODUC:** Anything else to
2 add?

3 Why don't we take this under consideration and
4 discuss it very briefly.

5 We should be back no later than five minutes
6 from now.

7 (Recess taken at 9:47 a.m.)

8 (Proceedings resumed at 9:52 a.m.:)

9 **CO-HEARING OFFICER DODUC:** All right. We are
10 back. Thank you for bearing with us.

11 After discussion, the objection is sustained.

12 We recognize, Mr. Obegi, that existing
13 conditions and analysis of existing condition is
14 important, that it's not just the difference that
15 should be considered.

16 However, conducting cross-examination of
17 rebuttal testimony just on the basis of the header in
18 the testimony is not appropriate. It's outside the
19 scope.

20 If you want to focus on the actual arguments
21 made under -- in the rebuttal testimony itself, then
22 that would be appropriate.

23 **MR. OBEGI:** Thank you.

24 Mr. Hunt, would you please turn to Page 8 of
25 Dr. Wilder's testimony.

1 (Exhibit displayed on screen.)

2 **MR. OBEGI:** And on Lines 1 through, really,
3 this whole page.

4 Dr. Wilder, are you presenting results under
5 both the No-Action Alternative and the Proposed Action,
6 the Salmonid results of egg-related mortality of --
7 excuse me -- of temperature-dependent mortality of
8 winter-run Chinook Salmon eggs?

9 **WITNESS WILDER:** Yes, that's correct, so that
10 I could do a differential analysis.

11 **MR. OBEGI:** So you are looking at both the
12 temperature-dependent -- the temperature-related
13 mortality under the No-Action Alternative here.

14 **WITNESS WILDER:** Only with respect to the
15 difference between the No-Action Alternative and the
16 Proposed Action.

17 **MR. OBEGI:** But in order to get at that
18 difference, you then have to look at what the absolute
19 value results were; correct?

20 **MR. MIZELL:** Objection: Asked and answered.

21 **CO-HEARING OFFICER DODUC:** Answer again,
22 please.

23 **WITNESS WILDER:** I need to look at the values
24 so that I can calculate the difference, yes.

25 **MR. OBEGI:** And are these Salmonid results

1 similar to the results that are seen in other
2 temperature models?

3 **MR. BERLINER:** Objection: Relevance.

4 **CO-HEARING OFFICER DODUC:** Mr. Obegi.

5 **MR. OBEGI:** I'm attempting to show that the
6 results presented here are inconsistent with the
7 results that NMFS has concluded in its Biological
8 Opinion and then ask whether his opinion is -- whether
9 he considered the NMFS Biological Opinion in preparing
10 his rebuttal testimony.

11 **CO-HEARING OFFICER DODUC:** Sounds relevant,
12 Mr. Berliner.

13 **MR. BERLINER:** Well, I think that's -- If he
14 wants to ask that question, I think that's fine.
15 That's a little different question.

16 **MR. OBEGI:** I thought I was laying the
17 foundation.

18 **CO-HEARING OFFICER DODUC:** All right.
19 So, do you want to answer the direct question
20 that --

21 **WITNESS WILDER:** Sure.

22 **CO-HEARING OFFICER DODUC:** -- Mr. Obegi just
23 asked you, Dr. Wilder?

24 **WITNESS WILDER:** Yes. There are -- There is
25 some variation in the results that we see in the

1 various temperature analyses we conduct, which is why
2 we rely on a weight of evidence approach.

3 **MR. OBEGI:** And, so, here -- and, so, when
4 NMFS concluded that there was significant
5 temperature-dependent mortality on winter-run Chinook
6 Salmon, did you consider that in preparing your
7 testimony?

8 **WITNESS WILDER:** Can you show me where they
9 say there's significant temperature-related mortality?

10 **MR. OBEGI:** I would be happy to.

11 Would you -- Mr. Hunt, would you please pull
12 up . . . State Water Board Exhibit 106 and turning to
13 Page 908 of the .pdf.

14 (Exhibit displayed on screen.)

15 **MR. OBEGI:** And looking at the far right
16 column, doesn't it show that NMFS concluded that
17 (reading):

18 ". . . Temperature effects place a high
19 magnitude stress on the species and
20 accounts for a large amount of
21 mortality."

22 **WITNESS WILDER:** This -- This isn't the column
23 that -- that I analyzed.

24 Excuse me. This is not the effect shown in
25 this column that I analyzed for my analysis.

1 **MR. OBEGI:** And now that you've seen this
2 conclusion from NMFS, does that change your conclusions
3 regarding the effects of WaterFix?

4 **CO-HEARING OFFICER DODUC:** Mr. Mizell.

5 **MR. MIZELL:** Objection: Beyond the scope of
6 his rebuttal testimony.

7 **CO-HEARING OFFICER DODUC:** Mr. Obegi, he has
8 testified he didn't con -- Oh, he didn't conduct this
9 analysis.

10 **MR. OBEGI:** And he -- I believe he testified
11 that he didn't consider this -- this analysis, and I'm
12 now asking whether this analysis changes his conclusion
13 in his rebuttal testimony.

14 **CO-HEARING OFFICER DODUC:** And, Dr. Wilder,
15 are you familiar enough to answer that question?

16 **WITNESS WILDER:** Again, I focused on -- if you
17 go over a couple columns -- the magnitude of the PA
18 effect, which shows low to no effect, which is
19 consistent with my conclusions.

20 **MR. OBEGI:** So your conclusions only looked at
21 the comparison between the No-Action Alternative and
22 the Proposed Action?

23 **WITNESS WILDER:** Yes, that's correct.

24 **MR. OBEGI:** And that's true throughout your
25 rebuttal testimony?

1 (Pause in proceedings.)

2 **WITNESS WILDER:** Yes, it is.

3 **MR. OBEGI:** And, so, to the extent that the
4 No-Action Alternative does not provide reasonable
5 protection of fish and wildlife, that would change your
6 opinion regarding whether the Proposed Action provides
7 reasonable protection of fish and wildlife; correct?

8 **MR. MIZELL:** Objection: Misstates the
9 witness' testimony.

10 **CO-HEARING OFFICER DODUC:** Let's unpack that,
11 Mr. Obegi.

12 **MR. OBEGI:** Dr. Wilder, you've -- you've
13 testified in rebuttal testimony that -- that the
14 Proposed Action would provide reasonable protection for
15 upstream life stages of Salmonids; correct?

16 **WITNESS WILDER:** Yes, that's correct.

17 **MR. OBEGI:** And that's based on a comparison
18 to -- between the Proposed Action and the No-Action
19 Alternative.

20 **WITNESS WILDER:** That's correct.

21 **MR. OBEGI:** So, then, is it your testimony
22 that the No-Action Alternative also provides reasonable
23 protection of fish and wildlife?

24 **MR. MIZELL:** Again, objection: Goes beyond
25 the scope of his rebuttal testimony.

1 At this point, the questioning is attempting
2 to get Dr. Wilder to opine on existing conditions
3 that's not within his rebuttal testimony. And we have
4 a panel coming up on Panel 3 where we provide
5 Biologists who will discuss existing conditions.

6 **CO-HEARING OFFICER DODUC:** Sustained.

7 **MR. OBEGI:** All right. I'm done with this
8 witness.

9 I'd like to ask a couple questions of
10 Miss Parker.

11 Are you aware that Reclamation agreed earlier
12 to use the adaptive management provisions to revise the
13 Shasta RPA element of the 2009 NMFS Biological Opinion?

14 **MS. AUFDEMBERGE:** Objection: Outside the
15 scope of her rebuttal testimony.

16 **CO-HEARING OFFICER DODUC:** I'm sorry. What
17 was the question again?

18 **MR. OBEGI:** The question was if she was aware
19 that Reclamation has previously agreed to use the
20 adaptive management provisions to revise the Shasta RPA
21 in the 2009 Biological Opinion.

22 **CO-HEARING OFFICER DODUC:** And why is that
23 outside the scope of her testimony?

24 **MS. AUFDEMBERGE:** She doesn't talk about other
25 instances when there might be an opportunity to use the

1 adaptive management provisions in the Biological
2 Opinion. She only talks about this specific Draft RPA.

3 **MR. OBEGI:** If I could turn to Page 1 (sic) of
4 her testimony, in the second paragraph, it says, quote
5 (reading):

6 "Reclamation has not agreed with
7 NMFS that the 2009 Biological Opinion RPA
8 for Shasta can or should be revised as
9 set forth in the NMFS DPA through the
10 adaptive management provisions in the
11 BO."

12 **CO-HEARING OFFICER DODUC:** Overruled.

13 **WITNESS PARKER:** I'm sorry. Could you direct
14 me to the paragraph that you're reading from?

15 **MR. OBEGI:** Yes. It's in the -- If we could
16 pull up Miss Parker's testimony, which is DOI --

17 **WITNESS PARKER:** 43.

18 **MR. OBEGI:** -- 43.

19 (Exhibit displayed on screen.)

20 **MR. OBEGI:** And scroll down to the next page.

21 (Scrolling through document.)

22 **MR. OBEGI:** In the second paragraph, the third
23 sentence, beginning with the words "Reclamation has not
24 agreed."

25 (Pause in proceedings.)

1 **WITNESS PARKER:** So I -- I think the statement
2 here gets at, we have not agreed with NMFS that the
3 2009 Biological Opinion RPA for Shasta should be
4 revised as set forth in the Draft Proposed Amendment
5 through the adaptive management provisions in the
6 Biological Opinion.

7 That doesn't mean that other adaptive
8 management provisions would not be applicable should
9 Reclamation be consulting with National Marine
10 Fisheries on this matter.

11 **MR. OBEGI:** So, is it your testimony that in
12 2 -- in the year 2016, Reclamation did not agree to use
13 the adaptive management provisions to revise the Shasta
14 RPA?

15 **MS. AUFDEMBERGE:** Objection: Again, she has a
16 factual sentence in here about Reclamation not agreeing
17 about the specific Draft Amended RPA for 2017. It's
18 not an open door to talk about other instances of
19 adaptive management in the Biological Opinion.

20 **CO-HEARING OFFICER DODUC:** Mr. Obegi.

21 **MR. OBEGI:** I'm asking about the same, not a
22 different, element or different instance of adaptive
23 management.

24 I'm trying to get at the distinction between
25 whether Reclamation does not agree with the specifics

1 of the Draft Reasonable and Prudent Alternative, or
2 whether they never agreed to modify the Reasonable and
3 Prudent Alternative through the adaptive management
4 provisions.

5 **CO-HEARING OFFICER DODUC:** Ah. Overruled.

6 **WITNESS PARKER:** Sorry. If my testimony was
7 not clear, I was specifically referring to the 2017
8 Draft Proposed Amendment to the Shasta RPA and stating
9 that Reclamation had not agreed with NMFS to accept
10 that draft -- 2017 Draft Proposed Amendment through the
11 adaptive management process. I'm not familiar with any
12 2016 processes.

13 **MR. OBEGI:** So you're not familiar with the
14 process that led to the 2017 Draft RPA?

15 **WITNESS PARKER:** Not intimately, no. I'm a
16 River Systems Modeler not, a Biologist or a policy
17 person.

18 **MR. OBEGI:** And has Reclamation agreed that it
19 will not implement the Draft -- 2017 Draft Reasonable
20 and Prudent Alternative?

21 **WITNESS PARKER:** Can you say that question one
22 more time?

23 **MR. OBEGI:** Has Reclamation determined that it
24 will not accept and implement the 2017 revised Draft
25 Shasta RPA?

1 **WITNESS PARKER:** To my understanding,
2 Reclamation is not currently operating to meet that
3 Draft Proposed Amendment with the concurrence of
4 National Marine Fisheries Service.

5 **MR. OBEGI:** And are you aware that the NMFS
6 WaterFix Biological Opinion assumes that the --
7 something like the 2017 Revised Draft Shasta RPA will
8 be implemented?

9 **MR. BERLINER:** Objection: Relevance.
10 We're -- This is speculation at this point and
11 it goes beyond the witness' testimony.

12 **CO-HEARING OFFICER DODUC:** Mr. Obegi.

13 **MR. OBEGI:** The witness' -- The witness
14 testified at length regarding the feasibility of
15 meeting the Shasta -- Revised Draft Shasta RPA and I'm
16 trying to understand what -- whether Reclamation is not
17 going to implement it as they have done with other
18 regulatory standards.

19 She also raises in her testimony compliance
20 with regulatory standards, which is something I plan to
21 follow up on.

22 **CO-HEARING OFFICER DODUC:** Overruled.

23 **WITNESS PARKER:** I'm sorry. Could you repeat
24 the question one more time?

25 **MR. OBEGI:** Sure.

1 Are you aware that the NMFS WaterFix
2 Biological Opinion assumes that something like the 2017
3 Revised Draft Shasta RPA will be implemented?

4 **MS. AUFDEMBERGE:** Objection: Vague.
5 "Something like."

6 **CO-HEARING OFFICER DODUC:** Strike "something
7 like" and answer that question, Miss Parker.

8 **WITNESS PARKER:** I am not familiar with that
9 section of the NMFS Biological Opinion for the
10 WaterFix.

11 **MR. OBEGI:** Thank you.

12 **CO-HEARING OFFICER DODUC:** Mr. Obegi, I'm
13 wondering if perhaps Miss White could answer these
14 questions.

15 **MR. OBEGI:** I'm happy to defer to her if she's
16 able to.

17 **WITNESS WHITE:** I'm not familiar with the
18 specific language that says that in the NMFS Biological
19 Opinion.

20 **MR. OBEGI:** So let's turn to the modeling
21 results.

22 In your rebuttal testimony, you present some
23 results of modeling to implementation of the 2017
24 Revised Draft Shasta RPA; is that correct?

25 **WITNESS PARKER:** I present the results of some

1 analysis. I -- Some people might not call it modeling,
2 but I performed the analysis.

3 **MR. OBEGI:** Okay. What were the assumptions
4 in that analysis regarding CVP water allocations and
5 deliveries?

6 **WITNESS PARKER:** So, there was a couple
7 different sections of my analysis.

8 For the perspective of Spring Fill, I did not
9 use any assumptions for CVP allocation at all. That
10 was a purely hydrological exercise using historical
11 hydrology and an assumed minimal release from Shasta.

12 So, for the May-through-September perspective,
13 I used results from the Petitioners' No-Action
14 Alternative modeling, and there is a range of CVP
15 allocations impli -- implied in that analysis that are
16 results of that analysis.

17 **MR. OBEGI:** And that was for the September
18 carryover storage analysis?

19 **WITNESS PARKER:** Yes.

20 **MR. OBEGI:** And so you did assume the
21 historical CVP allocations in that historical analysis.

22 **WITNESS PARKER:** No, not historical. These
23 are results from the No-Action Alternative that
24 calculate for a given water supply and given a
25 consistent level of demand throughout the -- throughout

1 California, what the allocations would be for certain
2 assumptions of water supply and regulatory criteria.
3 So it does not coincide with historical.

4 **MR. OBEGI:** I think I understand that.

5 Did it -- Did your analysis make the water
6 deliveries to CVP Contractors prior to trying to meet
7 the carryover storage targets?

8 **WITNESS PARKER:** So, my analysis just used the
9 results of the model. It did not change anything about
10 those results.

11 So, for example, if you start in May of any
12 given year, and the results in my table were for 27
13 specific years but there's 82 altogether. An
14 allocation is calculated by the model for CVP -- an
15 allocation -- A CVP allocation is calculated by the
16 model.

17 What my analysis looked at was, where the
18 spring criteria was met and the fall criteria was not,
19 what were the reasons for missing that criteria and
20 looking at what controlled CVP operations during the
21 summer months.

22 And then there was one column of my analysis
23 that indicated a potential . . . minimal -- the -- a --
24 a seasonal effect on delivery. Would that carryover
25 storage criteria have been met?

1 Does that make sense?

2 **MR. OBEGI:** I think I understand.

3 Just to make sure I understand:

4 So, to the extent that the storage targets --
5 meeting the storage targets would be -- would follow
6 after the deliveries were made in the model.

7 **WITNESS PARKER:** So, yes. If you start in May
8 and you operate the system through September, in
9 CalSim, we do make CVP deliveries.

10 So, during that operation, May, June, July,
11 August, September, deliveries have been made to a range
12 of CVP water users, both senior water rights and CVP
13 Service Contractors throughout the -- the system.

14 However, by however much the end-of-September
15 criteria was missed is one seasonal look at the impact
16 to delivery, assuming that we would not . . . that we
17 would continue to meet regulatory criteria if the
18 entire balance of the responsibility for meeting that
19 September criteria fell on delivery in that
20 May-through-September period, that one column in my
21 table would express by how much delivery would need to
22 be cut.

23 **MR. OBEGI:** Can we pull up your testimony,
24 just so we're looking at it as we walk through this?
25 Because I have to admit I find this rather confusing.

1 (Exhibit displayed on screen.)

2 **WITNESS PARKER:** I'd be happy to explain.

3 **MR. OBEGI:** So I think if we turn to the . . .
4 I'll get the right page for you.

5 **WITNESS PARKER:** It's Table 3 on Page 12.

6 **MR. OBEGI:** Um-hmm.

7 (Exhibit displayed on screen.)

8 **MR. OBEGI:** So, part of my confusion when I
9 look at this table is, you're showing how much you
10 missed the spring -- missed the September target by.

11 Is that how much the deliveries by the CVP
12 would have to be reduced to meet the storage target?

13 **WITNESS PARKER:** I would say that deliveries
14 would have to be reduced by as -- at least that amount,
15 because in order to miss those deliveries, there are
16 other deliveries that happened prior to May and
17 throughout the rest of the season, specifically M&I
18 deliveries or refuge deliveries, that aren't contained
19 within that.

20 So, if an overall allocation needs to target
21 that reduction, then more deliveries, the size of those
22 would need to be foregone.

23 **MR. OBEGI:** Potentially.

24 **WITNESS PARKER:** And I -- And I addressed that
25 specifically in my written testimony as well.

1 **MR. OBEGI:** So if other CVP deliveries were
2 reduced, you would have higher storage in the fall than
3 what is shown when you say "missed the September target
4 by."

5 **WITNESS PARKER:** Um . . . Possibly, yes.

6 **MR. OBEGI:** Thank you.

7 And in your testimony, you assert that . . .
8 Strike that.

9 In this table, you show that you -- that the
10 September carryover storage target would be missed in
11 many of these years that were analyzed.

12 Was carryover storage higher with the
13 Shasta -- the 2017 Shasta RPA than it was without it in
14 many of those years?

15 **WITNESS PARKER:** I did not specifically model
16 the draft Proposed Amended Shasta RPA.

17 In -- This study is the -- is Petitioners'
18 No-Action Alternative.

19 I want to point out that these results are
20 only a summary of when the spring criteria was met and
21 the fall criteria was not.

22 And as I pointed out in my testimony, these
23 are largely above-normal and wet years. The model
24 struggles -- or the system struggles far more in
25 below-normal, dry and critical years when the spring

1 criteria is -- is not met, and there would be way more
2 substantial -- far more substantial impacts to delivery
3 of trying to meet September carryover in those years
4 beyond what we're seeing in this table.

5 But, then, to answer your specific question,
6 the model does not have within it any carryover storage
7 targets at all.

8 We're not modeling the Draft Shasta RPA. I'm
9 just picking information about a simulated operation of
10 the CVP and examining that for the operational reality
11 of trying to meet that criteria.

12 **MR. OBEGI:** Thank you.

13 And you -- You do assert in your testimony
14 that this could -- implement -- implementation of the
15 2017 Revised Shasta RPA Draft could impact water
16 deliveries to senior water rights holders?

17 **WITNESS PARKER:** Yes.

18 **MR. OBEGI:** Does that include the Sacramento
19 River Settlement Contractors?

20 **WITNESS PARKER:** Yes.

21 **MR. OBEGI:** Is it likely that it would impact
22 the water supply for those Settlement Contractors?

23 **WITNESS PARKER:** Yes.

24 **MR. OBEGI:** And would it change the timing of
25 diversions by the Sacramento River Settlement

1 Contractors?

2 **WITNESS PARKER:** I have not analyzed that. I
3 don't know.

4 **MR. OBEGI:** Okay.

5 (Pause in proceedings.)

6 **MR. OBEGI:** Is it your opinion that carryover
7 storage in Shasta Reservoir currently -- Or -- Strike
8 that.

9 As you've described, you're just looking at
10 modeling of the No-Action Alternative; correct?

11 **WITNESS PARKER:** Yes.

12 **MR. OBEGI:** Is it your opinion that carryover
13 storage in Shasta Dam is adequate under the No-Action
14 Alternative?

15 **MS. AUFDEMBERGE:** Objection: Beyond the scope
16 of Miss Parker's testimony.

17 **MR. OBEGI:** She just testified that she's
18 presenting the results of modeling of the No-Action
19 Alternative and asserting that it is infeasible to do
20 so.

21 And I'm trying to understand whether
22 increasing storage -- I'm trying to understand whether
23 the existing No-Action Alternative model results that
24 she's presented provide adequate carryover storage.

25 **CO-HEARING OFFICER DODUC:** Overruled.

1 **WITNESS PARKER:** So, the No-Action Alternative
2 is not a reflection of how Reclamation and DWR
3 currently operate. It is a model of how the Projects
4 would meet the full obligations of the regulatory
5 criteria.

6 It is not a historical operations perspective
7 of how we have operated storage facilities to meet
8 biological and regulatory and water supply obligations.

9 So, no, it does not reflect how Reclamation
10 actually operates. We discussed this at length, that
11 the criteria -- or that Recla -- the model shows
12 reservoirs drawn to dead pool in order to meet
13 regulatory criteria, and Reclamation has not operated
14 like that under the current regulatory environment.

15 **MR. OBEGI:** And does . . . Has Reclamation
16 or -- Has Reclamation modeled the effects of
17 actually -- of the historical operations?

18 **WITNESS PARKER:** Yes, we have.

19 **MR. OBEGI:** And that would include things like
20 weakening or waiving Delta outflow requirements?

21 **MR. MIZELL:** Objection: We're going down a
22 line of questioning about modeling that was not
23 presented in her testimony.

24 **MR. OBEGI:** She just raised this issue by
25 asserting that the No-Action Alternative is not how

1 Reclamation operates. And I believe that that raises
2 significant questions about the modeling underpinning
3 the entire of -- entirety of her rebuttal testimony.

4 **CO-HEARING OFFICER DODUC:** Miss Parker, please
5 explain again the basis for your statement that the
6 No-Action Alternative is not reflective of current
7 operations.

8 **WITNESS PARKER:** Yeah. I'm sorry. I can
9 understand why that's alarming.

10 So, there -- The -- The specific exact
11 criteria for D-1641 for OMR or the San Joaquin River,
12 i.e., inflow-to-export criteria, criteria such as that,
13 those are explicitly represented in the model, and the
14 model very faithfully adheres to that. And I should
15 include COA as well.

16 So, all of those regulatory criteria are --
17 are . . . the -- the highest priorities in the model.

18 In addition to that, there are water supply
19 obligations. We have demands to a range of different
20 kind of Contractors. And if Reclamation allocations --
21 So, if water supply is not sufficient to have any
22 allocation to CVP Service Contractors, those are zeroed
23 out. That's fine.

24 But -- But there is no provision in the model
25 to reduce allocations to senior water right holders, to

1 Settlement Contractors, or to Exchange Contractors, or
2 to Refuge Centers.

3 So, in order to meet all of those
4 hard-and-fast criteria that -- that are the
5 responsibility of the Project, and especially under a
6 climate change scenario which includes some sea-level
7 rise, if there is not enough water to meet all of those
8 criteria, it has to come from somewhere, and it comes
9 out of storage.

10 And if, in order to do that, we reduce
11 reservoir storage below where we have historically
12 operated, that is simply an indicator in model results
13 that the water supply situation is highly stressed.
14 And that's what we've talked about a number of
15 different times.

16 In recent historical operations, there have
17 been extraordinary measures taken in -- under
18 extraordinary water supply conditions that have -- you
19 know, where there have been TUCPs, reductions to senior
20 water rights and other measures I may not be aware of
21 as well.

22 So, that would be an historical perspective
23 on -- on operations or on modeling, whereas for a
24 consistent approach to a number of studies, most
25 studies that have been performed have used the full

1 obligation perspective, not the historical operations
2 perspective.

3 Does that make sense?

4 **CO-HEARING OFFICER DODUC:** And that, in your
5 opinion -- or your testimony, accounts for the
6 difference in the modeling and in practice.

7 **WITNESS PARKER:** Well, so Mr. Obegi's question
8 was, does the No-Action Alternative reflect how
9 Reclamation would operate storage, or something to that
10 effect.

11 And so, no, we do not pull Shasta to 550, we
12 don't pull Shasta (sic) to 90, we don't pull Trinity to
13 40. Those are dead pool assumptions.

14 And once we get to those levels in CalSim, we
15 actually have shortages for meeting senior water rights
16 first and then -- and then it would come out of
17 regulations.

18 But -- So, Mr. Obegi's question was, does the
19 No-Action represent historical operations or how
20 Reclamation currently operates? So, in that context,
21 the answer is no.

22 But for water years other than dire critical
23 conditions, it's reasonably reflective of a water
24 supply reliability depiction of model operations
25 between the State Water Project and the CVP.

1 **MS. AUFDEMBERGE:** Objection: At this point,
2 we are going further and further afield from her
3 rebuttal testimony.

4 What Mr. Obegi is trying to get at is the
5 existing condition for storage, much like the existing
6 condition for fish. And we're overlooking the main
7 point of Miss Parker's testimony, and that is that
8 there is no meaningful difference in storage at Shasta
9 caused by the WaterFix.

10 **CO-HEARING OFFICER DODUC:** Is that --

11 **MR. OBEGI:** I can --

12 **CO-HEARING OFFICER DODUC:** Who else is going
13 to -- Oh. No other microphone is on.

14 All right. Mr. Obegi.

15 **MR. OBEGI:** Withdraw the question.

16 **CO-HEARING OFFICER DODUC:** Okay.

17 **MR. OBEGI:** I'd like to turn to -- on Page 1
18 in the third paragraph of your testimony --

19 (Exhibit displayed on screen.)

20 **MR. OBEGI:** -- you assert that, quote
21 (reading):

22 "Furthermore, Reclamation operates
23 CVP facilities in a fully integrated
24 manner, and flexibility is key to
25 achieving the multiple purposes of the

1 CVP, including it's regulatory
2 obligations."

3 Do you see that -- that line in your
4 testimony?

5 **WITNESS PARKER:** I do.

6 **MR. OBEGI:** Is it your understanding that
7 Reclamation has fully met its regulatory obligations in
8 recent years?

9 **MS. AUFDEMBERGE:** Objection: Beyond the scope
10 of this testimony.

11 That is not the point of this sentence.

12 **CO-HEARING OFFICER DODUC:** I'm sorry. Could
13 you point me to the sentence again?

14 **MR. OBEGI:** It's on Page 1. Scroll down below
15 the bullet points. The sentence beginning with the
16 word "furthermore."

17 **CO-HEARING OFFICER DODUC:** All right. And
18 your question, Mr. Obegi, is?

19 **MR. OBEGI:** Whether Reclamation has fully met
20 its regulatory obligations in recent years.

21 **MS. AUFDEMBERGE:** Miss Parker's testimony is
22 about -- in a response to Protestant proposals for
23 storage and release restrictions on single CVP
24 reservoirs. And this sentence goes to that, not to
25 compliance in any shape or form, which I might add

1 would also be -- call for a legal conclusion.

2 **CO-HEARING OFFICER DODUC:** Well, the statement
3 does say "achieving for multiple purposes, including
4 regulatory obligations."

5 **MR. BERLINER:** If I could be -- could join in
6 that objection as well.

7 The sentence speaks in terms of the
8 flexibility of the Project to meet multiple purposes,
9 one of which is regulatory obligations.

10 **CO-HEARING OFFICER DODUC:** Correct.

11 **MR. BERLINER:** There are others.

12 It does not speak to whether or not there's
13 been compliance with regulatory obligations, which is
14 an entirely different subject.

15 **CO-HEARING OFFICER DODUC:** All right.

16 **MR. OBEGI:** I believe the history of whether
17 they have achieved regulatory obligations is relevant
18 to the testimony of whether they will achieve
19 regulatory obligations in the future.

20 **CO-HEARING OFFICER DODUC:** It is, and it has
21 been discussed previously in case in chief as well as
22 cross-examination.

23 I think this is another example of taking us
24 back to something that does not need to be revisited
25 based on one limited statement in her rebuttal

1 testimony.

2 So the objection is sustained.

3 **MR. OBEGI:** All right. We will move on.

4 I believe I'm done with Miss Parker, then.

5 (Pause in proceedings.)

6 **MR. OBEGI:** I have a couple questions for
7 Mr. Chilmakuri.

8 Could we just pull up his testimony, which is
9 DWR-1217.

10 (Exhibit displayed on screen.)

11 **MR. MIZELL:** And I realize that

12 Dr. Chilmakuri's name plate is facing away from
13 Mr. Obegi, so he is a doctor. I know he's not very
14 picky about it, but --

15 **MR. OBEGI:** My apologies. Yes, I've worked
16 with him before and I've never been able to pronounce
17 his last name and now I stand corrected, twice.

18 So, is it correct that, in your -- that you
19 testified that permit conditions relating to the Delta
20 Cross Channel Gates are unnecessary because Cross
21 Channel Gate operations are expected to be consistent
22 with current operations?

23 **WITNESS CHILAMKURI:** Yes, that's correct.

24 **MR. OBEGI:** Does WaterFix require that Delta
25 Cross Channel Gate operations be consistent with

1 current operations in all months in all water
2 year-types?

3 **CO-HEARING OFFICER DODUC:** What do you mean by
4 "does WaterFix require"?

5 **MR. OBEGI:** I mean, is there a . . .
6 operational requirement as part of WaterFix that would
7 actually require this to occur rather than expecting
8 that it would occur?

9 **CO-HEARING OFFICER DODUC:** Okay.

10 **MR. MIZELL:** And I'll object as being beyond
11 the scope of Dr. Chilmakuri's testimony and, frankly,
12 beyond the scope of the hearing.

13 The California WaterFix does not propose any
14 changes to the Delta Cross Channel Gate operations.
15 So, the fact that it is absent from the Proposed
16 Project would place it well beyond the scope of
17 Dr. Chilmakuri's as to whether or not the Delta Cross
18 Channel Gates are required to be operated in any given
19 manner. It's not part of the Project Description.

20 **CO-HEARING OFFICER DODUC:** Where are you going
21 with this, Mr. Obegi?

22 **MR. OBEGI:** Two places:

23 One, I want to understand whether there's any
24 assurance that it actually will -- that DCC Gate
25 operations will be implemented as modeled and as

1 summarized in this rebuttal testimony.

2 And, then, second, he does make an assertion
3 that I believe that needs to be stricken regarding
4 whether the existing regulations adequately address the
5 DCC Gate closure needs.

6 **CO-HEARING OFFICER DODUC:** Overruled,
7 Mr. Mizell.

8 **WITNESS CHILAMKURI:** So, probably the best
9 thing to look at would be DWR-1143 Second Revision.

10 And if you look at our -- the Part 1 of that
11 table under the Adoptive Project Criteria, it clearly
12 states that the Delta Cross Channel operations would
13 continue to meet the existing regulations, which is
14 both D-1641 and the NMFS Biological Opinion.

15 **MR. OBEGI:** And is it your understanding that
16 the Cross Channel Gates fully comply with the
17 requirements of D-1641 during the recent drought?

18 **CO-HEARING OFFICER DODUC:** Is there . . .

19 **MR. BERLINER:** Yes, there is an objection.

20 **CO-HEARING OFFICER DODUC:** And the objection
21 is, Mr. Berliner?

22 **MR. BERLINER:** The objections are multiple:

23 One --

24 **CO-HEARING OFFICER DODUC:** Give me one.

25 **MR. BERLINER:** Calls for a legal conclusion;

1 it's beyond the scope of his testimony.

2 **CO-HEARING OFFICER DODUC:** Sustained.

3 **MR. OBEGI:** In your testimony, you state
4 (reading):

5 "In my opinion the existing
6 regulations adequately address the DCC
7 Gate closure needs . . ."

8 I believe that's on Page 6, Lines 10 to 12.
9 Do you recall that statement?

10 **WITNESS CHILAMKURI:** Actually, it's Line 8,
11 but, yes. Yes, I see that.

12 (Exhibit displayed on screen.)

13 **MR. OBEGI:** What's the scientific basis for
14 that conclusion?

15 **WITNESS CHILAMKURI:** It's -- I -- I was basing
16 that statement on the fact that WaterFix would be
17 required to continue to meet the existing regulations.

18 The real-time operations decision-making
19 process that govern the DCC Gate operations are not
20 proposed to change under WaterFix, and . . .

21 Therefore, it is my opinion that the existing
22 criteria is sufficient enough if those criteria are
23 simple for one -- for whatever purpose they were put
24 together or asked -- the product's being asked to
25 comply with.

1 So, I'm just saying that they -- if they were
2 adequate under No-Action, they are going to be adequate
3 under WaterFix. That's what I'm trying to say there.

4 **MR. OBEGI:** And I'd like to move to strike
5 that line.

6 I don't believe that the witness has the
7 appropriate biological expertise and foundation to make
8 that statement -- make that conclusion.

9 **CO-HEARING OFFICER DODUC:** Response?

10 **MR. BERLINER:** Yes. I believe that goes to
11 the weight of the witness' testimony.

12 **CO-HEARING OFFICER DODUC:** All right. It goes
13 to weight.

14 **MR. OBEGI:** Okay. That's it for
15 Dr. Chilmakuri.

16 And turning to Mr. Reyes to retread a little
17 bit of ground.

18 As a housekeeping matter, first, I believe
19 that DWR-1293 is a PowerPoint presentation of
20 Mr. Reyes' testimony, and the testimony was stricken.

21 I'm not aware that the PowerPoint was
22 stricken, but I believe it should be, and so I'd hereby
23 move that it would be stricken from the evidentiary
24 record since the testimony was disallowed as not
25 responsive.

1 **CO-HEARING OFFICER DODUC:** We'll make a note
2 of that for when Petitioners move their exhibits into
3 the record.

4 **MR. OBEGI:** Thank you.

5 Can we please pull up, Mr. Hunt, DWR-1143
6 Revised 2.

7 (Exhibit displayed on screen.)

8 **MR. OBEGI:** And I would like to ask you some
9 questions about the modeling criteria, particularly Old
10 and Middle River flows.

11 But before we get there . . .

12 At the bottom of this page --

13 (Exhibit displayed on screen.)

14 **MR. OBEGI:** -- it says that . . . DWR
15 disputes, quote (reading):

16 ". . . That all modeling assumptions are
17 appropriate as operating criteria."

18 Do you see that at the bottom of Page 1 of
19 this exhibit?

20 **WITNESS REYES:** Yes, I do.

21 **MR. OBEGI:** Is it -- Do you have a firm
22 understanding of which criteria are modeling
23 assumptions and which are operating criteria?

24 **WITNESS REYES:** I think Mr. Chilamkuri is
25 going to answer.

1 **WITNESS CHILAMKURI:** Do you have a specific
2 question, Mr. Obegi?

3 **MR. OBEGI:** I do have a couple.

4 Is unlimited pulse protection at the North
5 Delta diversions an operating criteria for WaterFix?

6 **WITNESS CHILAMKURI:** Yes.

7 **MR. OBEGI:** And what are the OMR Operational
8 Criteria for WaterFix?

9 **WITNESS CHILAMKURI:** If we go to Page 4 of
10 this exhibit.

11 (Exhibit displayed on screen.)

12 **WITNESS CHILAMKURI:** The Operations Criteria
13 that were adopted were -- and proposed here as part of
14 the operation are stated in bottom row of the table.
15 So that's the operations criteria.

16 **MR. OBEGI:** And what about Footnote 29?

17 **WITNESS CHILAMKURI:** Yes, that's within that.

18 **MR. OBEGI:** That's within the Operational
19 Criteria?

20 **WITNESS CHILAMKURI:** Yes, it is part of the
21 Operations Criteria.

22 **MR. OBEGI:** Is it possible to achieve a
23 three-day running average OMR of 0 cfs or more positive
24 in February of a wet year and at the same time achieve
25 an OMR of -5,000 on a 14-day average?

1 (Pause in proceedings.)

2 **WITNESS CHILAMKURI:** It depends, I guess. I'm
3 not sure. I need more information.

4 And that you're asking me to look at a
5 three-day average and compare to a 14-day average. So
6 I would need more information on that.

7 **MR. OBEGI:** So, for the entire month of
8 February, could you achieve -- could you achieve -5,000
9 OMR on a 14-day average and at the same time for the
10 entire month achieve 0 cfs OMR on a three-day running
11 average?

12 **CO-HEARING OFFICER DODUC:** I believe
13 Miss White has something to say.

14 **WITNESS WHITE:** So, I can't do math in my head
15 that quickly.

16 But I would like to add that Mr. Obe --
17 Mr. Obegi said "wet year," and OMR is driven on the
18 San Joaquin River flows. So you could have a wet year
19 and have a lot of water coming off the San Joaquin
20 that's not necessarily affecting OMR much at all.

21 If the San Joaquin's running dry, then OMR can
22 be heavily affected because when the San~Joaquin's
23 running wet, even if the Sacramento's running dry, then
24 OMR can be much more positive.

25 Hopefully that clarifies.

1 **MR. OBEGI:** It actually doesn't clarify for
2 me, because I'm still struggling with understanding the
3 inconsistency, as I understand it, between the criteria
4 in the table and the criteria in Footnote 29.

5 And it's not clear to me whether the -- an OMR
6 criteria of 0 cfs for the month of February in a wet
7 year is actually an Operating Cri -- Operational
8 Criteria or just a modeling assumption.

9 **WITNESS CHILAMKURI:** And, as I stated, it is
10 the Operations Criteria, and Footnote 29 is part of the
11 Operations Criteria.

12 And what the -- the way I read Footnote 29 --
13 and I think that we went over this last week, but . . .

14 All it's saying is that the initial Operating
15 Criteria and the triggers for the Operating Criteria
16 would be subject to adaptive management.

17 And wherever that adaptive management would
18 lead, the ultimate criteria would be within -1250 to
19 -5,000 cfs range.

20 It doesn't go on to actually say that the
21 criteria stated in the Part 1 to -- would be exactly
22 -5,000 or -- which is what your question was implying
23 for February, and it doesn't say that, in my opinion.

24 **MR. OBEGI:** Is 0 cfs within the range of -1250
25 to -5,000?

1 **WITNESS CHILAMKURI:** It's not. However, if
2 you look through . . .

3 One of the -- For the Old and Middle River
4 restrictions, one of the offramps that are -- that's
5 offered is a -- had minimum health and safety pumping.

6 **MR. OBEGI:** Um-hmm.

7 **WITNESS CHILAMKURI:** And when you're exporting
8 at that level, you would -- you would not be . . . at
9 0 cfs necessarily.

10 But to answer your question: Yes, 0 cfs is
11 not within -1250 to -1,000 -- -5,000 range.

12 **MR. OBEGI:** So I'm -- I'm a little confused.
13 Maybe we can do this by month.

14 In February of a wet year, what is the most
15 negative OMR that would be allowed under the WaterFix
16 Operational Criteria?

17 **WITNESS CHILAMKURI:** As I understand right
18 now, it is -- Right now, it looks like the 0 cfs in the
19 wet years.

20 **MR. OBEGI:** And then what would Footnote 29
21 criteria mean?

22 **WITNESS CHILAMKURI:** It means that the number
23 is subject to adaptive management.

24 **MR. OBEGI:** And so there's no assurance that
25 it would actually -- that the minus -- that the 0 cfs

1 OMR in a wet year would be implemented in the future.

2 **WITNESS CHILAMKURI:** We are several years away
3 from it. And all it's saying is that the
4 information -- the criteria we have in the table would
5 be subject to adaptive management.

6 **MR. OBEGI:** And that adaptive management would
7 be a more negative range than what is identified in the
8 table itself.

9 **WITNESS CHILAMKURI:** I wouldn't say it's more
10 negative given that offramp I just explained.

11 And even if we are operating to a 0 cfs, there
12 is an offramp in the model -- or -- in the model --
13 actually, in the criterion that's allowed -- the health
14 and safety level of pumping is allowed under the
15 criteria.

16 So the effect of OMR would still be more
17 negative than 0 cfs. That's what I'm trying to say, is
18 that, yes, the actual number absolutely is out of the
19 range.

20 But if you look at what the operations would
21 be, it all depends on what the conditions are and
22 whether we are at the health and safety. So OMR may
23 not actually be at 0 cfs. It may be more like -1250.

24 **MR. OBEGI:** Although that's -- It's -- Isn't
25 it rare in a wet year that you would be pumping at

1 health and safety levels?

2 **WITNESS CHILAMKURI:** Probably, yeah.

3 **MR. OBEGI:** And so it's more likely that it
4 would be zero unless the adaptive management provisions
5 kicked in?

6 **WITNESS CHILAMKURI:** Yes.

7 **MR. OBEGI:** And if the unlimited pulse
8 protection was triggered, would this OMR criteria still
9 apply of 0 cfs in February of a wet year?

10 **WITNESS CHILAMKURI:** I don't recall that there
11 is any dependency on one another -- one another. I
12 mean, there's a dependency between implementing
13 unlimited pulse protection versus this criteria.

14 **MR. OBEGI:** So the Footnote 29 criteria would
15 not necessarily apply if unlimited pulse protection was
16 implemented in February of a wet year?

17 **MR. MIZELL:** Objection: Misstates the
18 witness' answer.

19 **CO-HEARING OFFICER DODUC:** I was actually
20 trying to understand as well.

21 So . . .

22 **WITNESS CHILAMKURI:** His previous question was
23 whether if the unlimited pulse protection criteria for
24 the OMR provision --

25 **CO-HEARING OFFICER DODUC:** And the answer was

1 it's not independent -- interdependent.

2 **WITNESS CHILAMKURI:** Correct.

3 **CO-HEARING OFFICER DODUC:** So, this followup
4 question, Mr. Obegi?

5 **MR. OBEGI:** So, if unlimited pulse protection
6 were triggered, it would still require a 0 cfs OMR in
7 February of a wet year.

8 **CO-HEARING OFFICER DODUC:** Maybe, maybe not.

9 **WITNESS CHILAMKURI:** Yeah. Unless -- I mean,
10 that would be the requirement unless the adaptive
11 management lands on a different value.

12 **MR. OBEGI:** And the adaptive management range
13 is identical to the current Biological Opinions; isn't
14 it?

15 **WITNESS CHILAMKURI:** I believe so. That's
16 the -- Those numbers are the bookends -- would bookend
17 the current Biological Opinion.

18 However, the actual values on any -- in any
19 given month would be -- would be -- could be anywhere
20 within that range, depending on the fish conditions and
21 marine conditions like the turbidity, and temperature
22 in the Delta, which are all factors which drive to the
23 actual OMR requirement under current Biological
24 Opinions.

25 **MR. OBEGI:** And does the modeling for

1 WaterFix, does it model the OMR range identified in
2 Footnote 29?

3 **WITNESS CHILAMKURI:** Again, we -- The way we
4 model the current Biological Opinions is described in
5 the modeling appendix for the Biological Assessment.

6 And, in general, they are dependent on the
7 triggers, such as the turbidity conditions or
8 temperature conditions in the Delta.

9 And as described in the Biological Opinions,
10 the -- the modeling assumptions try to emulate the
11 decision-making process that occurs in the real-time,
12 although on a monthly level.

13 **MR. OBEGI:** I'm a bit confused. I want to
14 just make sure I understand.

15 Under the -- That's correct under the
16 No-Action Alternative.

17 Under the Proposed Action, are the OMR
18 criteria that are modeled those in the footnote or
19 those in the table itself?

20 **WITNESS CHILAMKURI:** Those in the table.

21 **MR. OBEGI:** Thank you. That's what I thought.

22 And I would like to also move to strike
23 DWR-1292. It is another exhibit supporting Mr. Reyes'
24 testimony. It's described as a Technical Memorandum.

25 And since his testimony has been stricken, I

1 believe the supporting memorandum should be stricken as
2 well.

3 **CO-HEARING OFFICER DODUC:** We'll note that for
4 when Petitioners move exhibits into the record.

5 **MR. OBEGI:** Thank you.

6 And that's -- I believe that's it for these
7 witnesses. And the only questions I have left are for
8 Dr. Greenwood.

9 **CO-HEARING OFFICER DODUC:** All right. Why
10 don't we take our break now and ask Dr. Greenwood to
11 switch places with one of the other witnesses.

12 And we will return close to 11 o'clock.

13 Make that 11:00.

14 (Recess taken at 10:44 a.m.)

15 (Proceedings resumed at 10:59 a.m.:)

16 **CO-HEARING OFFICER DODUC:** All right. We are
17 back in session.

18 Mr. Obegi, your questions now for
19 Dr. Greenwood.

20 **MR. OBEGI:** Thank you.

21 Dr. Greenwood, good morning.

22 **WITNESS GREENWOOD:** Good morning.

23 **MR. OBEGI:** I would like to ask you a couple
24 of questions about your testimony. To begin with, your
25 testimony that WaterFix provides reasonable protection

1 for Longfin Smelt.

2 Is it correct that the -- I believe in your
3 testimony you state that the WaterFix Final EIS/EIR
4 evaluated the effects of Delta outflows on Longfin
5 Smelt abundance?

6 **WITNESS GREENWOOD:** Could you show me the
7 specific place you're referring to?

8 **MR. OBEGI:** Sure, if you'd give me a moment
9 here.

10 (Pause in proceedings.)

11 **MR. OBEGI:** If you turn to -- Mr. Hunt already
12 has 1221 up. And if we turn to . . . Let's see.

13 (Pause in proceedings.)

14 **MR. OBEGI:** Page 20, Lines 20 to 24.

15 (Exhibit displayed on screen.)

16 **WITNESS GREENWOOD:** And what was the question
17 again, please?

18 **MR. OBEGI:** Just so I understand:

19 The Final EIS/EIR evaluated the effects of
20 Delta outflows on Longfin Smelt abundance?

21 **WITNESS GREENWOOD:** It used the X2 abundant --
22 X2 Abundance Index aggression method, yes.

23 **MR. OBEGI:** And do you believe that the
24 Final EIS/EIR used the -- used appropriate scientific
25 methods?

1 **WITNESS GREENWOOD:** I felt that that was an
2 appropriate method to assess that, yes.

3 **MR. OBEGI:** And did the Final EIS/EIR evaluate
4 changes to Longfin Smelt abundance based on Napa River
5 flows?

6 **WITNESS GREENWOOD:** I don't believe that it
7 did.

8 **MR. OBEGI:** And the WaterFix ITP also did not
9 use Napa -- did not evaluate the effects of Napa River
10 flows on Longfin Smelt abundance; is that correct?

11 **WITNESS GREENWOOD:** I'm -- I'm not recalling
12 that it did, although I haven't read the -- You're
13 talking about the actual ITP itself?

14 Can you repeat the question, please.

15 **MR. OBEGI:** Yeah. Did the final WaterFix ITP
16 evaluate the effects of Napa River flows on Longfin
17 Smelt abundance?

18 **MR. MIZELL:** I'm going to object to the line
19 of questioning regarding Napa River flows.

20 I'd ask for a reference that Mr. Obegi can
21 cite to in the rebuttal testimony. I don't believe
22 that we go into Napa River flows at all in -- in
23 Dr. Greenwood's testimony.

24 In addition to now question the -- the
25 fairness of the Final EIR/EIS or the ITP, neither of

1 those are included within Dr. Greenwood's testimony for
2 the purpose of claiming that they are . . .

3 In terms of defending the environmental
4 document, Dr. Greenwood's testimony goes to the
5 analysis and how he used it in his testimony.

6 **CO-HEARING OFFICER DODUC:** Mr. Obegi.

7 I'm sorry. Were you done, Mr. Mizell?

8 **MR. MIZELL:** I was. Thank you.

9 **MR. OBEGI:** He replete -- He repeatedly refer
10 to the analyses that were done in both the ITP and the
11 Final EIS/EIR, not just on Page 20, but also as a basis
12 for his opinion on Page 21, discussing the analysis in
13 the CWF ITP based on the X2 Abundance Regression
14 method, Page 21 starting on Line 20.

15 **CO-HEARING OFFICER DODUC:** So you are
16 questioning his basis for the opinion that's in his
17 rebuttal testimony.

18 **MR. OBEGI:** That's correct.

19 **CO-HEARING OFFICER DODUC:** All right.

20 **MR. MIZELL:** I would point out, though, that
21 his testimony is based on Delta outflow, not Russian
22 River (sic) flows.

23 So to the extent that Mr. Obegi is questioning
24 him about Russian River (sic) flows -- Oh, Napa River
25 flows.

1 CO-HEARING OFFICER DODUC: Napa.

2 MR. MIZELL: Sorry. Napa River flows.

3 Wine country witnesses.

4 CO-HEARING OFFICER DODUC: So make the linkage
5 for me, Mr. Obegi.

6 MR. OBEGI: There's a separate DWR witness who
7 has asserted the effects of Napa River flows and
8 exhibits that were offered into -- that are being
9 offered on DWR's Exhibit List.

10 And given that Dr. Greenwood is the witness
11 who testified about what was in the ITP and the
12 Final EIS/EIR, this seems appropriate just to confirm
13 that those analyses were not used in the EIS/EIR.

14 CO-HEARING OFFICER DODUC: And those analyses
15 were submitted --

16 MR. OBEGI: In surrebuttal.

17 CO-HEARING OFFICER DODUC: -- in
18 surrebuttal --

19 MR. OBEGI: Sorry. In --

20 CO-HEARING OFFICER DODUC: -- in rebuttal.

21 Okay.

22 MR. OBEGI: Yes.

23 MR. MIZELL: By a different witness, though.

24 CO-HEARING OFFICER DODUC: Yes.

25 Overruled.

1 **WITNESS GREENWOOD:** So, I think the question
2 was regarding the ITP. I'm not sure if you meant an
3 analysis in relation to Napa River flows.

4 We do -- We mentioned a different matter
5 called "technique" in the ITP application, rather than
6 the ITP, that considers Napa River flows as well
7 as . . . I guess it's . . . the Eight-River Index.

8 We mentioned that in a discussion of there
9 being another analysis, potential modeling tool, that
10 wasn't used because the -- the best explanatory
11 variables, to my recollection, were ones that wouldn't
12 be affected by California WaterFix.

13 So we do -- we do mention an analysis that has
14 Napa River flows but it wasn't used quantitatively in
15 the analysis, just a qualitative consideration.

16 **MR. OBEGI:** Thank you.

17 And the analyses that -- that are referred to
18 in your rebuttal testimony conclude that higher
19 winter/spring outflow would increase the abundance of
20 Longfin Smelt?

21 **WITNESS GREENWOOD:** Well, there's a -- there's
22 a correlation, an inverse correlation, between X2 and
23 the Index for Abundance of Longfin Smelt. So . . .
24 there's obviously different factors.

25 But with that correlation, the predictions are

1 that abundance could be higher for a -- for -- the
2 Abundance Index needs to be higher for a lower X2, but
3 there is appreciable uncertainty around these
4 estimates, so . . .

5 Hopefully, that's clear.

6 (Pause in proceedings.)

7 **MR. OBEGI:** And the -- the ITP includes as an
8 operating criteria a Delta outflow requirement; is that
9 correct?

10 **WITNESS GREENWOOD:** I believe so, yes.

11 **MR. OBEGI:** And is it your opinion that the
12 science used in your rebuttal testimony shows that
13 increased winter/spring outflow is likely to increase
14 the abundance of Longfin Smelt?

15 **WITNESS GREENWOOD:** I think there's -- I think
16 there's uncertainty in the potential effects of
17 outflow. And I think I mentioned in my original
18 testimony that the potential effects of outflow are
19 something that would be studied and adaptively managed
20 and analyzed going forward.

21 So, I think you used the word "likely." I
22 don't know about the word likely, but, you know, I
23 think it's recognized that there's -- there's
24 uncertainty in these things and there needs to be
25 more -- more study of them.

1 **MR. OBEGI:** But that -- But the model that you
2 refer to in your rebuttal testimony would show that
3 increased outflow results -- or reduced X2 results
4 in -- likely results in higher abundance.

5 **WITNESS GREENWOOD:** Sorry. Are you speaking
6 to the X2 Abundance Index Regression method?

7 **MR. OBEGI:** Yes.

8 **WITNESS GREENWOOD:** And can you repeat the
9 question again.

10 **MR. OBEGI:** The models used -- The model --
11 The X2 abundance model used in your rebuttal testimony
12 would indicate that a lower X2 would likely result in a
13 higher Longfin Smelt abundance?

14 **WITNESS GREENWOOD:** I think I -- I mean, this
15 is similar to the question from before.

16 My answer will be similar in terms of
17 the . . . applying the Model X2 gives a range of
18 outcomes in terms of the Abundance Index. So we're not
19 talking about predictions of abundance, we're looking
20 at Abundance Index response from applying a progression
21 relationship.

22 And there's quite a wide range on those
23 estimates. If you were to choose, for example, the
24 median estimate, then that median estimate would be
25 higher at lower X2.

1 **MR. OBEGI:** And is that conclusion consistent
2 with the -- with your reanalysis of the Rosenfield and
3 Nobriga model?

4 (Pause in proceedings.)

5 **WITNESS GREENWOOD:** Can you repeat that
6 question? Sorry.

7 **MR. OBEGI:** Maybe I can rephrase it to make it
8 a little bit easier.

9 In your testimony, you present results of a
10 reanalysis of the Rosenfield and Nobriga model.

11 And doesn't that -- Is it correct that that
12 model would show a higher abundance of Longfin Smelt at
13 higher winter/spring outflows?

14 **WITNESS GREENWOOD:** Abundance Index -- again,
15 we're talking about Abundance Indices from a modeling
16 technique -- are predicted when they have a broad
17 spread on the predicted outcomes.

18 So . . . I think you would have -- That --
19 That technique is . . .

20 The way that the outflow is represented in
21 that model through principal components analysis can --
22 can make it challenging to be able to say, for -- for
23 given outflows that are being provided, what the exact
24 outcome could be.

25 But, in general, I think if you were to look

1 at, for example, the median, you know, you -- for --
2 For more outflow generally, the predictive index would
3 be -- tend to be higher with more outflow but, again,
4 with a large spread around, for example, a median
5 estimate.

6 **MR. OBEGI:** Thank you.

7 And starting --

8 **CO-HEARING OFFICER DODUC:** I'm sorry. Before
9 you continue .

10 Do you still anticipate needing another hour?

11 **MR. OBEGI:** I suspect it'll be closer to 45
12 minutes --

13 **CO-HEARING OFFICER DODUC:** Okay.

14 **MR. OBEGI:** -- but we'll see how fast we go.

15 **CO-HEARING OFFICER DODUC:** All right.

16 **MR. OBEGI:** Thank you.

17 And I'd like to ask you a couple questions
18 about DWR-1352, which is the Supplemental memo that --
19 that you prepared with Dr. Phillis regarding that
20 Longfin Smelt analysis.

21 (Exhibit displayed on screen.)

22 **MR. OBEGI:** And this is -- using this model,
23 this -- using your version of the Nobriga and
24 Rosenfield model to compare Longfin Smelt midwater
25 Trawl Abundance Indexes; correct?

1 **WITNESS GREENWOOD:** For -- For different
2 operational scenarios, yes, we -- we reproduced the
3 Nobriga-Rosenfield model.

4 **MR. OBEGI:** And you also used this -- in this
5 memo -- present evidence of an extinction risk; is that
6 correct?

7 **WITNESS GREENWOOD:** It's -- We use the
8 terminology from the published Nobriga and Rosenfield
9 Population Dynamics Model paper, which is
10 quasi-extirpation, which was an index -- a Fall
11 Midwater Trawl Index probably less than one point.
12 Less than one. Sorry.

13 **MR. OBEGI:** Um-hmm.

14 And what was the initial Fall Midwater Trawl
15 Abundance Index number that you used in your analysis?

16 **WITNESS GREENWOOD:** (Examining document.)

17 We used 798, which was the median index from
18 1967 to 2013 and I think consistent with Nobriga and
19 Rosenfield.

20 **MR. OBEGI:** And that Fall Midwater Trawl
21 Index, is -- is that higher than the most recent Fall
22 Midwater Trawl Abundance Index for Longfin Smelt?

23 **WITNESS GREENWOOD:** Based on my recollection,
24 that value's higher, yes.

25 **MR. OBEGI:** And would it be correct to say,

1 then, that your modeling -- this -- the model results
2 presented here do not show the likelihood of
3 quasi-extirpation at current Abundance Indices?

4 **WITNESS GREENWOOD:** The analysis that we're
5 getting is a comparative analysis of different
6 scenarios to address Dr. Rosenfield's initial comment,
7 which was the reason for the rebuttal testimony, that
8 using -- in his opinion, using the Nobriga-Rosenfield
9 model would be a more appropriate way of looking at
10 this type of analysis compared to X2 Abundance Index
11 Regression which was used.

12 **MR. OBEGI:** But you --

13 **WITNESS GREENWOOD:** So --

14 **MR. OBEGI:** Go ahead.

15 **WITNESS GREENWOOD:** Our focus is on comparison
16 of the different model scenarios.

17 **MR. OBEGI:** But you do present it as a
18 quasi-extirpation risk; correct?

19 **WITNESS GREENWOOD:** For comparing different
20 scenarios. It's a different -- It's a different, I
21 guess, means of looking at the differences between the
22 different scenarios rather than an absolute prediction.

23 **MR. OBEGI:** So it's not a prediction of
24 extinction risk based on current Population Abundance
25 Index?

1 **WITNESS GREENWOOD:** We didn't use current
2 Indices of Abundance.

3 **MR. OBEGI:** So it's -- Then it is not an
4 estimate of the current extinction risk; is that
5 correct?

6 **WITNESS GREENWOOD:** It's not intended to be.

7 **MR. OBEGI:** And given that the Abundance Index
8 is significantly lower today than the Fall Midwater
9 Trawl Abundance Index that you used in this table,
10 isn't it likely that the extinction risk -- or the
11 quasi-extirpation risk is higher than the results
12 presented in this model today?

13 **MR. MIZELL:** I'm going to object.

14 We've now gone beyond the testimony of
15 Dr. Greenwood in the use of the Rosenfield-Nobriga
16 model.

17 The intent of his testimony, he has already
18 stated, and that was simply to rebut the statements by
19 Rosenfield in his case in chief for Part 2.

20 To now extend that into what could the
21 Rosenbriga (sic) -- no -- Rosenfield-Nobriga model
22 produce under a different set of circumstances would --
23 would not only have been inappropriate rebuttal,
24 because it wouldn't address Dr. Rosenfield's case in
25 chief, but it also is not part of Dr. Greenwood's

1 rebuttal testimony.

2 **CO-HEARING OFFICER DODUC:** Mr. Obegi.

3 **MR. OBEGI:** The testimony creates the
4 inference that it is a -- that the extinction risk for
5 the species, and in order to evaluate the reasonable
6 protection of fish and wildlife, it seems valuable to
7 look at both the current levels of abundance as well as
8 the historical abundant -- median abundance that he
9 used here.

10 **CO-HEARING OFFICER DODUC:** I believe
11 Dr. Greenwood's rebuttal is based on a comparison, so
12 objection is sustained.

13 **MR. OBEGI:** Can we turn to Page -- .pdf Page 7
14 of this exhibit.

15 (Exhibit displayed on screen.)

16 **MR. OBEGI:** And Table 1 below is showing
17 the -- Am I correct, Dr. Greenwood, that this is
18 showing the Median Index of predicted Abundance Indices
19 under different scenarios?

20 **WITNESS GREENWOOD:** These are means of the
21 Median Indices by water year-type as well as an overall
22 all-in year, meaning of the indices, fall Midwinter
23 Trawl Indexes that are predictions from the model.

24 **MR. OBEGI:** And so the median -- The mean of
25 the median indices are lower than the value that you

1 seeded the model with in the below normal, dry, and
2 critical years?

3 (Pause in proceedings.)

4 **MR. OBEGI:** Is that correct?

5 **WITNESS GREENWOOD:** I'm just verifying.

6 The model . . .

7 (Pause in proceedings.)

8 **WITNESS GREENWOOD:** So the median -- The
9 initial values that are exceeded were 798 I think we
10 previously mentioned. So, whichever -- whichever
11 values you see in Columns 2, 3 and 4, the table below
12 798, are less than the value of the model seeded with.

13 So that, to me, is not what we normally use,
14 as I mentioned, but it is dry and critical years.

15 **MR. OBEGI:** Thank you. I stand corrected.

16 And the results are higher in the wetter and
17 above-normal years than they are in the drier year
18 types because outflow is higher?

19 **WITNESS GREENWOOD:** That's presumably the
20 case, yeah. From this model, this is what we predict,
21 given the model.

22 **MR. OBEGI:** Thank you.

23 That's the only difference between those
24 years; correct?

25 **WITNESS GREENWOOD:** From the perspective of

1 this model.

2 **MR. OBEGI:** Thank you.

3 Let's go back to your testimony, if we can,
4 DWR-1221.

5 (Exhibit displayed on screen.)

6 **MR. OBEGI:** And can we turn to Page 27.

7 (Exhibit displayed on screen.)

8 **MR. OBEGI:** And in your rebuttal testimony,
9 you present estimates of mean relative abundance for
10 Bay Shrimp under different scenarios; is that correct?

11 **WITNESS GREENWOOD:** Yes, Table 4.

12 **MR. OBEGI:** And Table 5 is the same for
13 Eurytemora affinis?

14 **WITNESS GREENWOOD:** It's the same style of
15 summary, yes.

16 **MR. OBEGI:** And in these analyses, you're
17 modeling the effects of Delta outflow on the relative
18 abundance of these zoo plankton species?

19 **WITNESS GREENWOOD:** These are -- These are X2
20 relative abundance relationships.

21 **MR. OBEGI:** But X2 is calculated as a function
22 of Delta outflow; is that correct?

23 **WITNESS GREENWOOD:** The X2 values are from the
24 CalSim model.

25 **MR. OBEGI:** And from the CalSim model as a

1 function of Delta outflows?

2 **WITNESS GREENWOOD:** I would have to defer to
3 Dr. Chilmakuri for the specifics on how X2 comes out of
4 the CalSim model.

5 **WITNESS CHILAMKURI:** Outflow is one factor,
6 yes.

7 **MR. OBEGI:** What other factors are considered?

8 **WITNESS CHILAMKURI:** Previous months' X2
9 conditions.

10 **MR. OBEGI:** Thank you.

11 And is it correct, Dr. Greenwood, that this
12 analysis shows that higher March-to-May Delta outflow
13 would increase -- would likely increase the abundance
14 of Bay Shrimp?

15 **WITNESS GREENWOOD:** I mean, this is a similar
16 answer to what I gave before for Longfin Smelt.

17 This is -- This is applying an X2 to Abundance
18 Index -- relative abundance relationship. So, again,
19 if we look at -- if you look at the means, we can see
20 those types of -- that type of relationship.

21 But I think it's important to acknowledge that
22 there's a fair amount of spread around those estimates.

23 **MR. OBEGI:** But your -- your written testimony
24 doesn't include that; right? It says this is the mean
25 of relative abundance that is predicted.

1 Well, the written testimony, I guess, is to
2 some extent simplifying given that I'm trying to
3 address using a similar technique as has been used
4 elsewhere. Dr. Rosenfield's comment regarding
5 reductions in fresh water flows under CWF H3+.

6 So this is just trying to illustrate that
7 within -- within the context of this type of analysis
8 that I don't see evidence for that.

9 **MR. OBEGI:** You don't see evidence for a
10 change betw -- significant change between the No-Action
11 and CWF.

12 **WITNESS GREENWOOD:** I don't see, correct. In
13 my opinion, those differences are small.

14 **MR. OBEGI:** But this analysis -- This analysis
15 would show that abundance would be predicted to be
16 higher under higher -- under lower X2 values.

17 **WITNESS GREENWOOD:** The basic relationship for
18 each of these analyses is predicted abundance being
19 higher with lower X2, again, with uncertainty around
20 those estimates.

21 **MR. OBEGI:** And you think that these methods
22 are scientifically defensible?

23 (Pause in proceedings.)

24 **WITNESS GREENWOOD:** I think that they're --
25 they're generally reasonable methods, recognizing that

1 they shouldn't be taken as absolute predictions of what
2 could occur.

3 But they're -- They have utility, I think, in
4 comparing between these different scenarios and, as
5 such, we try to apply them in our analyses for what you
6 see here.

7 **MR. OBEGI:** And so if there was a scenario
8 that high -- had higher outflow, you would see a mean
9 predicted abundance that would be higher and that
10 relative comparison would likewise be scientifically
11 defensible?

12 **MR. MIZELL:** Objection: Incomplete
13 hypothetical; calls for speculation.

14 **CO-HEARING OFFICER DODUC:** Overruled.

15 It seems like a logical line of sequence.

16 **WITNESS GREENWOOD:** Can you -- Can you repeat
17 the question and what you mean specifically outflowing
18 these months that's being applied for this -- for these
19 analyses.

20 **MR. OBEGI:** Could the -- Could the court
21 reporter please repeat the question back so I don't
22 mangle it.

23 (Record read.)

24 **WITNESS GREENWOOD:** And so I was just seeking
25 clarification. You're talking about outflow in these

1 given months?

2 **MR. OBEGI:** Correct.

3 **WITNESS GREENWOOD:** So the basis -- On the
4 basis of -- On the basis of this type of analysis, it
5 would -- the mean prediction would be higher with lower
6 X2 but, again, with variation around the mean estimate.

7 **MR. OBEGI:** Okay. And that would be a
8 scientifically defensible analysis, in your opinion.

9 **WITNESS GREENWOOD:** This is, I think, a useful
10 analysis for this type of comparison of scenarios.

11 **MR. OBEGI:** And scientifically credible?

12 **WITNESS GREENWOOD:** This type of analysis has
13 been used before.

14 **MR. OBEGI:** And is it your opinion that it is
15 scientifically defensible?

16 **MR. MIZELL:** Object as asked and answered.

17 **CO-HEARING OFFICER DODUC:** Actually, asked but
18 not answered directly.

19 **MR. MIZELL:** And I'd raise an objection as to
20 incomplete hypothetical again.

21 If Mr. Obegi is asking Dr. Greenwood to defend
22 the scientific credibility of a study that
23 Dr. Greenwood has not seen, which would inevitably need
24 a deeper analysis than the facts that have been given
25 to Dr. Greenwood, it's an incomplete hypothetical to

1 try and then compel Dr. Greenwood to conclude on.

2 **CO-HEARING OFFICER DODUC:** It was a
3 hypothetical scenario to which Dr. Greenwood has
4 already agreed in terms of the results.

5 And the only question that remains now is
6 whether or not, as a scientist, Dr. Greenwood would
7 view that method as acceptable, and either you do or
8 you don't.

9 **WITNESS GREENWOOD:** I think the method is
10 generally acceptable, recognizing that, as I've stated
11 a few times, there is -- there can be appreciable
12 uncertainty around mean estimates, so . . .

13 **MR. OBEGI:** Thank you.

14 And then turning to pages -- to Page 29 of
15 your testimony.

16 (Exhibit displayed on screen.)

17 **MR. OBEGI:** If you will scroll down a little
18 bit --

19 (Scrolling down through document.)

20 **MR. OBEGI:** Sorry. Scroll up a little bit.

21 (Scrolling up through document.)

22 **MR. OBEGI:** So -- Sorry.

23 You refer to scenarios for White Sturgeon and
24 updated these analyses on Table 6 through 9.

25 So I think it's the next page.

1 (Exhibit displayed on screen.)

2 **MR. OBEGI:** Again, it could be the page after
3 that.

4 (Exhibit displayed on screen.)

5 **MR. OBEGI:** So, for White Sturgeon here, you
6 present two analyses that look at different time
7 periods for a regression between X2 and predicted
8 abundance; is that correct?

9 **WITNESS GREENWOOD:** Yes.

10 **MR. OBEGI:** And these are similar to the
11 analyses that were presented in the Final EIS/EIR?

12 (Pause in proceedings.)

13 **CO-HEARING OFFICER DODUC:** Mr. Mizell.

14 **MR. MIZELL:** If -- After Dr. Greenwood's next
15 answer, if I could have a moment for a very brief
16 housekeeping matter.

17 **CO-HEARING OFFICER DODUC:** Okay.

18 **WITNESS GREENWOOD:** I'm not actually recalling
19 the analysis in the EIR.

20 **MR. OBEGI:** Okay. That's fine.

21 **CO-HEARING OFFICER DODUC:** All right.

22 Mr. Mizell, your housekeeping item.

23 **MR. MIZELL:** Mr. Reyes has an appointment that
24 he would like to keep over the lunch period -- lunch
25 period. I'm back in school -- sorry -- over the lunch

1 had your, and he would need to leave now.

2 If Mr. Obegi does not anticipate any questions
3 for Mr. Reyes prior to lunch, would it be permissible
4 for him to --

5 **CO-HEARING OFFICER DODUC:** Yes. My
6 understanding is all your questions are for
7 Dr. Greenwood.

8 **MR. OBEGI:** That's correct.

9 **MR. MIZELL:** Thank you.

10 Mr. Reyes will be available after lunch.

11 **CO-HEARING OFFICER DODUC:** All right. Thank
12 you, Mr. Reyes.

13 **MR. OBEGI:** Dr. Greenwood, in these analyses
14 presented in Table 8 and Table 9, higher outflow during
15 different months, April and May in Table 8 and in March
16 through July in Table 9, result in higher predicted
17 abundance of White Sturgeon; correct?

18 **WITNESS GREENWOOD:** So, again, these are
19 regression relationships between an index of White
20 Sturgeon Juvenile year class strength and outflow.

21 So, from the -- from the relationship that's
22 applied, there is a positive correlation between these
23 indices and outflow in those different average mean
24 periods, again, with variability around the index
25 periods.

1 **MR. OBEGI:** And it is -- Is it your opinion
2 that this methodology is scientifically credible?

3 **WITNESS GREENWOOD:** The -- I think the -- the
4 method is reasonable. I think it's similar to what I
5 stated before, that it's, I think, a useful way of
6 preparing different scenarios like this, and
7 recognizing that there is -- there is more than just
8 these mean estimates. There is variability around
9 those mean estimates.

10 **MR. OBEGI:** Um-hmm. And in Table 8, it
11 appears to indicate that abundance would be slightly
12 lower under CWF than under the No-Action Alternative.

13 Is that how you interpret the table?

14 **WITNESS GREENWOOD:** Can you tell me what
15 you're looking at?

16 **MR. OBEGI:** Well, in -- in the wet years,
17 there's a 4 percent reduction of a . . . Abundance
18 Index of -6. And in the other years, the changes in
19 abundance are either 0 or 1.

20 And so it seemed, on average, looking at this
21 table as a whole, abundance would be similar and
22 slightly lower under CWF than under the No-Action
23 Alternative.

24 **MR. BERLINER:** I'm going to object:

25 I believe the witness has stated several times

1 over these are estimates for general guidance purposes.
2 They're not precise. And Mr. Obegi seems to keep
3 wanting to drive him towards precision associated with
4 these.

5 So, I'm no scientist, but if I see a number
6 that's -6, it might be any other number.

7 **CO-HEARING OFFICER DODUC:** Mr. Berliner, the
8 caveat about uncertainty is well established, well
9 known.

10 Mr. Obegi is, at least as I understand the
11 question, just asking him to affirm what's in his
12 testimony.

13 Though I have to wonder, Mr. Obegi, hopefully
14 you're moving beyond this and not just asking him to
15 reiterate what's already on paper.

16 **MR. OBEGI:** Correct.

17 I'm -- In his testimony, he says that they're
18 about the same, and it looks to me like they're
19 slightly lower.

20 And I'm going to move quickly off of this
21 topic once we -- we finish up on this table.

22 **MR. MIZELL:** So I'd object to the
23 characterization of the results in the table as being
24 incomplete. Mr. Obegi left out the last line which
25 indicates a 21 percent increase.

1 **CO-HEARING OFFICER DODUC:** Well, I think he
2 wisely focused on the numbers and not the percentage,
3 wisely for his argument, anyway.

4 His question was, 0, 1, 0, 0, -6, and that's
5 what's on the paper.

6 So let's move on, Mr. Obegi.

7 **MR. OBEGI:** Certainly.

8 You also testified regarding Salmon survival
9 through the Delta on Page 3, Lines 18 to 22.

10 (Exhibit displayed on screen.)

11 **MR. OBEGI:** Does the modeling in the NMFS
12 Biological Opinion show that through-Delta survival of
13 Juvenile Salmon is likely to be equal or greater to the
14 baseline?

15 **WITNESS GREENWOOD:** Which modeling, please?

16 **MR. OBEGI:** Does the Perry Survival Model show
17 that?

18 **WITNESS GREENWOOD:** Mmm. I'd have to look at
19 the specific results again.

20 I think, in general, this analysis suggested,
21 just based on the modeling, that the survival -- that
22 the modeling results indicated predicted survival that
23 could be lower under CWF H3+, only considering what's
24 in the models.

25 **MR. OBEGI:** Are you aware of any modeling that

1 shows -- that demonstrates that WaterFix is likely to
2 result in Juvenile through-Delta survival that is equal
3 or greater to the baseline?

4 **WITNESS GREENWOOD:** I don't think the modeling
5 has captured the different elements that are -- all of
6 the different elements that are within CWF H3+.

7 **MR. OBEGI:** So is that a "no"?

8 **WITNESS GREENWOOD:** I think there are -- there
9 are some analyses that we have that -- that suggest
10 similar through-Delta survival, depending on, for
11 example, the run of Salmon that's being looked at.

12 So I wouldn't say that there are none. I
13 think, based on my recollection, there are some.

14 **MR. OBEGI:** From the Sacramento River?

15 **WITNESS GREENWOOD:** Yes.

16 **MR. OBEGI:** For winter-run Chinook Salmon?

17 **WITNESS GREENWOOD:** I don't recall
18 specifically for winter-run Chinook Salmon.

19 **MR. OBEGI:** And for spring-run Chinook Salmon
20 from the Sacramento River?

21 **WITNESS GREENWOOD:** I would need to look again
22 at some of the analyses included. In the BA, for
23 example.

24 **MR. OBEGI:** And you assert in this testimony
25 that these biological criterion provides reasonable

1 protection; is that correct?

2 On Lines 20 to 21.

3 **WITNESS GREENWOOD:** That's what -- That's
4 what -- what it says.

5 **MR. OBEGI:** And is it your opinion that
6 baseline rates of Juvenile Salmon survival through the
7 Delta are reasonably protective of Salmon?

8 **MR. MIZELL:** Objection: Goes beyond the scope
9 of Dr. Greenwood's testimony.

10 The statement clearly is comparative analysis
11 in relying upon the existence of condition in the ITP
12 as the scientific basis for protective criteria but in
13 a comparative manner.

14 **CO-HEARING OFFICER DODUC:** And what was your
15 question, Mr. Obegi?

16 **MR. OBEGI:** If the baseline rates of Juvenile
17 Salmon survival, as referenced in his testimony, are
18 reasonably protective.

19 **CO-HEARING OFFICER DODUC:** Objection
20 sustained.

21 **MR. OBEGI:** Then I'd like to move to strike
22 this conclusion. If we can't test the underlying basis
23 for his conclusion of a comparative analysis, it's not
24 clear how he's formulating that opinion.

25 **CO-HEARING OFFICER DODUC:** Response?

1 **MR. MIZELL:** I would say that we have been
2 testing the basis of his comparative cri -- his
3 comparative conclusion here in that whether or not it's
4 based on a criteria to have CWF H3+ operations be equal
5 or greater to the baseline.

6 Mr. Obegi can ask the appropriate witness on
7 Panel 3 as to what he considers to be protective in the
8 No-Action Alternative.

9 But for Dr. Greenwood's testimony, he has the
10 biological expertise to look at the difference between
11 a No-Action Alternative case and H3+ case -- and this
12 has those numbers -- and provide an opinion as to
13 whether or not the change is reasonably protective.

14 **CO-HEARING OFFICER DODUC:** All right. We'll
15 take it into --

16 Yes, Miss Des Jardins?

17 **MS. DES JARDINS:** I would like to join
18 Mr. Obegi's Motion to Strike.

19 And I would like to note that the standard of
20 reasonable protection is speaking about a very specific
21 standard. I believe there have been arguments made in
22 the hearing that it's an absolute and not a relative
23 standard.

24 To the extent that there are statements about
25 reasonable protection and not about just the changes,

1 there would be no changes over existing conditions.

2 It's -- If we can't test those statements, then they
3 should be stricken.

4 Thank you.

5 **CO-HEARING OFFICER DODUC:** The test, as
6 I . . .

7 Yes.

8 The test that I'm trying to determine here is
9 whether or not this is based solely on Dr. Greenwood's
10 rebuttal testimony, or if this is reverting back to
11 previous testimony that was made as part of his case in
12 chief, which would be outside the bounds of his
13 rebuttal testimony.

14 So, Dr. Greenwood, your conclusion as
15 specified in Line -- what is it -- 20 through 22, are
16 you just reiterating your case in chief and other
17 testimony, or is this a new analysis, a new conclusion
18 based on your rebuttal analysis and rebuttal testimony?

19 **WITNESS GREENWOOD:** It's really a trade, yes.

20 (Pause in proceedings.)

21 **CO-HEARING OFFICER DODUC:** All right. There
22 was a motion made. We will consider it in weighing
23 this particular paragraph in Dr. Greenwood's testimony.

24 **MR. OBEGI:** A point of clarification:

25 Counsel for DWR seemed to imply that the

1 witness was not qualified to answer questions about the
2 reasonable protection under the baseline conditions,
3 and I -- I wasn't sure if I misunderstood that or --

4 **MR. MIZELL:** Yes. My intent was not to
5 discuss the qualifications of Dr. Greenwood to answer
6 questions on biology.

7 It was my intent to discuss the scope of
8 Dr. Greenwood's analysis as conducted for his rebuttal
9 testimony under -- for which he's being cross-examined.

10 **CO-HEARING OFFICER DODUC:** All right. We're
11 moving on.

12 **MR. OBEGI:** So, I had a couple questions
13 regarding Delta outflows and Delta Smelt rearing
14 habitats as referenced on Page 29, Lines 11 to 15.

15 (Exhibit displayed on screen.)

16 **MR. OBEGI:** And, here, you -- you assert that
17 the various Delta outflow Change Petition conditions
18 proposed by Dr. Rosenfield, you do not believe them to
19 be necessary; is that correct?

20 **WITNESS GREENWOOD:** That's what I state, yes.

21 **MR. OBEGI:** Mr. Hunt, would you please pull
22 up -- hold on one second -- NRDC-202.

23 (Exhibit displayed on screen.)

24 **MR. OBEGI:** And I have a written copy for the
25 witness and others if they would like one.

1 Dr. Greenwood, would you prefer a written copy
2 or is the screen okay?

3 **WITNESS GREENWOOD:** The screen's good.

4 **MR. OBEGI:** Okay. Can we scroll down on
5 Page 2.

6 (Exhibit displayed on screen.)

7 **MR. OBEGI:** Are you aware of this --

8 Sorry. Can we move up on the top of Page 1.

9 (Exhibit displayed on screen.)

10 **MR. OBEGI:** Have you seen this document
11 before, Dr. Greenwood?

12 **WITNESS GREENWOOD:** I may have. I'm just not
13 recalling it very well at the moment.

14 **MR. OBEGI:** And I will make an offer of proof
15 that this was obtained from the U.S. Fish and Wildlife
16 Service as part of the Administrative Record in our
17 litigation challenging their Biological Opinion.

18 If we scroll down to Page 2.

19 (Exhibit displayed on screen.)

20 **MR. OBEGI:** The memorandum from the Secretary
21 of the Interior to the President of the United States
22 discusses the downward trajectory of endangered Delta
23 Smelt.

24 And, then, in that second paragraph that
25 begins, "To maximize Salmon protections," the next

1 sentence says (reading):

2 "With respect to Smelt -- Delta
3 Smelt, FWS asked Reclamation to acquire
4 hundreds of thousands of acre-feet of
5 water to release to increase
6 environmental flows through the Delta in
7 the hope of boosting Delta Smelt
8 populations."

9 Are you aware that -- that the Fish and
10 Wildlife Service has identified a need for additional
11 Delta outflow in the summer months, as this memo
12 indicates?

13 **WITNESS GREENWOOD:** I'm sorry. I don't see
14 specific reference to --

15 Oh, I see. Sorry. I see summer.

16 (Pause in proceedings.)

17 **WITNESS GREENWOOD:** Yeah. I'm not sure of the
18 specific reference that this is describing.

19 I think, in general, that summer -- summer
20 period is something that I mentioned in my previous
21 testimony as well, where I noted that the Biological
22 Opinion for WaterFix from Fish and Wildlife Service had
23 mentioned summer as a -- as a period of interest.

24 And I also mention here, kind of reiterating
25 my previous testimony, that this is something of

1 interest, I think, in the Delta Smelt Resiliency
2 Strategy during the summer.

3 So, I don't really know these details that
4 you're asking about, but I know that there are related
5 things that are thinking about summer period and flow
6 for Delta Smelt.

7 **MR. OBEGI:** And did you consider this -- this
8 information in preparing your testimony?

9 **WITNESS GREENWOOD:** Sorry. This particular
10 thing that we're looking at --

11 **MR. OBEGI:** Yes.

12 **WITNESS GREENWOOD:** -- this exhibit?

13 **MR. OBEGI:** This exhibit.

14 **WITNESS GREENWOOD:** Not this -- Not this
15 specific exhibit.

16 **MR. OBEGI:** And if we could scroll down just a
17 little bit further --

18 (Scrolling through document.)

19 **MR. OBEGI:** -- it discusses the Delta Smelt
20 Resiliency Strategy and identifies a need to provide,
21 quote (reading):

22 ". . . Substantial additional
23 environmental flows in spring/summer of
24 2017 and 2018 . . ."

25 And further down asserts that (reading):

1 "The reinitiation process will
2 likely lead to new or Amended Biological
3 Opinions that will increase protections
4 for these species."

5 Does this information change your opinion
6 regarding summer outflows for Delta Smelt and what is
7 required for reasonable protection?

8 **WITNESS GREENWOOD:** Sorry. Which -- Which
9 specific opinion?

10 I think -- All I would say is generally
11 that -- that potential need for more outflow was
12 something that was acknowledged in my original
13 testimony, and I kind of reiterate that a little bit
14 here in my rebuttal testimony.

15 So, I recognize that that potential -- the
16 need to potentially consider summer outflow is
17 something that's -- that's -- that exists.

18 And so I think, through, as I mentioned here
19 WaterFix adaptive management, you know, could
20 incorporate some of the knowledge that might be gained
21 by something like the Delta Smelt Resiliency Strategy
22 where summer outflow effects on Delta Smelt habitat,
23 you know, could be investigated further.

24 **MR. OBEGI:** And on that point of using the
25 Resiliency Strategy to learn and better understand the

1 effects of outflow, was additional outflow provided in
2 2017 and 2018 for Delta Smelt?

3 **WITNESS GREENWOOD:** I'm not -- I'm not sure if
4 it was.

5 **MR. OBEGI:** So you're not aware if there's any
6 additional information that would be available to
7 assess that.

8 **WITNESS GREENWOOD:** I -- I don't know.

9 **MR. OBEGI:** Would it surprise you to find out
10 that it was not provided?

11 **MR. BERLINER:** Objection: We're well beyond
12 the witness' testimony at this point.

13 **CO-HEARING OFFICER DODUC:** Sustained.

14 **MR. OBEGI:** Can we please pull up NRC-208
15 (sic).

16 (Exhibit displayed on screen.)

17 **MR. OBEGI:** And this is a June 1st, 2016,
18 memorandum from the Fish and Wildlife Service to the
19 Bureau of Reclamation.

20 And if you scroll down a little bit --

21 (Scrolling through document.)

22 **MR. OBEGI:** -- it asserts that, quote
23 (reading):

24 ". . . We remain concerned about
25 maintaining adequate habitat conditions

1 for Juvenile Delta Smelt rearing in the
2 West Delta through the later spring and
3 summer."

4 And identifies the need to maintain X2
5 (reading):

6 ". . . No more eastward than 81
7 kilometers through the end of the water
8 year -- end of the water . . ."

9 Are you aware of this determination by the
10 Fish and Wildlife Service?

11 **MR. BERLINER:** Excuse me.

12 Mr. Obegi, do you have hard copies of these
13 documents?

14 **MR. OBEGI:** I do.

15 **MR. BERLINER:** I think it would helpful for
16 the witness to see them. Since they're short
17 documents, it would helpful for the witness to be able
18 to see them, unless he has familiarity with these.

19 **CO-HEARING OFFICER DODUC:** I believe Mr. Obegi
20 made that offer and Dr. Greenwood said he was fine with
21 the screen, but let's go ahead and get you the hard
22 copies.

23 **MR. BERLINER:** Yeah. I'm overruling my
24 witness here about providing hard copies of the
25 document.

1 (Pause in proceedings.)

2 **CO-HEARING OFFICER DODUC:** Are you familiar
3 with this document, Dr. Greenwood? Have you seen it
4 before?

5 **WITNESS GREENWOOD:** No, I haven't. I haven't
6 seen it before.

7 **MR. OBEGI:** Do you agree with the opinion that
8 maintaining X2 no more eastward than 81 kilometers
9 through the summer is critical to maintaining habi --
10 adequate habitat quality for Delta Smelt?

11 (Pause in proceedings.)

12 **WITNESS GREENWOOD:** It would depend on how
13 "relatively good habitat" is being defined, I guess.

14 **MR. OBEGI:** How would you define it?

15 (Pause in proceedings.)

16 **WITNESS GREENWOOD:** Well, I'm -- I'm saying
17 that I don't necessarily know what was being meant by
18 this, so . . .

19 **MR. OBEGI:** And so this wouldn't change your
20 opinion?

21 **CO-HEARING OFFICER DODUC:** Not if he doesn't
22 know what's meant by it, Mr. Obegi.

23 **MR. OBEGI:** Thank you.

24 My last line of questioning for this witness
25 is with respect to -- make sure I've got it --

1 real-time operations.

2 And you discuss real-time operations in your
3 testimony on Pages 15 to 17, as well as on Page 2.

4 So can we pull up your testimony, which is
5 DWR-1221.

6 (Exhibit displayed on screen.)

7 **MR. OBEGI:** And if we go to Page 2.

8 (Exhibit displayed on screen.)

9 **MR. OBEGI:** And on Line 13 (reading):

10 ". . . Reasonable protection
11 includes . . . real-time operational
12 adjustments . . ."

13 What's the basis for your opinion that
14 real-time operational adjustments provide reasonable
15 protection for fish?

16 **CO-HEARING OFFICER DODUC:** Can you be more
17 specific, Mr. Obegi. This is a very broad sentence in
18 the opening paragraph.

19 **MR. OBEGI:** It's a very broad sentence and I'm
20 trying to understand what he considered in making this
21 broad statement.

22 **MR. MIZELL:** To the extent that Mr. Obegi
23 would like Dr. Greenwood to explain the testimony that
24 this is an introductory paragraph to that is found on
25 Pages 15 through the top of 17.

1 **MR. OBEGI:** So let's turn to Page 15.

2 (Exhibit displayed on screen.)

3 **MR. OBEGI:** And scrolling down.

4 (Scrolling through document.)

5 **MR. OBEGI:** You assert that the (reading):

6 ". . . Monitoring is a good indicator of
7 relative abundance . . ."

8 Is that correct?

9 **WITNESS GREENWOOD:** Could you point me
10 specifically to what you're referring to?

11 **MR. OBEGI:** Line 23.

12 **WITNESS GREENWOOD:** This was specifically
13 rebutting Mr. Shutes' opinion that rotary screw traps
14 may be unreliable for smolt-sized Salmon.

15 Here, I'm stating, in my opinion, that rotary
16 screw trap monitoring is a good indicator of relative
17 abundance.

18 **MR. OBEGI:** And do you believe that the --
19 that the agencies are likely to implement operational
20 changes in response to this kind of monitoring?

21 **WITNESS GREENWOOD:** I think it's . . .

22 It's one of the factors that they would be
23 considering, based on my understanding.

24 **MR. OBEGI:** And are water supply
25 considerations part of the factors that the agencies

1 would consider regarding real-time operations under
2 WaterFix?

3 **WITNESS GREENWOOD:** I can't -- I can't really
4 comment.

5 **MR. OBEGI:** Can we please pull up State Water
6 Board Exhibit 104, Chapter 3, and .pdf Page 99.

7 (Exhibit displayed on screen.)

8 **MR. OBEGI:** And scroll down a little bit.

9 (Scrolling through document.)

10 **MR. OBEGI:** And do you see the sentence that
11 says (reading):

12 "Real-time operations will also be
13 used to adjust operations to further
14 limit effects on listed species and
15 maximize water supply benefits."

16 It's the fourth sentence from the bottom.

17 **WITNESS GREENWOOD:** I see that sentence.

18 **MR. OBEGI:** So, is it your understanding that
19 water supply considerations would be part of real-time
20 operations?

21 **WITNESS GREENWOOD:** This suggests that they
22 would be.

23 **MR. OBEGI:** And did you consider that in --
24 consider that fact in your testimony?

25 **MR. MIZELL:** I'm going to object as to the

1 extent to which Mr. Obegi wishes to go into the
2 real-time Operations Criteria beyond the specific
3 criteria of real-time operations discussed by
4 Dr. Greenwood, that would be beyond the scope of his
5 rebuttal testimony.

6 If Mr. Obegi can point to a linkage within
7 Dr. Greenwood's testimony talking about the specific
8 type of real-time operations, I'm happy to withdraw my
9 objection.

10 **CO-HEARING OFFICER DODUC:** How deeply are you
11 intending to exploring this, Mr. Obegi.

12 I can understand you wanting to determine what
13 Dr. Greenwood did or did not consider when he discussed
14 real-time operational adjustments in response to fish
15 presence.

16 But if you're going to question him
17 extensively about, for example, export consideration in
18 real-time operations, that would be outside the scope.

19 **MR. OBEGI:** There's a statement in his
20 testimony on Page 16 that the real-time pulse
21 protective criteria are required to be implemented as
22 part of the Permitting Conditions of Approval.

23 And it goes to the heart of his rebuttal
24 testimony that real-time operations provide reasonable
25 protection because the monitoring will be improved and

1 the measures will be implemented.

2 And in order to know whether the measures will
3 be implemented, we need to know whether measures have
4 been implemented in the recent past. That is clearly
5 relevant.

6 **CO-HEARING OFFICER DODUC:** To the extent that
7 he is aware of them.

8 **MR. OBEGI:** Correct.

9 **CO-HEARING OFFICER DODUC:** And to the extent
10 that you do not go beyond his expertise in terms of
11 those real-time operations. He's not an operations
12 person.

13 **MR. OBEGI:** Absolutely.

14 **CO-HEARING OFFICER DODUC:** All right. I'll
15 allow you.

16 Overruled, Mr. Mizell.

17 **WITNESS CHILAMKURI:** Mr. Obegi, do you mind
18 pulling up the Final BA -- Final Biological Assessment,
19 which is actually DWR-1142. This -- There's a Revised
20 BA in 2017. We just want to make sure the language is
21 not changed.

22 **MR. OBEGI:** I would not object.

23 (Exhibit displayed on screen.)

24 **MR. OBEGI:** Chapter 3.

25 (Exhibit displayed on screen.)

1 **MR. OBEGI:** I believe it was Page 99, although
2 it may take awhile to find it with the red-lined
3 version.

4 (Exhibit displayed on screen.)

5 **WITNESS CHILAMKURI:** A couple more pages.

6 (Scrolling through document.)

7 **CO-HEARING OFFICER DODUC:** What page are we
8 looking for?

9 **MR. OBEGI:** I believe it's -- Try 3-96.

10 **CO-HEARING OFFICER DODUC:** We're on 3-86.

11 (Exhibit displayed on screen.)

12 **WITNESS CHILAMKURI:** Further down, actually.
13 It's probably --

14 **MR. OBEGI:** There's quite a bit of red line.

15 **WITNESS CHILAMKURI:** Yeah.

16 (Scrolling through document.)

17 **WITNESS CHILAMKURI:** Keep going.

18 (Scrolling through document.)

19 **WITNESS CHILAMKURI:** Keep going down.

20 (Scrolling through document.)

21 **WITNESS CHILAMKURI:** Right there, yes.

22 A little bit further down, just a paragraph.

23 (Exhibit displayed on screen.)

24 **WITNESS CHILAMKURI:** Yeah. Okay. Looks like
25 it did not change. Thank you.

1 **MR. OBEGI:** Thank you.

2 **CO-HEARING OFFICER DODUC:** Now I've forgotten
3 where you were, Mr. Obegi.

4 What was your question?

5 **MR. OBEGI:** My -- I don't think there was a
6 question pending. We were talking about whether the
7 water supply considerations . . .

8 Here's a question:

9 Does this language mean that, at times,
10 real-time operations would not be implemented to
11 protect fish because of water supply considerations?

12 **WITNESS CHILAMKURI:** I'll try to answer that.

13 No, it does not mean that. All it's saying is
14 to indicate that there is enough flexibility having
15 this new diversion facility that, if there are concerns
16 at the South Delta intakes, then exports would occur at
17 North Delta intakes and back and forth.

18 It's a -- It's a flexibility -- It's
19 offering -- It's talking about a flexibility issue that
20 the Project brings.

21 **MR. OBEGI:** So water supply would not be
22 considered in making real-time operations?

23 **WITNESS CHILAMKURI:** That's not what I said.
24 I'm just saying that the statement in making these
25 decisions, I was giving you a specific example of what

1 this statement is indicating about.

2 And as it's stated there, yes, water supply
3 will be a part of consideration but, at the same time,
4 that fish protection is a consideration as well.

5 **MR. OBEGI:** Mr. Hunt, would you please pull up
6 the exhibit that's been marked as NRDC-203.

7 (Exhibit displayed on screen.)

8 **MR. OBEGI:** And I have printed copies of an
9 excerpt and the full document.

10 If we could hand them to the witness and to
11 counsel.

12 Thank you.

13 (Counsel confers with Miss McCue.)

14 **MR. OBEGI:** And this is a 2016
15 memorandum . . .

16 One of them is just a -- Give the witness the
17 full package, yeah. The other one's just a short
18 excerpt because I'm only just asking about the first
19 couple pages.

20 (Pause in proceedings.)

21 **MR. OBEGI:** And if you will -- Do you recall
22 this document, Dr. Greenwood?

23 **WITNESS GREENWOOD:** I may have seen it. I'm
24 not quite recalling right now looking at it.

25 **MR. OBEGI:** And can we pull up Page 2 --

1 (Exhibit displayed on screen.)

2 **MR. OBEGI:** -- under the "Summation of
3 Effects."

4 (Exhibit displayed on screen.)

5 **MR. OBEGI:** In this memorandum from NMFS,
6 which is the informal sufficiency review of the January
7 working draft of the Biological Assessment, doesn't it
8 state that, quote (reading):

9 "The species determinations in
10 Chapter 7 rely too heavily on real-time
11 operations . . ."

12 **WITNESS GREENWOOD:** That's what that
13 sentence -- part of that sentence says.

14 **MR. OBEGI:** Do you agree with that conclusion?

15 **WITNESS GREENWOOD:** This is a memo from a
16 couple of years ago on a -- what seems to have been
17 a -- I don't know whether this is draft or what it is.

18 Seems to be talking about a working draft of
19 the BA, so it's challenging to formulate an opinion.

20 **MR. OBEGI:** Then turning to the next page, do
21 you see --

22 **WITNESS CHILAMKURI:** Sorry. I just want to
23 add one thing.

24 Maybe this is where you're going.

25 If you go to the next page --

1 (Exhibit displayed on screen.)

2 **WITNESS CHILAMKURI:** -- NMFS recognizes need
3 for auxiliary analyses under real-time operations.

4 And if you look at the NMFS Biological
5 Opinion, they state that the -- those -- based on those
6 auxiliary analysis, the modeling objective is
7 sufficient for their opinions.

8 **MR. OBEGI:** And I actually want to go up a
9 little bit higher where, at the very bottom of Page 2
10 to the top of Page 3, it says (reading):

11 "The potential for negative
12 effects -- negative effect is discounted
13 by reliance on very uncertain outcomes of
14 predator control, success of real-time
15 operations (which has not been very
16 protective in recent years) . . ."

17 And goes on.

18 Do you agree with NMFS' conclusion that
19 real-time operations have not been very protective in
20 the years prior to this 2016 memorandum?

21 **WITNESS GREENWOOD:** It's difficult to say what
22 they're specifically meaning by that or what they're
23 referring to.

24 I don't know what they're -- I don't know what
25 they're referring to there.

1 **WITNESS CHILAMKURI:** And, also, as we just
2 looked at, DWR-1142, there were significant changes to
3 the real-time operations decisions in regards to BA.

4 **MR. OBEGI:** Dr. Greenwood, you also testified
5 that you disagree with the bypass flow recommended by
6 Dr. Rosenfield.

7 Is it your opinion that a 35,000 cfs bypass
8 flow at the North Delta diversion would not be more
9 protective of migrating Salmon than the unlimited pulse
10 protection proposed at the North Delta diversion?

11 (Pause in proceedings.)

12 **WITNESS GREENWOOD:** Could you repeat that
13 question, please?

14 **MR. OBEGI:** Do you agree that a 35,000 cfs
15 bypass flow at the North Delta diversion would be more
16 protective of migrating Salmon than the unlimited pulse
17 protection at the North Delta diversion?

18 **WITNESS GREENWOOD:** I haven't done a specific
19 analysis so it would be hard to say. It would be hard
20 to say just based on being asked, "is this compared to
21 this," more protective.

22 **MR. OBEGI:** Am I correct that, under the
23 unlimited pulse protection, if Salmon are detected
24 upstream of the North Delta diversions, that 35,000 cfs
25 bypass flow is required?

1 **WITNESS GREENWOOD:** I'm -- I would have to
2 defer to Dr. Chilmakuri on the specifics on that.

3 **WITNESS CHILAMKURI:** I don't recall that.

4 **MR. OBEGI:** And you also testified with
5 respect to the monitoring that it would adequately
6 detect the pulse of Salmon.

7 How many Salmon would be required to be caught
8 in the monitoring to trigger the bypass flow under the
9 unlimited pulse protection?

10 **WITNESS GREENWOOD:** Well, there are -- I think
11 there are some criteria that are mentioned in the ITP
12 for that. But it's recognized the . . . the North
13 Delta diversion's Technical Team will have to address
14 whether -- you know, what's initially proposed will, I
15 guess, be adequate for that purpose, for the real-time
16 operations.

17 So they may be able to consider different
18 triggers in terms of number of fish as well as whether
19 there's additional monitoring locations, for example,
20 that are required.

21 So, I could -- we could look in the ITP to see
22 what the specific number is, but we just have to
23 recognize that that's something that, through the work
24 of the North Delta diversion Technical Team, could be
25 adjusted.

1 **MR. OBEGI:** And if that number is greater than
2 one, there would be times that there are Salmon
3 migrating and the bypass flow under unlimited pulse
4 protection would not be implemented; correct?

5 **WITNESS GREENWOOD:** It's hard -- I guess it's
6 hard to say definitively on that.

7 (Pause in proceedings.)

8 **MR. OBEGI:** In general, as a hypothetical,
9 assume that the unlimited pulse protection requires
10 35,000 cfs bypass flow if fish are detected at the
11 upstream rotary screw traps.

12 Assuming that hypothetical, would a 35,000 cfs
13 bypass flow at all times be more protective of Salmon
14 than a bypass flow of 35,000 cfs that is only triggered
15 when sufficient number of Salmon are detected in
16 monitoring?

17 (Pause in proceedings.)

18 **WITNESS GREENWOOD:** I think it -- It's
19 challenging to be able to say thinking about the
20 hypothetical.

21 **MR. OBEGI:** Why is it challenging? What --
22 What particularly are you struggling with?

23 **WITNESS GREENWOOD:** Well, there's -- there's
24 different elements.

25 If you could -- If you could repeat it.

1 **MR. OBEGI:** Assume that the unlimited pulse
2 protection requires a 35,000 cfs bypass flow at the
3 North Delta diversion when Salmon are detected in
4 monitoring in the rotary screw traps.

5 Would a 35,000 cfs bypass flow that is not
6 dependent on monitoring be more protective than one --
7 than a 35,000 cfs bypass flow under unlimited pulse
8 protection that only is triggered when sufficient
9 numbers of Salmon are caught in the rotary screw traps?

10 **WITNESS GREENWOOD:** It's challenging to say
11 because flow isn't the only consideration, I think, as
12 far as what could affect Salmon survival.

13 I think the basis for the 35,000 cfs, I think
14 it comes from flow survival relationships, but those
15 have uncertainty around them. So it's -- It's
16 difficult to say based just on that.

17 **MR. OBEGI:** But that is the basis for the
18 unlimited pulse protection; correct?

19 **WITNESS GREENWOOD:** I believe so.

20 **WITNESS CHILAMKURI:** Actually, I just want
21 to -- I don't think 35,000 cfs bypass flow requirement
22 is -- that's part of unlimited pulse protection.

23 It is -- For the unlimited pulse protection,
24 as I understand, if the -- if there are a certain
25 number of fish detected in an upstream fish trawl, then

1 the North-of-Delta diversions would need to be reduced
2 to very low-level pumping, which is about 900 cfs --
3 which can be up to 900 cfs. It would be really
4 sensitive of the Sacramento River flow about 5,000 cfs.

5 That is the -- If the unlimited flow pulse
6 protection is restricted, that is an action that's
7 required. It's not -- I don't recall that there is a
8 35,000 cfs bypass flow in there.

9 **MR. OBEGI:** You don't recall that the exports
10 are allowed to increase once flows are above 35,000
11 cfs?

12 **WITNESS CHILAMKURI:** That's not under
13 the . . .

14 So, let's -- let's -- So let's say -- I think
15 this was discussed in the prior testimony.

16 But the North Delta diversions are -- The
17 bypass flow requirements, they vary over the season,
18 going from very restrictive to more than -- a little
19 less restrictive for the season as the conditions get
20 wetter from September through June -- actually from
21 October through June period.

22 And the unlimited pulse protection is a
23 real-time action which is dependent on the fish that
24 are caught at the upstream trawls as an indicator of
25 fish migrating downstream, and that action could occur

1 at any point of time in the season.

2 And during -- If the -- If such an action
3 occurs when the diversions are somewhere between
4 Level 1, 2 and 3, what the BiOps says -- and which I
5 don't exactly remember the specifics -- is that if --
6 if the exports are already at the Level 1 or higher,
7 then -- and if the export North Delta diversions have
8 to be cut down because of the unlimited pulse
9 protection trigger, then they can only go back up after
10 the 35,000 cfs requirement is met, I think.

11 Again, I don't remember exactly the whole
12 description of when those exports go up, but that's the
13 context where it's happening.

14 But the action the WaterFix would take is to
15 reduce the amount of the diversion to, as I said,
16 6 percentage of the Sacramento River flow, about 5,000
17 cfs or up to the maximum of 500 cfs when such an action
18 is triggered, such as unlimited pulse protection.

19 (Pause in proceedings.)

20 **MR. OBEGI:** Dr. Greenwood, you also testify
21 regarding real-time operations of OMR flows using the
22 Smelt Working Group on Pages 25, Line 7 to 11.

23 (Exhibit displayed on screen.)

24 **MR. OBEGI:** Are you aware that the Fish and
25 Wildlife Service has rejected the advice of the Smelt

1 Working Group multiple times in recent years?

2 **CO-HEARING OFFICER DODUC:** Mr. Berliner.

3 **MR. BERLINER:** Objection: This seems to go
4 beyond the scope of his testimony.

5 **CO-HEARING OFFICER DODUC:** Mr. Obegi.

6 **MR. OBEGI:** His testimony asserts that these
7 factors, such as fish distribution, would continue to
8 be considered as part of the real-time operations group
9 such as the Smelt Working Group, and it's part of the
10 basis for his conclusion that WaterFix provides
11 reasonable protection of fish and wildlife.

12 **CO-HEARING OFFICER DODUC:** Dr. Greenwood,
13 please answer.

14 **WITNESS GREENWOOD:** I'm not sure -- I'm not
15 sure if it's . . .

16 I guess as far as rejection, I don't know if
17 the -- If it's rejection or if it's consideration, but
18 then, you know, they do a different action. I'm not
19 sure.

20 You know, I'm just giving some -- I'm giving
21 as an example here in my testimony that you pulled from
22 the Smelt Working Group, but then there's Water
23 Operations Management Team and others, you know, that
24 have contributed to this.

25 So I think I'm had a similar question from

1 Mr. Jackson last week, and I indicated that the take
2 limits haven't been exceeded, which suggests, you know,
3 that the operations have been protective in that
4 regard.

5 **MR. OBEGI:** I have a couple of exhibits I'd
6 just like to walk through very briefly.

7 Mr. Hunt, can you pull up NRDC-205.

8 (Exhibit displayed on screen.)

9 **MR. OBEGI:** And this is a December 21st, 2016,
10 Fish and Wildlife Service response to the Smelt Working
11 Group recommendation.

12 (Pause in proceedings.)

13 **MR. OBEGI:** And it indicates that the Smelt
14 Working Group recommended Action 1 be implemented as
15 soon as possible, and Fish and Wildlife Service
16 declined to require that because of less water supply
17 impact.

18 If you look at the last paragraph -- the
19 beginning of the last paragraph.

20 (Exhibit displayed on screen.)

21 **MR. OBEGI:** And then if you'd pull up
22 NRDC-206.

23 **CO-HEARING OFFICER DODUC:** Hold on.

24 And -- I'm sorry -- your question to
25 Dr. Greenwood is?

1 **MR. OBEGI:** I'd like to -- We can walk it
2 through.

3 Did you consider the fact that Action 1 was
4 not implemented in 2016 and has not been implemented in
5 certain years because of water supply considerations in
6 making your -- in testifying that real-time operations
7 provides reasonable protection of fish and wildlife?

8 **MR. BERLINER:** Objection: I think insofar as
9 Mr. Obegi is characterizing NRDC-205, in the last
10 paragraph, his characterization is contrary, I believe,
11 to what it says here.

12 As I understand it, Action 1 -- service at
13 Action 1 -- the service -- Here.

14 The service does not believe that Action 1 is
15 currently necessary in response to last week's storm,
16 is what it says.

17 **CO-HEARING OFFICER DODUC:** So let's see if we
18 can shortcut this.

19 Dr. Greenwood, are you familiar with this
20 document?

21 **WITNESS GREENWOOD:** I don't recall having -- I
22 mean, I may have -- I may have seen it at one time. I
23 don't recall specifically seeing it.

24 **CO-HEARING OFFICER DODUC:** So are you, sitting
25 here today, able to testify as to whether or not you

1 considered this factor in your rebuttal testimony?

2 **WITNESS GREENWOOD:** Yeah, I think I'm -- I'm
3 just generally speaking to the work of different
4 real-time operation groups.

5 And considerations such as are laid out here,
6 which, while the Fish and Wildlife Service isn't . . .
7 they're not the same as the Smelt Working Group, but
8 there's considerations of what I would consider kind of
9 real-time factors.

10 So, just broadly speaking, that kind of speaks
11 to me to what's written in my testimony as far as on a
12 weekly basis trying to consider what conditions are in
13 real-time.

14 So I haven't -- I'm not familiar with these
15 specifically.

16 **CO-HEARING OFFICER DODUC:** Okay. I'm
17 guessing, Mr. Obegi, that you are going to be showing
18 Dr. Greenwood various documents with various findings
19 and asking whether he considered it in his analysis in
20 order to lay the foundation for potentially closing
21 briefs that you will be arguing.

22 Is that the plan?

23 **MR. OBEGI:** That is.

24 **CO-HEARING OFFICER DODUC:** Let's move quickly
25 through it, and Miss -- Dr. Greenwood, answer the

1 question only of: Are you familiar with this document?
2 Are you familiar with your analysis? Did you consider
3 it in preparing your rebuttal testimony?

4 **MR. OBEGI:** So, that question with respect to
5 NRDC-206, which is a Fish and Wildlife Service
6 determination from the prior year, dated January 14th,
7 2016.

8 **WITNESS GREENWOOD:** I didn't specifically
9 consider this document in forming my opinion.

10 **MR. OBEGI:** And then the very last one is
11 NRDC-207, which is a February 5th, 2013, determination
12 from the Fish and Wildlife Service.

13 (Exhibit displayed on screen.)

14 **MR. OBEGI:** Which --

15 **WITNESS GREENWOOD:** Again --

16 **MR. OBEGI:** Go ahead.

17 **WITNESS GREENWOOD:** Sorry. Please ask the
18 question.

19 **MR. OBEGI:** Did you consider this
20 determination from the Fish and Wildlife Service where
21 they did not implement the Smelt Working Group
22 recommendation while also raising concerns about
23 exceeding the Incidental Take Limit?

24 **WITNESS GREENWOOD:** I didn't specifically
25 consider this document.

1 But as I mentioned, again, to my knowledge,
2 Incidental Take Limits have not been exceeded.

3 **MR. OBEGI:** Would it surprise you to find out
4 that the Incidental Take Limit for Delta Smelt has been
5 increased above and beyond what was identified in the
6 Biological Opinion in recent years?

7 **WITNESS GREENWOOD:** I believe I'm generally
8 aware of that, although my recollection was that there
9 was a specific rationale for that.

10 **MR. OBEGI:** And in light of these documented
11 instances of the Fish and Wildlife Service not
12 implementing the recommendations of the Smelt Working
13 Group, do you still believe that real-time operations
14 provide reasonable protection of fish and wildlife?

15 **WITNESS GREENWOOD:** I do, because, as I
16 mentioned, there's -- The Smelt Working Group is one
17 component within a broader, as I understand it,
18 framework.

19 So, looking at some of these documents you've
20 provided examples of, I mean, the -- these are
21 considerations, as an example, Fish and Wildlife
22 Services is considering these various factors in their
23 ruminations, so . . .

24 That, to me, is -- remains consistent with my
25 opinion.

1 **MR. OBEGI:** Nothing further.

2 **CO-HEARING OFFICER DODUC:** With 12 seconds
3 remaining.

4 (Laughter.)

5 **CO-HEARING OFFICER DODUC:** Thank you for that
6 impeccable timing.

7 Let's do a quick time check before we break
8 for lunch.

9 Miss Des Jardins, Miss Meserve. I don't see
10 Miss Meserve.

11 **CO-HEARING OFFICER MARCUS:** There she is.

12 **CO-HEARING OFFICER DODUC:** Oh, there she is.

13 At this time, what is your estimates for
14 cross-examination of this panel?

15 Keeping in mind that many, many questions have
16 been asked of them since you initially provided your
17 estimate.

18 **MS. DES JARDINS:** I do have questions that
19 have not been asked, and I would still need, I would
20 estimate, about two hours.

21 **CO-HEARING OFFICER DODUC:** And your questions
22 will be directed at which witnesses?

23 **MS. DES JARDINS:** Greenwood, Wilder, and
24 Reyes, and Parker, and Kristin White, and
25 Dr. Chilmakuri.

1 **CO-HEARING OFFICER DODUC:** Miss Meserve.

2 **MS. MESERVE:** Good morning.

3 Yes. I think I still --

4 **CO-HEARING OFFICER DODUC:** Afternoon now,
5 unfortunately.

6 **LEFT2:** Sorry.

7 I think it's still about an hour. I --
8 It's -- So -- And it's many of the same witnesses that
9 was first mentioned by Miss Des Jardins.

10 **CO-HEARING OFFICER DODUC:** Any questions for
11 Mr. Valles, Dr. Phillis?

12 **MS. MESERVE:** Yeah, I did have a couple
13 questions for Mr. Valles.

14 **CO-HEARING OFFICER DODUC:** Perhaps we could do
15 that before we adjourn for lunch, if it's just a couple
16 questions, so that Mr. Valles does not need to return.

17 And Mr. Mizell, Mr. Berliner,
18 Miss Aufdemberge, I am thinking we will not get to your
19 second panel -- I'm sorry -- your third panel today
20 because, by my count, that's at least three hours or so
21 of cross-examination, and we will be returning about
22 1:30.

23 **MR. MIZELL:** Thank you.

24 **MS. MESERVE:** Yeah. Sure, I can get those
25 questions.

1 I wanted to -- Related to moving on from DWR's
2 panels, and just do a quick time check for when the
3 first Protestant panels would be up. Would that be
4 okay to do that now or --

5 **CO-HEARING OFFICER DODUC:** I don't know.
6 Depends on cross-examination; won't it?

7 **MS. MESERVE:** Yeah. And what I'm looking at
8 is, it looks like Sac Valley Water Users have a panel
9 Grasslands has a panel, then we have a maybe a short
10 presentation from San Joaquin Tributaries, and then we
11 roll into the Adaptive Management testimony that LAND
12 and others are presenting.

13 I've got a witness up in Oregon. He needs 24
14 hours' notice. I'm kind of thinking maybe Thursday for
15 that panel.

16 I also wanted to give DWR a heads-up that
17 we're talking with South and Central Delta Water Agency
18 about their witnesses, Tom Burke and Jeffrey Michael,
19 and potentially putting them first, if that would be
20 okay, in order to get my witness time to get down from
21 Oregon.

22 So --

23 **CO-HEARING OFFICER DODUC:** Why don't you guys
24 talk to each other and get a proposal to us?

25 **LEFT2:** Sure. Okay. Thanks.

1 **CO-HEARING OFFICER DODUC:** All right. And if
2 you only have a few questions for -- I apologize, I'm
3 probably mispronouncing your last name -- let's do that
4 so you don't have to return after lunch.

5 Unless Miss Des Jardins has now decided that
6 she has questions for you as well.

7 **MS. DES JARDINS:** I just -- Some of my
8 questions for Miss Parker and Miss White and Mr. Reyes
9 might also need some answers from Mr. Valles.

10 He doesn't have specific testimony, so I -- I
11 didn't have specific questions directed at him. But he
12 does say that he would be --

13 **CO-HEARING OFFICER DODUC:** All right. In that
14 case, you're stuck with us.

15 Why don't we go ahead and take our lunch
16 break. We will return at 1:30.

17 (Lunch recess at 12:30 p.m.)

18 * * *

19

20

21

22

23

24

25

1 AFTERNOON SESSION

2 ---o0o---

3 (Whereupon, the proceedings resumed
4 at 1:30 p.m.)

5 CO-HEARING OFFICER DODUC: All right.

6 Everyone, please take a seat. We are back in session
7 now with examination by Ms. Des Jardins. She has
8 indicated that she's directing her first sets of
9 questions to Dr. Greenwood and Dr. Wilder.

10 MS. DES JARDINS: Thank you.

11 CROSS-EXAMINATION BY MS. DES JARDINS

12 Could you bring up Exhibit DWR-1229, please,
13 the testimony of Richard Wilder.14 CO-HEARING OFFICER DODUC: And as that is
15 coming up, do you have any specific area of focus that
16 you have for Dr. Wilder?17 MS. DES JARDINS: Yeah. There's two
18 questions. One is Old River carryover storage
19 requirements, and the other is about the physical
20 modeling, linking the physical modeling efforts to the
21 biological --

22 CO-HEARING OFFICER DODUC: All right.

23 MS. DES JARDINS: But first --

24 CO-HEARING OFFICER DODUC: These are questions
25 addressed to Dr. Wilder?

1 MS. DES JARDINS: Yes.

2 CO-HEARING OFFICER DODUC: All right. Let's
3 do that.

4 MS. DES JARDINS: But first, based on the
5 decision prior, for the record, I'd like to move to
6 strike the references in Dr. Wilder's testimony to
7 reasonable protection. And that's just for the record.
8 Page 2 at Line 1 to 2 states, "CWF is reasonably
9 protective of American River Chinook salmon and
10 steelhead, and based on that, reasonable protection is
11 an absolute standard." And we're not able to do cross
12 on the adequacy of existing standards because it was
13 covered in Part 1. I'd like to move to strike that.
14 And, again, at 10 to 11, it says it as well.

15 And then on Page 7, at Line 9 to 11, I'd like
16 to move to strike where it says, "DCWF will provide
17 reasonable protection of upstream life stages of
18 salmonids." Again, I'd like to strike it on the basis
19 that it's an absolute standard and -- and that -- and
20 we're not able to do cross on it.

21 And again on Page 11, at Line 16 to 19, I'd
22 like to strike -- scroll down. It's at 16 to 19.

23 CO-HEARING OFFICER DODUC: All right.
24 Ms. Des Jardins, rather than going through the entire
25 list and taking up your valuable and limited

1 cross-examination time, why don't you submit that in
2 writing.

3 MS. DES JARDINS: Okay.

4 CO-HEARING OFFICER DODUC: And please do that
5 by noon on Wednesday.

6 And petitioners, you may have until noon on
7 Friday to respond.

8 MS. DES JARDINS: And I would like to add that
9 I also have similar motions to strike for
10 Marin Greenwood's references to reasonable protections.

11 CO-HEARING OFFICER DODUC: Fine. Submit all
12 that in writing.

13 MS. DES JARDINS: Okay. Thank you. Okay.

14 So let's -- Page 11 at Line 5.

15 MS. MITTERHOFER: Ms. Des Jardins, if I could
16 just interrupt you for a second.

17 We got a request from the AV room that you
18 please speak into the microphone. We can't really hear
19 you. Thank you.

20 MS. DES JARDINS: Apologies.

21 So on Page 11, at Line 5, we view reference
22 carryover requirements in Oroville Reservoir.

23 And scroll down a little.

24 Did -- did you look at -- you state there that
25 you believe permit terms are unnecessary because CWF is

1 reasonably protective and describe your case-in-chief
2 testimony. You also say they're impacts unrelated to
3 CWF.

4 Did you look at the actual storage levels in
5 Oroville Reservoir in -- in determining whether they're
6 reasonably protective, or is this just based on your
7 case-in-chief testimony?

8 WITNESS WILDER: I'm sorry. Can you --

9 MS. DES JARDINS: I'm sorry.

10 WITNESS WILDER: -- define what you mean by
11 "look at"?

12 MS. DES JARDINS: Well, you say you think that
13 the carryover requirements for Oroville are unnecessary
14 because CWF is reasonably protective of upstream
15 aquatic resources.

16 Did you look at actual storage levels in
17 Oroville Reservoir in determining this, that are
18 projected under the CWF H3+ model?

19 WITNESS WILDER: Just to make sure, you're
20 talking about CWF H3+ modeling compared to the No
21 Action?

22 MS. DES JARDINS: No. I'm talking about the
23 actual projected storage levels.

24 WITNESS WILDER: Like, in real life?

25 MS. DES JARDINS: That are in the modeling in

1 Exhibit --

2 Let's bring up -- can we bring up SVWU-406.

3 And I believe Page 11 is the Oroville
4 Reservoir modeling and Oroville storage, and it shows
5 multiple months below 1,000 cfs in your deadpool,
6 correct?

7 WITNESS WILDER: You mean in general, or are
8 you looking at specific months?

9 MS. DES JARDINS: I'm looking at specific
10 months: 1933, July, August, September; 1934, October,
11 November, December; 1940, October, November, December;
12 1950, November and December; 1960, November, December,
13 January.

14 Do you see -- I could go on, but do you see
15 that there are multiple months in this operational
16 simulation where storage levels are below 1,000
17 acre-feet?

18 MR. MIZELL: I'd like to object. The question
19 that Ms. Des Jardins just asked doesn't have the
20 appropriate foundation laid, that Dr. Wilder looked at
21 this modeling data. I don't believe we ever got an
22 answer to that question. Ms. Des Jardins just moved on
23 to the actual model.

24 Maybe we need to backtrack to one of her
25 previously asked questions to establish if Dr. Wilder

1 relied upon this modeling data in making his analysis.

2 CO-HEARING OFFICER DODUC: Yes.

3 MS. DES JARDINS: Okay. Dr. Wilder, did you
4 actually ever look at projected storage levels at
5 Oroville Reservoir in the CWF H3+ model in making this
6 determination?

7 WITNESS WILDER: So the way the analysis was
8 conducted was -- looking at Oroville was primarily in
9 the FEIR/EIS in which we looked at H3 and H4. We made
10 a linkage later that CWF -- or, excuse me -- BA H3+ is
11 within the range of H3 and H4, and then we also made
12 the claim that -- the linkage between CWF H3+ and BA
13 H3+. And therefore, my opinions were based on that
14 series of linkages between CWF H3+ and H3 and H4
15 because CWF H3+ had not been available at the time of
16 the Biological Assessment.

17 MS. DES JARDINS: Dr. -- Dr. Wilder, in --
18 you're not testifying about H3 and H4 operations in
19 your current -- in your rebuttal testimony, though, are
20 you?

21 WITNESS WILDER: That's correct. I'm
22 testifying for CWF H3+.

23 MS. DES JARDINS: And so you just have this
24 linkage to a series of previous modeling, but you never
25 actually looked at the model results for CWF H3+ for

1 the projected storage levels in making that
2 determination?

3 WITNESS WILDER: Yeah, that's correct. I
4 looked at H3 and H4 and made the linkage between those
5 two and in -- and BA H3+ and CWF H3+.

6 CO-HEARING OFFICER DODUC: Hold on,
7 Ms. Des Jardins.

8 Dr. Chilmakuri?

9 WITNESS CHILMAKURI: Yeah, I just want to make
10 sure which modeling we are talking about because I
11 think Dr. Wilder is specifically talking about the
12 biological modeling and whereas Ms. Des Jardins has
13 been focusing on CalSim storage modeling. And I
14 believe we made the clarification, Dr. Wilder will be
15 specifically responding to those.

16 CO-HEARING OFFICER DODUC: Thank you.

17 MS. DES JARDINS: Dr. Wilder, did you look --
18 in making this determination, did you look at storage
19 levels in H3 and H4, projected storage levels, and
20 testimony on projected storage levels in H3 and H4 in
21 Part 1?

22 WITNESS WILDER: I'm assuming you're talking
23 about Oroville --

24 MR. MIZELL: I'm going to enter an objection.
25 AS to the question going to what he testified to in

1 Part 1, that's beyond the scope of cross-examination
2 for rebuttal.

3 MS. DES JARDINS: He just said that it's based
4 on H3 and H4. And just the question is -- so the
5 question there is did you look at projected storage
6 levels within that range -- within that range in making
7 this determination of operations?

8 MR. MIZELL: In which case, objection, asked
9 and answered.

10 CO-HEARING OFFICER DODUC: Help me,
11 Dr. Wilder. When you say in your testimony on Page 11,
12 Lines 16 through 18, that these opinions -- your
13 opinion that the proposed terms are unnecessary and
14 that includes carryover requirements in Oroville
15 Reservoir is based on your Exhibit DWR-1013, without
16 getting into a lot of detail, was that analysis
17 based -- did that analysis include a review of modeled
18 carryover storage in Oroville Reservoir?

19 WITNESS WILDER: Yes, it did.

20 MS. DES JARDINS: And what was your conclusion
21 about the modeled carryover storage in Oroville
22 Reservoir based on that review?

23 WITNESS WILDER: I believe it's stated down
24 below, that CWF is reasonably protective of upstream
25 aquatic resources.

1 MS. DES JARDINS: That's the modeling I asked
2 about.

3 What was your -- what was your conclusion
4 about H3 and H4 based on that review that you state
5 that you did? Because you've already testified that
6 your review was tied to this previous modeling. What
7 was your conclusion about carryover storage levels in
8 H3 and H4 as part of that review?

9 MR. MIZELL: Objection, asked and answered.

10 WITNESS WILDER: The answer is the same.

11 MS. DES JARDINS: That you concluded that they
12 were reasonably -- that H3 and H4 were reasonably
13 protective?

14 WITNESS WILDER: Yeah. Let me explain a
15 little more. I mean, it's based -- my conclusions are
16 based on more than just looking at carryover storage.
17 It includes a suite of biological analyses that we did.
18 But taken together, my conclusion or my opinion is that
19 it's reasonably protective of the upstream aquatic
20 resources.

21 MS. DES JARDINS: So in looking at those
22 criteria, you're looking at Biological Opinion
23 criteria?

24 CO-HEARING OFFICER DODUC: What criteria --

25 MS. DES JARDINS: Yeah, what criteria for

1 Oroville are you considering that is included in that
2 opinion?

3 WITNESS WILDER: Just to make sure, can you
4 define "criteria" here? I know it has a lot of
5 specifics.

6 MS. DES JARDINS: What carryover criteria for
7 Oroville are you considering? Is there -- are you
8 considering some carryover storage criteria for
9 Oroville that are in some regulation? And if so, where
10 is that?

11 WITNESS WILDER: I myself did not evaluate
12 anything with criteria. I was looking at the
13 biological effects.

14 Perhaps modelers could say a little bit more
15 about the criteria used. But I do know that the
16 criteria did not differ between the NAA and H3 and H4
17 in this case.

18 MS. DES JARDINS: So you didn't -- there are
19 biological effects if the reservoir is drawn down to
20 near deadpool, aren't there?

21 WITNESS WILDER: Yes, I think so under some
22 conditions, many conditions.

23 MS. DES JARDINS: Would the effects include
24 reduced reservoir releases and reduced stream flow
25 downstream of the reservoir, potentially?

1 CO-HEARING OFFICER DODUC: Mr. Berliner.

2 MR. BERLINER: Objection. I mean, if this is
3 a hypothetical question as to whether it could reduce,
4 that's one thing, but based on how this sentence is
5 phrased, it's an incomplete hypothetical.

6 CO-HEARING OFFICER DODUC: Help me understand,
7 Ms. Des Jardins, your line of questioning and what
8 you're trying to establish.

9 MS. DES JARDINS: Basically, I'm just trying
10 to explore what he looked at in determining that
11 carryover requirements, existing carryover requirements
12 in Oroville Reservoir were reasonably protective. And
13 to the extent he says that he just looked at biological
14 effects, I was asking if there were biological effects
15 of the reservoir being drawn down to near deadpool and,
16 by extension, if he considered those.

17 MR. BERLINER: He answered that it could,
18 depending on the circumstances.

19 MS. DES JARDINS: Oh, he didn't get a chance
20 to answer that question because there was an objection.

21 CO-HEARING OFFICER DODUC: Hold on. Hold on.

22 MR. BERLINER: That was a previous question.
23 You had asked it earlier; he responded. So if you're
24 asking it again, then the objection is asked and
25 answered.

1 CO-HEARING OFFICER DODUC: I think you've
2 established what he looked at.

3 Is there any additional detail you can offer,
4 Mr. Wilder, as to how you came to the opinion that
5 carryover in Oroville is sufficient to be reasonably
6 protective of upstream aquatic resources?

7 WITNESS WILDER: Yeah, and my response kind of
8 goes to what we've been talking about all along, which
9 is that I did a comparative analysis that looked at the
10 No Action and the project alternative, and if there
11 were little to no difference between those two, then I
12 concluded that it was reasonably protective of the
13 aquatic species in Oroville -- or in the Feather River
14 in this case.

15 MS. DES JARDINS: I would like to strike the
16 part of the response that refers to reasonable
17 protection because I'm not able, given the limitations
18 on cross-examination, to explore why the current
19 conditions are not reasonably protective.

20 CO-HEARING OFFICER DODUC: So noted.

21 MS. DES JARDINS: So you also state that --
22 this is a similar line of questioning -- but the
23 Trinity River proposed mitigation measures are
24 unnecessary. And this is for similar reasons to that.
25 The exact same reasons are stated as were stated for

1 Oroville; is that correct?

2 WITNESS WILDER: Yes, that's correct.

3 MS. DES JARDINS: And so the same line of
4 analysis was done for Trinity River being protective of
5 -- as was done for Oroville; is that correct?

6 WITNESS WILDER: Yes, that's correct. Again,
7 we looked at the No Action Alternative versus the
8 project alternative. In this case, it would have been
9 H3 and H4 as well.

10 I also might add that we have a whole panel
11 coming up that can address the issues of existing
12 conditions and being reasonably protective.

13 MS. DES JARDINS: To the -- so I would like to
14 go to Ms. Parker's testimony on Trinity River flows.
15 And I believe it's Figure 14 on Page 23 of Ms. Parker's
16 testimony. And excuse me for jumping around, but this
17 is related, too.

18 So, Ms. Parker, the Trinity storage exceedance
19 figures show monthly flow in cfs on the Y axis.

20 Isn't that -- didn't you mean to -- that to be
21 acre-feet or thousands of acre-feet?

22 WITNESS PARKER: Yes, I did. I corrected that
23 when I gave my oral testimony.

24 MS. DES JARDINS: Okay. Thank you.

25 So on -- on Page 10 of your testimony, your

1 rebuttal addresses the impact of the end-of-September
2 exceedance, which was questioned by Mr. Stokely. And
3 you -- you attribute this impact as specific storage
4 results in water years in 1931 and 1933.

5 But is your entire argument here just that the
6 model isn't accurately capturing -- in showing these
7 deadpool conditions, that the model isn't accurately
8 capturing project operations? Or is there something
9 further for those water years?

10 WITNESS PARKER: My intent was to reiterate
11 messages that we had shared before, that results for
12 the modeling in extremely low water supply conditions
13 are not indicative; they're not meant to be indicative
14 of a proposed project operation in either the No Action
15 Alternative or the WaterFix scenario. And that these
16 being the two storage conditions that caused
17 Mr. Stokely's concern, my point was that they're not
18 reflective of a proposed project operation and,
19 therefore, they -- no term or condition is necessary to
20 overcome them.

21 MS. DES JARDINS: Ms. Parker, given the
22 uncertainty in the modeling of storage operations,
23 doesn't -- doesn't this indicate that there's a great
24 deal of uncertainty about what -- what storage
25 conditions, period, would be projected for those kinds

1 of inflow conditions?

2 WITNESS PARKER: I don't think that my
3 testimony included any mention of uncertainty in
4 storage conditions, so I'm not sure what you're
5 referring to.

6 MS. DES JARDINS: Well, if you're saying that
7 specific model decisions are not representative of a
8 proposed project operation, doesn't that mean that the
9 model has a fairly large amount of uncertainty about
10 its projections of storage levels?

11 WITNESS PARKER: But that's really only the
12 case in extremely dry, prolonged periods of low water
13 supply conditions.

14 MS. DES JARDINS: But doesn't this mean that
15 you essentially don't -- you know, let's go back to --
16 doesn't this mean that you essentially don't have
17 knowledge in the model about what the project storage
18 conditions would be?

19 WITNESS PARKER: The modeling depicts
20 differences between the No Action Alternative and the
21 WaterFix proposed action. Those conditions do not
22 change. That was the point of my testimony is to
23 highlight the fact that CVP North of Delta storage
24 conditions are not affected by the proposed action.
25 They're not affected at high levels of storage, and

1 they're not affected at extremely low levels of
2 storage.

3 So perhaps the inference you're trying to make
4 that the water -- if you're trying to make an inference
5 that the WaterFix would affect CVP storage operations
6 in extremely critical years, I disagree with that
7 assessment.

8 MS. DES JARDINS: But this is more -- your
9 actual testimony says these specific storage -- you
10 refer to specific storage results. And I guess -- so
11 there's a further limitation you're making on your
12 testimony here that -- that this is really related to
13 the difference in the two operations and it's not
14 related to whether existing Trinity carryover standards
15 are reasonably protective.

16 Would that be correct?

17 CO-HEARING OFFICER DODUC: Mr. Mizell? I did
18 see your red light go on.

19 MR. MIZELL: Yes. I appreciate the
20 recognition. I will withhold my objection.

21 MS. DES JARDINS: Okay. I would still like to
22 go back to Richard Wilder's testimony on Page 11.

23 CO-HEARING OFFICER DODUC: Do you really,
24 really want to answer, Ms. Parker?

25 MS. DES JARDINS: So, Richard Wilder, so your

1 assumption that Trinity River proposed mitigation
2 measures are not needed is based on this relative
3 analysis?

4 MR. MIZELL: Objection, asked and answered.

5 CO-HEARING OFFICER DODUC: Well, she asked
6 about Shasta. Now she's asking about Trinity.

7 MS. DES JARDINS: Yeah, I did ask about
8 Trinity, but he did -- so --

9 CO-HEARING OFFICER DODUC: You just agreed
10 with Mr. Mizell? Okay. Objection sustained.

11 MS. DES JARDINS: Okay. Sorry. Thrown off,
12 completely off stride, the witness struggles --
13 cross-examiner struggles to recover. Okay.

14 So Trinity -- okay. So just to circle back, I
15 would like to ask you about the Trinity River proposed
16 mitigation measures, and they relied on the modeling
17 analysis that I just explored with Nancy Parker.

18 And based on that fairly detailed discussion,
19 is it fair to characterize that your conclusion that
20 Trinity River proposed mitigation measures are not
21 necessary is based solely on this relevant comparison?

22 WITNESS WILDER: Yes, that's correct. That
23 was my analysis, and my opinions are based on it.

24 MS. DES JARDINS: Okay. Thank you.

25 So the next thing I'd like to go to -- we're

1 in Greenwood Exhibit DWR-1221, and Page 3 at Lines 6 to
2 8. So you mention here that 5,000 cfs downstream
3 bypass flow would mean in the river -- would mean that
4 sweeping velocity would have to be in a downstream
5 direction.

6 So it -- it appears in your testimony that
7 you're saying that a bypass flow of 5,000 cfs would
8 mean that sweeping velocity was always in a downstream
9 direction? Would that be correct?

10 WITNESS GREENWOOD: That doesn't say that
11 sweeping velocity is always in a downstream direction.
12 It's just in association with bypass flow of at least
13 5,000 cfs.

14 MS. DES JARDINS: If -- 5,000 cfs flow, if you
15 have at least 5,000 cfs flow, it says -- which would
16 mean that sweeping velocity would have to be in a
17 downstream direction.

18 WITNESS GREENWOOD: 5,000 cfs downstream flow
19 would mean sweeping velocity in a downstream direction.

20 MS. DES JARDINS: The 5,000 cfs flow is
21 proposed to be required as a daily average, is it not?

22 WITNESS CHILMAKURI: Yes, as I explained last
23 week, the bypass requirements are intended to be a
24 daily or a three-day -- I don't know an exact level of
25 average, but there's an average requirement.

1 MS. DES JARDINS: So that's -- so tidally
2 averaged, 5,000 cfs bypass flow.

3 So, Dr. Greenwood, fish don't move on
4 tidally -- if fish are in the screen and there's -- and
5 the sweeping -- instantaneous sweeping velocity goes
6 negative, the fish are carried back upstream, correct?

7 WITNESS GREENWOOD: Can you repeat the
8 question, please?

9 MS. DES JARDINS: Well, did you consider --
10 let me just say, did you consider tidal effects in your
11 conclusion that sweeping velocity would have to be in a
12 downstream direction?

13 WITNESS GREENWOOD: So the -- I think I
14 mentioned that as well in my -- in my previous
15 testimony, regarding sweeping velocity in relation to
16 approach velocity as well from the NMFS Biological
17 Opinion. So with -- the sweeping velocity would have
18 to be at least double the approach velocity. So that
19 would be downstream -- so, for example, 0.4 feet per
20 second, not 0.2 feet per second approach velocity.

21 MS. DES JARDINS: So do you know -- so your
22 understanding is that the NMFS BiOp requires a minimum
23 of four-tenths of a feet per second instantaneous
24 downstream velocity; is that correct?

25 WITNESS GREENWOOD: The incidental take limit

1 in the NMFS Biological Opinion is the Department of
2 Fish and Wildlife standard which is at least double the
3 approach velocity.

4 So approach velocity of 0.2 feet per second,
5 which is what's proposed under -- for the NDD, the
6 North Delta diversions, would mean at least
7 0.4-feet-per-second sweeping velocity.

8 MS. DES JARDINS: Do you know at what bypass
9 flow the 0.4-feet-per-second downstream velocity would
10 always be achieved?

11 WITNESS CHILMAKURI: I can try that. It would
12 vary depending on the intake, but roughly, again, in
13 the modeling when we simulated the North Delta
14 Diversions, we -- we -- I mean, we used the velocity
15 simulated in DSM-2 to determine whether or not we were
16 meeting 0.4-feet-per-second sweeping velocities on a
17 15-minute time step, which is to say that we looked at
18 it instantaneously and determined whether or not the
19 diversion can occur.

20 And as -- again, I cannot put a number, exact
21 flow number. It would change depending on the
22 cross-section where you are measuring that. But
23 0.4-feet-per-second velocity would be achieved at
24 roughly around 5- to 7,000 cfs in that stretch of the
25 river.

1 MS. DES JARDINS: Do you -- is that based
2 on -- solely on the DSM-2 model?

3 WITNESS CHILMAKURI: Correct.

4 MS. DES JARDINS: And you haven't yet done any
5 of the field studies that would validate the -- that
6 model?

7 WITNESS CHILMAKURI: If you're asking if DSM-2
8 is calibrated, it is calibrated.

9 Now, there are -- as part of the
10 pre-construction studies that are proposed for the
11 WaterFix, there is a study which requires the much more
12 detailed field study of -- and a 2D and a 3D modeling
13 exercise to further study the conditions, tidal dynamic
14 conditions in that reach of the river.

15 So DSM-2 is calibrated; the model we used has
16 been calibrated. But I'm just saying that there is
17 further study that is proposed to be conducted prior to
18 final design.

19 MS. DES JARDINS: Isn't -- do you have any
20 idea, when DSM-2 was calibrated, what the error in
21 velocity at that reach in the river is in the DSM-2
22 model?

23 WITNESS CHILMAKURI: The DSM-2 model was
24 calibrated for water levels and flows. I don't recall
25 whether we specifically looked at the velocities.

1 MS. DES JARDINS: The -- so you -- so you
2 really don't know what error rate would be in the --
3 the DSM-2 projections of -- of velocities achieved with
4 certain bypass flows?

5 MR. MIZELL: Objection. There are a couple of
6 objections. I've been trying to see where
7 Ms. Des Jardins's going, not to object too early, but I
8 do believe now we're stepping into a model calibration
9 validation and critiquing of the results of the model,
10 which was covered quite extensively in Parts 1 and in
11 Part 2 case in chief.

12 Dr. Chilmakuri's testimony does not go into
13 the validation of the results of the model. To the
14 extent that Ms. Des Jardins can tie this to
15 Dr. Chilmakuri's rebuttal testimony, certainly I can
16 withdraw my objection.

17 The second objection I have to the exact
18 question pending is argumentative. Dr. Chilmakuri
19 answered the question. She's asking him -- well, she's
20 asking an argumentative question.

21 CO-HEARING OFFICER DODUC: So let's tackle the
22 first one.

23 Ms. Des Jardins, let's link this back, please,
24 to his rebuttal testimony.

25 MS. DES JARDINS: Dr. Chilmakuri was the one

1 who just stated on cross-examination during rebuttal
2 that they had determined with DSM-2 that a flow of
3 about 5,000 to 7,000 cfs was sufficient to meet
4 4/10ths-of-a-foot-per-second downstream velocity. And
5 on a question about what the error was in that
6 projection of the model, he was the one who said that
7 the model was calibrated. And so I was just trying to
8 follow up on his own testimony.

9 I -- while there were questions on calibration
10 in Part 1, they weren't on this specific application of
11 DSM-2 to velocities at the fish screens, which is a
12 Part 2 issue.

13 It's not possible for protestants to ask a
14 question about fish screens in Part 1 because that
15 wasn't -- about fish screens and about the DSM-2
16 projections of velocities of fish screens because that
17 wasn't within the scope of Part 1.

18 So I -- I disagree with his position that this
19 question could have been asked in Part 1. It's just a
20 very specific question which is within the normal
21 standards for use of model results for what's, I think,
22 a key biological result.

23 CO-HEARING OFFICER DODUC: As long as the
24 calibration question is specific only to the upstream
25 sweeping velocity that is discussed in Dr. Chilmakuri's

1 testimony.

2 WITNESS CHILMAKURI: Dr. Greenwood's, but. . .

3 CO-HEARING OFFICER DODUC: Dr. Greenwood's,
4 sorry.

5 MS. DES JARDINS: Dr. Greenwood's, which
6 Dr. Chilmakuri testified -- and let me wind back.

7 So the -- so, again, you testified that the
8 DSM-2 model was calibrated for flows and water levels
9 but not for velocities?

10 WITNESS CHILMAKURI: Correct.

11 MS. DES JARDINS: And so given that it's not
12 calibrated for velocities, you don't have a good idea
13 about what the error would be if you had, at this
14 flow -- at this downstream flow, we think we have
15 4/10ths of a feet per second?

16 So given that lack of calibration, you don't
17 have a good idea of that?

18 WITNESS CHILMAKURI: I guess I disagree with
19 you that, just because we did not verify velocities
20 with observed data, that the model is not calibrated.
21 Just because the water level, flows, velocities, they
22 are all connected. Especially when we calibrate flow
23 and water levels, we would expect the velocities to
24 fall in line because of data.

25 However, the reason we couldn't calibrate is

1 because we didn't have enough data to actually
2 calibrate the velocities. That is the main reason.
3 But there is extensive documentation of -- for the
4 calibration, how the calibration is conducted, and it
5 was included as part of the Biological Assessment.

6 MS. DES JARDINS: So that's why you would need
7 a more detailed field study?

8 WITNESS CHILMAKURI: Correct, and that's
9 exactly what I was trying to describe. Before the
10 final design becomes detailed, there is actually a
11 defined pre-construction study to actually conduct
12 biometric surveys and conduct additional numerical
13 modeling to help inform the final design.

14 MS. DES JARDINS: Thank you.

15 WITNESS CHILMAKURI: But one thing I would
16 like to clarify. Earlier, while you were arguing
17 against an objection, you stated that -- something to
18 the effect of "he used DSM-2 to model to say 0.4 feet
19 per second is equaling to 5- to 7,000 cfs."

20 I just want to make sure your analysis are
21 clear.

22 I was just responding to her question there.
23 We did not use those general measures of 5- to 7,000 in
24 any of our work. In the modeling, we used the modeling
25 output of 0.4, whether -- but the velocity output from

1 DSM-2 is as the model is simulated to see whether the
2 velocities are actually at 0.4 feet per second or
3 higher to say when the diversion was occurring.

4 We didn't use those flow measures. I was just
5 responding to her question specifically.

6 MS. DES JARDINS: Okay. Having beaten that
7 question to death, let's go on to the next, which is
8 I'd like to go to food web productivity on Page 25 at
9 Line 20 to 22.

10 And believe it's -- Dr. Greenwood, right?
11 Yes. You reference -- you state that -- you state that
12 zooplankton is more abundant in the San Joaquin River
13 southern side of the Delta, and you cite a paper by
14 orsi and Mecum from 1986 on zooplankton distribution
15 and abundance in the Delta, correct?

16 WITNESS GREENWOOD: I gave that as a citation,
17 yes.

18 MS. DES JARDINS: That study was before the
19 pelagic organism decline, correct?

20 WITNESS GREENWOOD: It was. I've seen
21 subsequent studies that show similar patterns.

22 MS. DES JARDINS: So isn't it -- but isn't it
23 true that there's also been -- there have been shifts
24 in zooplankton populations since the pelagic organism
25 decline?

1 WITNESS GREENWOOD: How do you mean, "shifts"?

2 MS. DES JARDINS: Aren't there -- isn't there
3 a shift to smaller zooplankton, for example, and a
4 shift in the species that are in the estuary?

5 WITNESS GREENWOOD: I'm not recalling specific
6 shifts that you're suggesting in relation to pelagic
7 organism decline. Specifically, was there particular
8 studies that you were referencing or --

9 MS. DES JARDINS: Like, DWR-577 is Lehman's
10 study, for example.

11 WITNESS GREENWOOD: Could we have a look at
12 that one?

13 MS. DES JARDINS: Do you recall this paper?

14 WITNESS GREENWOOD: I think I've seen that
15 paper, yes.

16 MS. DES JARDINS: So without -- I mean, how
17 did you take into account more recent studies on -- of
18 this shift in phytoplankton and the shift in
19 zooplankton in the food web in the Delta?

20 WITNESS GREENWOOD: I gave -- we started this
21 off by talking about Orsi and Mecum in 1986.

22 MS. DES JARDINS: Yes.

23 WITNESS GREENWOOD: I was giving a sample, a
24 paper showing zooplankton density greater on San
25 Joaquin --

1 (Reporter interruption)

2 MS. DES JARDINS: Okay.

3 WITNESS GREENWOOD: I gave Orsi and Mecum in
4 1986 as an example of a paper showing greater phyto- --
5 zooplankton density on the San Joaquin River side of
6 the Delta. And that paper, as you pointed out, was
7 before the time suggested for the beginning of the
8 pelagic organism decline.

9 As I mentioned, there are other papers that
10 I'm aware of showing a pattern similar to that,
11 although there may have been changes in plankton
12 assemblages.

13 But the basic point is that -- that I'm trying
14 to get at with this, what I'm rebutting here, is with
15 that greater density on the San Joaquin River side
16 that, with changes in the South of Delta hydrodynamics
17 in the summertime because of less South of Delta
18 pumping, that there may be the potential, for example,
19 to -- there may be greater potential for food web
20 productivity from that lower San Joaquin area to move
21 downstream out of the Delta. I mean, that's the
22 overall rebuttal opinion I'm providing, so. . .

23 CO-HEARING OFFICER DODUC: I understand --
24 hold on.

25 I understand that's your testimony,

1 Dr. Greenwood. I thought what Ms. Des Jardins was
2 asking was whether and, if so, how you incorporated
3 more recent studies than the one that you cited to your
4 testimony.

5 WITNESS GREENWOOD: Well, I gave that study,
6 the older study, as an example of a study that shows
7 that general pattern. I think if we look at more
8 recent studies that that pattern is still the case, and
9 there may have been some changes and differences in
10 assemblages, for example.

11 CO-HEARING OFFICER DODUC: So did --

12 WITNESS GREENWOOD: That pattern --

13 CO-HEARING OFFICER DODUC: Did you look at
14 more recent studies, and did that indeed show the case?

15 WITNESS GREENWOOD: I have seen -- yeah, I've
16 seen studies that show that general pattern. I just
17 didn't have the cite up here.

18 MS. DES JARDINS: So, Dr. Greenwood, your
19 opinion is limited to the distribution of total
20 zooplankton and not to looking at the composition; is
21 that correct?

22 WITNESS GREENWOOD: I cite some specific
23 examples. This is in response to Dr. Rosenfeld's
24 concern regarding the potential for WaterFix to reduce
25 plankton. So I'm giving some -- some examples here of

1 different, I guess, zooplankton species. So it's
2 considering those different examples.

3 CO-HEARING OFFICER DODUC: So your answer to
4 Ms. Des Jardins' question is --

5 WITNESS GREENWOOD: Can you repeat the
6 question? Sorry.

7 MS. DES JARDINS: Well, you stated that your
8 opinion is limited to refuting -- attempting to refute
9 Dr. Rosenfeld's opinion that exports could reduce the
10 amount, the total amount of zooplankton in the estuary;
11 is that correct? Or did you look at the composition
12 somewhere?

13 WITNESS GREENWOOD: Well, he was -- he made a
14 general statement. I don't recall now specifically if
15 he was -- I think he might have said phytoplankton,
16 zooplankton. So I cross-referenced an analysis that we
17 already had, which was specifically in relation to
18 phytoplankton, and then I introduced the Orsi and Mecum
19 paper in relation to zooplankton as an example.

20 Then I also then go on to speak of the
21 hydrodynamics with a particular example for -- one
22 example of Delta smelt prey, zooplankton prey, so --

23 MS. DES JARDINS: I'd like to move to strike
24 that as non-responsive.

25 CO-HEARING OFFICER DODUC: I agree. This is

1 not very productive. It seems to me like you guys are
2 just talking past each other.

3 Ms. Des Jardins, what is the point you're
4 trying to make here?

5 MS. DES JARDINS: Just --

6 CO-HEARING OFFICER DODUC: I'm assuming here,
7 Ms. Des Jardins, that you have a point you would like
8 us to get. So I want to be able to understand that
9 point. So what is it? What is it that we're missing
10 that you are seeing?

11 MS. DES JARDINS: Randy Baxter testified in
12 Part 2 that, with the pelagic organism decline, there
13 was a shift in the composition of zooplankton in the
14 estuary and that it was less nutritious and that this
15 is one of the causes of the pelagic organism decline.

16 And I was attempting to -- with a great deal
17 of -- to clarify whether Dr. Wilder's opinion extended
18 to anything beyond the total amount of zooplankton.

19 CO-HEARING OFFICER DODUC: Okay.

20 Answer that question, Dr. Greenwood, directly,
21 succinctly.

22 WITNESS GREENWOOD: I would say I'm generally
23 responding.

24 CO-HEARING OFFICER DODUC: So, the answer?

25 WITNESS GREENWOOD: I'm generally -- I'm

1 generally rebutting. So Dr. Rosenfeld had -- can you
2 repeat the question? I'm sorry.

3 CO-HEARING OFFICER DODUC: Ms. Des Jardins,
4 given the lack of whatever, let's just move on. And I
5 would expect that that's a point you would be arguing
6 in your closing brief.

7 MS. DES JARDINS: Yeah.

8 WITNESS GREENWOOD: Can I just -- I think --
9 thinking back on -- I think my point is general and
10 doesn't depend on the composition of the assemblage and
11 how it may have changed over time.

12 CO-HEARING OFFICER DODUC: Okay.

13 MS. DES JARDINS: Okay. Well, let's move to
14 potamocorbula, and let's hope that I have a little more
15 luck. So I'd like to go back to DWR-1221 and Page 32
16 at 15 to 16. Sorry. DWR-1221 is his testimony.

17 So again, you state here on 15 to 16 that you
18 believe that potamocorbula amurensis distribution and
19 abundance would not be greatly affected by CWF H3+,
20 correct?

21 WITNESS GREENWOOD: Yes, I stated that.

22 MS. DES JARDINS: Doesn't potamocorbula move
23 up estuary and down estuary with salinity?

24 WITNESS GREENWOOD: I don't know if it moves
25 up and down with salinity, but as I understand it --

1 where it can recruit to maybe a function of outflow
2 which would correlate with salinity. But I think it
3 may be more of a function of differing outflow.

4 MS. DES JARDINS: Are you aware of the study
5 published by Peterson and Vayssieres that came to that
6 conclusion?

7 WITNESS GREENWOOD: Which? Can you say the
8 name again, please.

9 MS. DES JARDINS: Peterson and Vayssieres. It
10 was one of the pelagic organism decline studies that
11 was published that came out of the pelagic organism
12 decline.

13 WITNESS GREENWOOD: I'm not recalling it.

14 MS. DES JARDINS: Okay. I'm just looking
15 at -- I don't think Restore the Delta has it in their
16 exhibits.

17 Are you aware that potamocorbula expanded
18 during the pelagic organism decline?

19 WITNESS GREENWOOD: I'm not necessarily aware
20 of that. I don't recall a specific reference that
21 states that.

22 MS. DES JARDINS. And so you're not familiar
23 with the changes in the benthic composition due to the
24 pelagic organism decline?

25 CO-HEARING OFFICER DODUC: Before you answer

1 that, I -- help me understand here, Ms. Des Jardins.

2 Dr. Greenwood's testimony on Page 32 in this
3 section is focused only on outflows, and he's rebutting
4 Mr. Stroshane's testimony solely on the basis, that I
5 can see, of outflows.

6 MS. DES JARDINS: Well, the pelagic organism
7 decline was tied to outflows by Randy Baxter in his
8 testimony. So it's not just salinity. But I was
9 asking him about the shift in benthic, which means
10 bottom, composition of species and evidence that
11 specifically has to do with potamocorbula distribution
12 and abundance.

13 CO-HEARING OFFICER DODUC: You're talking to
14 an engineer here.

15 MS. DES JARDINS: Oh, right.

16 CO-HEARING OFFICER DODUC: By the way, I'm
17 highly impressed that you can pronounce all these
18 names. So perhaps you could dumb it down for the
19 engineer.

20 MS. DES JARDINS: Okay. I apologize.

21 CO-HEARING OFFICER DODUC: How does his
22 testimony on outflow now translates into the area that
23 you are exploring?

24 MS. DES JARDINS: Well, to the extent -- isn't
25 it true that, to the extent that potamocorbula is

1 affected -- has been affected by water project
2 operations, I'm wondering why he states that the
3 distribution abundance wouldn't be affected by project
4 operations.

5 CO-HEARING OFFICER DODUC: Because he's -- I'm
6 just reading his testimony. Because he's comparing
7 Delta outflow with CWF H3+ and says it's similar or
8 slightly less or greater than the NAA. I think that's
9 the crux, but that's the only thing I see on this
10 paragraph to which he's --

11 MS. DES JARDINS: That was exactly the
12 testimony that I had hoped to elicit.

13 CO-HEARING OFFICER DODUC: But it's there.
14 It's there in writing.

15 MS. DES JARDINS: All right. All right. So I
16 can -- then let's continue.

17 CO-HEARING OFFICER DODUC: What am I missing?
18 Ms. Des Jardins, if I'm missing something, I would like
19 to understand it. I just don't want you to waste your
20 valuable time just reiterating what I can read, what we
21 can all read in the testimony.

22 Is there any particular --

23 MS. DES JARDINS: This again relates to
24 whether the project is sufficiently protective of a
25 food web. But if you think the written testimony is

1 sufficient for briefing on --

2 CO-HEARING OFFICER DODUC: I am not saying
3 anything about how sufficient Dr. Greenwood's testimony
4 is.

5 MS. DES JARDINS: Yeah. So that was -- that
6 was what I wanted to explore a little more.

7 CO-HEARING OFFICER DODUC: And I'm remarking
8 because you are closing in -- I mean, you're basically
9 almost done with the first half hour -- I mean, the
10 first hour that you requested, and I'm wondering what
11 additional questioning do you have.

12 MS. DES JARDINS: This would mostly wrap up
13 questions for Mr. Greenwood. I have one more set of
14 questions, and then I have some questions on the
15 modeling.

16 CO-HEARING OFFICER DODUC: Okay. Why don't
17 you finish that, and we'll take a short break while --
18 oh, is Mr. Reyes back? Yes, he is. And we'll do a
19 shift in chairs.

20 MS. DES JARDINS: Okay. Well, let's just --
21 we can probably skip the rest of the potamocorbula.

22 CO-HEARING OFFICER DODUC: I'm still very
23 impressed that you can say that.

24 MS. DES JARDINS: Eight years of looking at
25 this, and you learn some words.

1 So let's go to -- so I'd like to go to -- in
2 Page 24 at Line 18. Dr. Greenwood, Line 18, you state
3 if -- Mr. Cannon discusses risks from continued
4 operation of the South Delta diversions, and you state
5 that it's incorrect that South Delta export rules are
6 to be unchanged; is that correct?

7 WITNESS GREENWOOD: That's what I stated, yes.

8 MS. DES JARDINS: And there's a fairly
9 specific discussion in DWR-1143 of the ways in which
10 South Delta exports would be changed.

11 Can we pull up Exhibit DWR-1143 Rev 2. Go to
12 Page 4. Zoom in a little.

13 So this mentions some specific criteria.
14 There's a number of criteria that are going to be
15 dependant on -- in April and May and June that will be
16 dependant on gauged flows at Vernalis; is that correct?

17 WITNESS CHILMAKURI: I'll try to answer that.
18 Yes, the OMR requirements in April and May and June are
19 dependant on Vernalis flow.

20 MS. DES JARDINS: And, Dr. Chilmakuri, is the
21 frequency of meeting flows at Vernalis in the modeling
22 subject to change?

23 MR. MIZELL: Objection. At no point does the
24 rebuttal testimony of the petitioners go into the
25 frequency of meeting Vernalis. These criteria are a

1 function of Vernalis, but that does not open up the San
2 Joaquin system to cross-examination.

3 CO-HEARING OFFICER DODUC: Sustained.

4 MS. DES JARDINS: I would like to raise an
5 objection to not being able to cross-examine on a
6 condition where the Bureau of Reclamation has stated
7 and everyone in this room is aware that they have
8 stated that they won't meet the D1641 standards at
9 Vernalis and it is assumed in the modeling. And to the
10 extent there is biologically significant effects and
11 DWR-1143 refers to that criteria, I would like to be
12 able to ask cross-examination questions about it.

13 CO-HEARING OFFICER DODUC: Ms. Aufdemberge?

14 MS. AUFDEMBERGE: I --

15 CO-HEARING OFFICER DODUC: Would you like some
16 time to think about it?

17 MR. MIZELL: If I might weigh in. Regardless
18 of Ms. Des Jardins' focusing in upon whether or not the
19 Bureau is going to meet the Vernalis flow standards,
20 that does not change the scope of rebuttal testimony.

21 MS. DES JARDINS: This wasn't a question on
22 DWR-1143, which is a table of adopted project criteria.

23 And we can go up to Page 1 of the criteria of
24 this exhibit.

25 CO-HEARING OFFICER DODUC: Before you do,

1 Mr. Mizell, it is correct that she's not asking a
2 question on rebuttal testimony; she's asking a question
3 about 1143.

4 MR. MIZELL: And 1143 also does not describe
5 the degree to which Reclamation may or may not meet the
6 Vernalis flow standards or make any commitments to that
7 point.

8 CO-HEARING OFFICER DODUC: We'll scratch that
9 part.

10 Mr. Jackson, do you have a hopeful
11 clarification, second or something?

12 MR. JACKSON: Well, I was -- I'm just going to
13 point out that the amount of times that questions are
14 answered in the testimony that to have do with flows
15 from Vernalis providing more turbidity, more
16 zooplankton, more -- basically richer water, will only
17 be true if we ignore the fact that the federal
18 government has taken the position in the water quality
19 hearings that they're not going to meet the Vernalis
20 standard and offered to sue the Board over that.

21 CO-HEARING OFFICER DODUC: Hold on.

22 Ms. Des Jardins, you started this.

23 I'm sorry. Were you finished, Mr. Jackson?

24 MR. JACKSON: Yes.

25 MS. DES JARDINS: Regardless of the Phase 2

1 update, there is a letter from Reclamation to the Board
2 dated February 2017 in which they state that they will
3 no longer comply with the D1641 standards at Vernalis,
4 not only the Biological Opinions.

5 And this exhibit specifically describes --
6 specifies -- cites the hearing ruling, describes
7 operating criteria, the most recent and accurate
8 description in which operating criteria should not
9 include operating criteria that are no longer to be --
10 proposed to be included as part of the project.

11 To the extent it seems fairly clear at this
12 point that that is an example of a criteria that may no
13 longer be proposed to be included as part of the
14 project and simply -- I mean, it's something that needs
15 to be in the record to the extent that we're trying to
16 examine where -- where modeling assumptions and actual
17 operational criteria and what those are -- you know,
18 what the linkage is.

19 And this was an example where the South Delta
20 operations are biologically significant. There is an
21 opinion. The Vernalis flows are clearly linked to OMR
22 criteria.

23 All I attempted to do is to have something in
24 the record one way or the other about whether this
25 modeling assumption is actually now going to be part of

1 the proposed project. And to the extent that they're
2 asserting that it is and it's contradicted by this
3 letter they sent to the Board, it's something that we
4 should be allowed to bring up if only as impeachment.

5 MS. AUFDEMBERGE: So this is --

6 CO-HEARING OFFICER DODUC: Hold on. Hold on.
7 I want to make sure Ms. Des Jardins is finished.

8 MS. DES JARDINS: Yeah. Thank you.

9 CO-HEARING OFFICER DODUC: All right. Now,
10 Ms. Aufdemberge.

11 MS. AUFDEMBERGE: So this is extensively in
12 the record in Part 1, and the testimony has been
13 consistent throughout Part 1 and Part 2 that the San
14 Joaquin system -- whatever the inflow from the San
15 Joaquin, if you change it for the No Action, you also
16 change it for the Cal WaterFix project. So there is no
17 difference between the with and without project
18 vis-a-vis the San Joaquin.

19 CO-HEARING OFFICER DODUC: I see frantic
20 scribblings to my left and right. So I think we're
21 going to take a break to consider that.

22 But before we do, any other arguments,
23 Mr. Mizell?

24 MR. MIZELL: Yes. I'd I like to make sure
25 that the record is clear and the Hearing Officers are

1 aware. 1143 does not contain the Vernalis flow
2 standard. It contains South Delta export conditions
3 which are dependent upon them, not the same.

4 CO-HEARING OFFICER DODUC: Understood.
5 Understood.

6 MR. MIZELL: Thank you.

7 CO-HEARING OFFICER DODUC: Anyone else?

8 MS. DES JARDINS: I also wanted to say --

9 CO-HEARING OFFICER DODUC: Actually, you know
10 what, Ms. Des Jardins? I will give you the last word,
11 but now let's hear from Ms. Meserve.

12 MS. MESERVE: I think at the beginning of this
13 panel, I came and I talked about how we need to be able
14 to ask about what's in 1143 Second Revised and what's
15 not in 1143 Second Revised. And Ms. Aufdemberge just
16 referred to Part 1.

17 I think the letter that Ms. Des Jardins is
18 talking about is actually just from a couple months
19 ago. And so this could be seen as new information in
20 addition to whatever was the situation back in Part 1.

21 So it's very important to us that -- you know,
22 we've been told throughout this hearing that all
23 existing standards will be followed, and then it
24 appears there's a rather large deviation from that
25 occurring that has some history to it and is sort of

1 heating up, and we think that's pretty important for
2 that to be part of this record. And to be not able to
3 ask these witnesses questions about that, we think,
4 deprives us of a fair hearing.

5 CO-HEARING OFFICER DODUC: Mr. Jackson and
6 then Ms. White and then Ms. Des Jardins, and then we
7 are taking a break.

8 MR. JACKSON: At the risk of inflaming the
9 discussion.

10 CO-HEARING OFFICER DODUC: You would never do
11 that, would you, Mr. Jackson?

12 MR. JACKSON: I would not knowingly, but then
13 sometimes unknowingly I do that.

14 The main question -- there is another question
15 here, which is that the Bureau, I guess, is still a
16 petitioner in this case asking the State Water
17 Resources Control Board for approval, a discretionary
18 approval of a project.

19 At the same time, they are sending letters in
20 regard to water flow indicating an -- and everything
21 that flow carries indicating that they are not
22 presently sure that they're going to meet this State
23 Board's orders in terms of beneficial uses in the
24 Delta.

25 So I think it's important for the public

1 interest argument that this information, these letters
2 which were received by the State Board a number of --
3 starting a number of years ago, I guess, and -- that
4 ought to be in the record. And we ought to be allowed
5 to investigate what the present position is so we know
6 how to write the brief.

7 CO-HEARING OFFICER DODUC: Ms. White.

8 WITNESS WHITE: I just wanted to clarify for
9 the Board. There seemed to be some inference that the
10 letter that was mentioned is inconsistent with the
11 modeling that was done, although the modeling is
12 consistent between the No Action and the WaterFix. But
13 the model is also consistent with that letter. We did
14 not model meeting all Table 3 pulse flows, which I
15 think was testified to at quite length in Part 1. So
16 those -- not only is there no different between the
17 two, but they're actually consistent with the letter.

18 CO-HEARING OFFICER DODUC: Final words,
19 Ms. Des Jardins.

20 MS. DES JARDINS: I looked up the
21 cross-examination on -- in Part 1, and I did not see
22 that -- that -- the San Joaquin Tributaries Authority
23 did attempt to bring up that the Table 3 standards
24 would not be met but only the National Marine Fisheries
25 BiOp requirements, which are different. And they were

1 not allowed to pursue that line of questioning.

2 And it's something that, given the volume --
3 number of protestants in the hearing and the sheer
4 amount of cross-examination, escaped my notice until I
5 discovered the February 2017 letter.

6 I would like to say that, as far as the match
7 between modeling assumptions and operational criteria,
8 that that is something that this Exhibit DWR-1143
9 proposes to go to directly. It does not include any
10 Decision 1641 criteria. And I'd like to point out that
11 it specifically says, you know, it's -- the exhibit
12 must clearly identify each proposed operating criteria
13 for the WaterFix project.

14 So are we left -- if they're not in this
15 exhibit, are we left to assume then that they're not
16 part of the project? They're not part of the
17 operational criteria? And --

18 CO-HEARING OFFICER DODUC: Wrap it up,
19 Ms. Des Jardins.

20 MS. DES JARDINS: Yeah. And so this is just
21 very specific. And if we're not allowed to
22 cross-examine on this, I would like to request an issue
23 sanction that petitioners be precluded from claiming
24 that DWR establishes in any way that the modeling
25 assumptions represent the proposed operational criteria

1 because we aren't able to explore it fully.

2 CO-HEARING OFFICER DODUC: All right. Before
3 we break, with all this back-and-forth, I have now
4 forgotten. What was the question that you wanted to
5 ask?

6 MS. DES JARDINS: I just wanted to ask if the
7 frequency of meeting flows, of changing frequency of
8 meeting flows at Vernalis changes.

9 CO-HEARING OFFICER DODUC: Hold on. You were
10 on -- you were on DWR-1143 Second Revision.

11 MS. DES JARDINS: Of the South Delta
12 standards.

13 CO-HEARING OFFICER DODUC: Page 4, the South
14 Delta standards.

15 MS. DES JARDINS: Yeah. And that it
16 specifically mentions Vernalis. And then the other
17 question would be --

18 CO-HEARING OFFICER DODUC: I'm sorry. Then
19 your first question was?

20 MS. DES JARDINS: My first -- well, my
21 question with the -- it was related to the South Delta
22 standards. So allowable OMR flows depend on gauged
23 flow measured at Vernalis in April and May and June.

24 CO-HEARING OFFICER DODUC: And your question
25 is?

1 MS. DES JARDINS: My question is there were --
2 the frequency of meeting allowable OMR flows.

3 CO-HEARING OFFICER DODUC: I'm sorry. Let me
4 understand. Frequency past, present, projected future?

5 MS. DES JARDINS: Frequency in the modeling.
6 The CWF H3+ depends on the frequency of meeting the
7 flow measured at Vernalis.

8 And my second question was going to be about
9 the modeling assumptions, meeting flows at Vernalis and
10 if they matched the actual proposed operational
11 criteria of the project. I didn't get a chance to get
12 to the follow-up question.

13 CO-HEARING OFFICER DODUC: All right. Why
14 don't we take our afternoon break. We will return at
15 3:10.

16 (Recess taken)

17 CO-HEARING OFFICER DODUC: All right. We're
18 back -- if Mr. Keeling and Ms. Taber have finished
19 their conversation.

20 All right. We're back. Ms. Des Jardins,
21 where we left off is you with a question to I believe
22 it was Dr. Chilmakuri, okay, regarding 1143. If we can
23 go back there, please.

24 Okay. Here it is. So, Ms. Des Jardins, the
25 South Delta operation parameters and the OMR criteria

1 is dependant on flow measure at Vernalis. You wanted
2 to ask a question, as I understand it, regarding
3 compliance with the Vernalis standard.

4 How do you make the linkage between the
5 standard of flow at Vernalis to the OMR flow standards
6 or criteria that was reflected here?

7 MS. DES JARDINS: Actually, more generally,
8 it -- the argument was based on -- and I did cite it --
9 the exhibit must clearly identify each proposed
10 operating criterion for the WaterFix project. It's on
11 Page 1 of Exhibit --

12 CO-HEARING OFFICER DODUC: Yes. And stop
13 right there. On this particular page, on this
14 particular table, the parameter being described
15 specifically is OMR operations, OMR flows.

16 MS. DES JARDINS: Which depend on -- which are
17 dependant on flow measured at Vernalis.

18 CO-HEARING OFFICER DODUC: So flow measured at
19 Vernalis determines OMR flows.

20 MS. DES JARDINS: Yes. And then more
21 generally -- so there's a modeling assumption about the
22 requirements of operational criteria, the modeling
23 assumptions about flows at Vernalis which then affect
24 OMR flows because of this relationship.

25 And the question is then, you know, does the

1 modeling assumption represent the actual proposed
2 operating criteria?

3 CO-HEARING OFFICER DODUC: I'm trying to be
4 mindful of -- as we all should be -- the scope of
5 allowable cross-examination for rebuttal. And that
6 allowable scope is you have to either tie it to
7 direct -- not direct -- to rebuttal testimony, yes,
8 direct rebuttal testimony or to 1143.

9 And I don't -- unless you can offer a proof, I
10 don't see compliance with Vernalis flow standard as
11 being part of 1143.

12 MS. DES JARDINS: That's correct. And Exhibit
13 DWR-1143 did not include a large number of modeling
14 assumptions, including Decision 1641 terms. It appears
15 not to have followed the clear direction which is cited
16 on Page 1, that the exhibit must clearly identify each
17 proposed operating criterion for the project and
18 identifying operating assumptions that are included
19 that are not being proposed as operating criteria.

20 So somewhere, the modeling assumption of flows
21 at Vernalis should be in this document, and it's not.
22 And that was why I said, in the alternative, I would
23 just ask for an issue sanction if petitioners can't
24 claim that DWR-1143 shows that the modeling assumptions
25 match the proposed operating criteria because there

1 isn't sufficient information for us to do that.

2 And if we can't do cross-examination about why
3 those criteria weren't included or what -- what --
4 whether they would be met -- because if this exhibit
5 had followed the clear directions of the Hearing
6 Officers, each modeling assumption would be included,
7 including the Vernalis flows. And it would have a
8 citation and where -- whether it was proposed to be
9 part of the project or not, and we could do cross on
10 that.

11 But it didn't follow that direction. And
12 there's a very large number of operational -- of
13 modeling assumptions that aren't included in this
14 table.

15 CO-HEARING OFFICER DODUC: Does anyone wish to
16 respond to that? Mr. Mizell.

17 MR. MIZELL: So as you mentioned, Hearing
18 Officer Doduc, 1143 was intended to start with the
19 proposed project criteria and then to describe how they
20 are reflected in the modeling assumptions and then,
21 from that, to describe how they are or are not
22 reflected in permit conditions from the fisheries
23 agencies.

24 Ms. Des Jardins is reversing the direction of
25 the exercise that is depicted in here in 1143, starting

1 with modeling assumptions. The CWF-adopted project
2 criteria, as specified in Column 2 of this table, is a
3 complete list of the proposed operating criteria for
4 the California WaterFix.

5 Ms. Des Jardins may take issue that it does
6 not include operating criteria for the entirety of the
7 State Water Project or the entirety of the Central
8 Valley Project, but that is not necessary for us to
9 fully describe the California WaterFix. So what this
10 exhibit is is a complete list of operating criteria for
11 the California WaterFix.

12 To the extent that there are modeling
13 assumptions that go beyond the proposed operating
14 criteria because the model -- because the models are
15 system models, they necessarily include operational
16 components of projects that are not part of the
17 California WaterFix. Those assumptions in the model
18 are not contained in this table because they are not
19 reflective of the California WaterFix.

20 If we go to Part -- or I guess it's Section 1
21 of this exhibit, that point is actually made in the
22 write-up there that not all modeling assumptions are
23 appropriate to be operating criteria for the California
24 WaterFix.

25 So I believe that the assertions by

1 Ms. Des Jardins are misplaced and this is a complete
2 exhibit. And the fact that it omits the D1641 Vernalis
3 flow standards is precisely because the Vernalis flow
4 standards are not a component of the California
5 WaterFix as we've proposed it. They're not operating
6 criteria proposed under California WaterFix.

7 They remain conditions of D1641, and the
8 Department is not disputing that fact.

9 CO-HEARING OFFICER DODUC: Based on that,
10 Ms. Des Jardins, I am sustaining the objection with
11 respect to questions regarding compliance at Vernalis
12 flow -- compliance with Vernalis flow standards because
13 it is outside of the scope of Part 2 Rebuttal. It's
14 not -- unless you can somehow link it to direct
15 rebuttal testimony or specifically to 1143, the project
16 criteria as proposed by petitioners, it is outside the
17 scope of rebuttal.

18 As to Mr. Jackson and others' comments about
19 compliance and compliance with perhaps processes
20 outside the scope of this hearing, certainly that is
21 something of note, and we will take it under
22 consideration.

23 It is just not appropriate, given the limited
24 scope of this rebuttal phase, unless you can somehow, I
25 will repeat, link it to rebuttal testimony or to

1 DWR-1143.

2 Mr. Jackson.

3 MR. JACKSON: Thank you, Madam Chair, for the
4 opportunity.

5 April-May, the one, two, three, four, five dot
6 in the adopted project criteria says that -- I mean
7 I'll just read it.

8 "Allowable OMR flows depend on gauged flow
9 measured at Vernalis and will be determined by a linear
10 relationship." If in fact there is no water -- there's
11 no more than 1200 cfs, which I think is the maximum
12 number that has been proposed by one of the petitioners
13 in this case, in the -- for beneficial uses in the
14 South Delta and for OMR flows under D1641, if it is --
15 if allowable OMR flows depended on gauged flow, we're
16 going to have OMR flows under the WaterFix that are
17 substantially higher than they would be if this project
18 is not approved.

19 And so if I were writing the brief or -- I
20 would want to know what the, number one, the reason
21 that the federal government is threatening the State of
22 California with not obeying D1641 and all of the
23 ramifications from that decision before I gave them a
24 permit for 50 years.

25 CO-HEARING OFFICER DODUC: Mr. Jackson, I

1 acknowledge your point. I stand by the ruling that it
2 is outside the scope of rebuttal. We will consider
3 what to do with that.

4 MR. JACKSON. Okay. I think it's a huge
5 public interest question.

6 CO-HEARING OFFICER DODUC: I understand that
7 that is your concern. I'm not agreeing or disagreeing
8 I'm just saying it is outside of the scope of rebuttal.

9 All right. We now turn back to
10 Ms. Des Jardins.

11 And I believe your questions are now directed
12 to Mr. Reyes. And what additional topics do you have?

13 MS. DES JARDINS: Well, I wanted to ask him a
14 little bit more about DWR-1143. Those are most of my
15 questions for Reyes. And I had some questions for
16 Nancy Parker, which I'm not sure I'm going to be able
17 to get to.

18 So I wanted to ask you about -- so first I
19 wanted to circle back with Marin Greenwood.

20 So Dr. Greenwood, your opinion about South
21 Delta flows depends on the allowable OMR flows in this
22 table, correct?

23 WITNESS GREENWOOD: Just to clarify, you're
24 talking about the opinion --

25 MS. DES JARDINS: That allowable OMR -- that

1 South Delta operations would be different than existing
2 South Delta operations.

3 WITNESS GREENWOOD: Yes. Mr. Cannon had said
4 existing rules governing South Delta diversions are to
5 be unchanged. I was basically just pointing to
6 DWR-1143 as an example showing the differences.

7 MS. DES JARDINS: And one of these differences
8 is that allowable OMR flows depend on gauge flow
9 measured at Vernalis, correct?

10 WITNESS GREENWOOD: I'll refer to
11 Dr. Chilmakuri

12 WITNESS CHILMAKURI: Yes.

13 MS. DES JARDINS: Okay. So I also -- speaking
14 of South Delta operations, I'd like to go to Page 4,
15 Footnote 36. And Footnote 36 says the PA operations
16 include a preference for South Delta pumping in July
17 through September months.

18 So this doesn't -- Mr. Reyes, this doesn't
19 have its own line. But this is clearly listed as the
20 modeling assumption in the Final EIR/EIS. And I'm
21 wondering, like, where -- is this -- is this part of
22 the proposed operating criteria for the project? Is
23 that what you're representing here?

24 WITNESS REYES: Yes, it's Footnote 36. If you
25 look up in the Part 1 of that table, it's referring to

1 July, August, September operations where there aren't
2 specific OMR constraints. But you know, this is a part
3 of the proposed operations that the operators will have
4 discretion to use essentially, like it says, to provide
5 for unlimited flushing flows to manage water quality in
6 the South Delta.

7 MS. DES JARDINS: So you say the operators
8 will have discretion to use.

9 WITNESS REYES: Yeah, so it's a preference,
10 but it doesn't mean that there's some rule that they
11 will do it at all times, you know.

12 They have -- the operators need to manage the
13 water quality objectives of 1641 and whatever criteria
14 that they must adhere to. So if they need to improve
15 water quality in that area and they feel that some
16 limited pumping in the South Delta would improve water
17 quality for that area, then they would do so.

18 MS. DES JARDINS: But there's no regulatory or
19 other requirement that they -- they do prefer -- prefer
20 South Delta pumping in July through September; would
21 that be correct? I'm just trying to clarify if there's
22 any requirements for that operational criteria.

23 WITNESS REYES: No, there's no requirements
24 for that.

25 MS. DES JARDINS: Okay. So -- let's see.

1 Actually, I think -- I did want to ask a
2 little about the 50/50 split of -- that is a modeling
3 assumption of export capacity. So that's not included
4 in this table. Is that not a proposed operational
5 criteria for the project?

6 WITNESS CHILMAKURI: Could you be a little bit
7 more specific, Ms. Des Jardins? Which 50/50 split?

8 MS. DES JARDINS: One of the modeling
9 assumptions, and it's documented in the Final EIR, is
10 that the export capacity for the State Water Project
11 and the Central Valley Project is shared 50/50.

12 WITNESS CHILMAKURI: Could you please bring it
13 up?

14 CO-HEARING OFFICER DODUC: Is this the
15 floating point that we discussed in detail previously?

16 MS. DES JARDINS: This particular requirement
17 was not brought up in the cross-examination on the
18 floating point.

19 CO-HEARING OFFICER DODUC: Okay. Let's see
20 where you go with it.

21 MS. DES JARDINS: So I'd like to bring up
22 Table B-18 from the final -- Exhibit SWRCB-102, Chapter
23 5A, Appendix 5A-B. Appendix 5A-B, Page 5A-B, 160. It
24 would be -- no, scroll up. Scroll up, please.

25 It's above the -- keep scrolling up. Down a

1 little. On Page -- no. Just Chapter 5, just a second.
2 Okay. Yes, Chapter 5, please. There, stop.
3 Okay. And it's Final EIR/EIS Appendix 5A CalSim and
4 DSM-2 modeling simulations and assumptions, Appendix
5 Section B, that one. There you go. And then let's go
6 to 5A-B,160. It will be Page 160.

7 And then you're going to need to zoom in a
8 little. Go over to the side. And it's going to be --
9 scroll down a little. It's under "Coordinated
10 Operations." And under "Sharing of total allowable
11 export capacity," states, "Equal sharing of export
12 capacity" this is -- this is a modeling assumption
13 that's in all of the modeling for the Final EIR/EIS and
14 I believe is also in the modeling for CWF H3+.
15 Wouldn't that be correct?

16 MR. MIZELL: I'm going to lodge an objection.
17 To the degree that Ms. Des Jardins can indicate what
18 portion of DWR-1143 she is asking the question for,
19 which part of DWR-1143 she's looking to dig into, I
20 don't see the connection to the table that we're
21 looking at now.

22 MS. DES JARDINS: Yeah, this isn't covered in
23 there. If necessary, I can pull up -- there was
24 PCWA-73, which I had on this stick, which -- Page 386.

25 CO-HEARING OFFICER DODUC: I'm sorry. I think

1 what Mr. Mizell is asking for, which I'm asking for, is
2 for you to link that back to either rebuttal testimony
3 or 1143.

4 MS. DES JARDINS: I would -- I can change
5 it -- link it to the Supplemental EIR to the discussion
6 of flow if I'm not allowed to cross on --

7 CO-HEARING OFFICER DODUC: Actually, you know
8 what?

9 MS. DES JARDINS: -- DWR-1143.

10 CO-HEARING OFFICER DODUC: Yes, I asked about
11 the floating. Why is this different than the floating
12 approach, which is not an approach, which we went over
13 in detail previously?

14 MS. DES JARDINS: I would like to go to
15 Exhibit PCWA-73. And I have it on the stick, if it's
16 not there. That is Appendix 3A. There it is. And
17 Page 386. And scroll down to the -- it's the footnote
18 at the bottom.

19 CO-HEARING OFFICER DODUC: Yes?

20 MS. DES JARDINS: There is some confusion on
21 the modeling assumptions using --

22 CO-HEARING OFFICER DODUC: Yes, yes. We've
23 seen this footnote.

24 MS. DES JARDINS: Float approach.

25 So I'm just trying to understand, given --

1 does the CWF H3+ assume the 50 percent/50 percent
2 sharing export capacity, and, if so, how does that
3 relate to this float analysis?

4 CO-HEARING OFFICER DODUC: Mr. Bezerra.

5 MR. BEZERRA: Thank you. I'd like to support
6 Ms. Des Jardins here. I -- the float approach, as was
7 discussed at length the other day, apparently is not
8 any given assumption. It's not modeling logic.

9 What I understand is happening here is
10 Ms. Des Jardins believes that there are modeling
11 assumptions and modeling logic that are explained in
12 the Final EIR that produced this result, this float
13 approach, that, to the best of my knowledge, have not
14 been explored and in particular relate directly to 1143
15 because the purpose of 1143 was to separate out what
16 are regulatory requirements that are driving the
17 modeling versus other aspects of the modeling that may
18 be affecting the results.

19 So I think Ms. Des Jardins is going to an
20 important issue here to identify and ask questions
21 about the modeling logic that produced a float approach
22 that reflects discretion in how the project's being
23 operated with WaterFix in place. So it does tell you
24 something about the reliability of the model results to
25 understand what modeling logic is generating this

1 approach that apparently is not any particular specific
2 decision by the modelers to produce.

3 There is some modeling logic that produces
4 this, and that's what Ms. Des Jardins is trying to get,
5 I believe.

6 MS. DES JARDINS: I'm just trying to
7 understand the relation between the -- this assertion
8 and the 50 percent export sharing.

9 CO-HEARING OFFICER DODUC: What is the
10 relationship between this float approach and the 50/50
11 sharing? Can anyone answer?

12 WITNESS CHILMAKURI: It may be helpful if we
13 can go back to that exhibit where we were looking at
14 the assumption.

15 WITNESS REYES: I think it was SWRCB-108 or
16 something.

17 MS. DES JARDINS: SWRCB-102, Appendix 5A-B,
18 Page 5A-B, 160.

19 WITNESS CHILIMAKURI: Actually, I think you
20 have one open already.

21 MS. DES JARDINS: There it is.

22 WITNESS CHILIMAKURI: There you go. Okay.
23 This assumption is specifically talking about the South
24 Delta export capacity sharing under -- when the export
25 capacity is controlled by the -- any of the Decision

1 1641 or the Fish and Wildlife Service Biological
2 Opinion import restrictions, such as the D1641
3 export-inflow ratio or the Old and Middle River flow
4 requirements.

5 So this assumption is specific to that, those
6 kind of situations.

7 MS. DES JARDINS: Now, excuse me. That was
8 for the existing conditions. Let's scroll over,
9 please. Keep scrolling over. Oh, yes. It does say
10 it's the same.

11 So the assumption in all of the modeling for
12 Final EIR/EIS was the same as the No Action
13 Alternative. Is the CWF H3+ assumption the same as the
14 No Action Alternative?

15 WITNESS CHILMAKURI: Yes, for this particular
16 assumption, yes.

17 MS. DES JARDINS: And the -- let's go back a
18 little.

19 The allowable export capacity is 10,000 --
20 defined as 10,000 -- it's defined also in here as
21 10,300 for Banks and 4,600 for Jones; is that correct?

22 WITNESS CHILMAKURI: Again, can you please
23 scroll to that location.

24 MS. DES JARDINS: That would be -- just a
25 minute. It's 5A-B, 157.

1 I've got this up on my laptop, too, so I can
2 look for it.

3 WITNESS CHILIMAKURI: Okay. I see it again.
4 Could you repeat your question, please?

5 MS. DES JARDINS: So the export capacity that
6 you're sharing is the physical capacity of 10,300 cfs
7 at Banks and 4,600, cfs at Jones; is that correct?

8 WITNESS CHILMAKURI: No. It's -- what -- the
9 assumption we just reviewed is talking about the times
10 when the CVP and SWP are unable to use their maximum
11 permitted capacities and their actual export capacity
12 is controlled by one of the other criteria that I just
13 described. That's when the capacity is split 50/50.

14 MS. DES JARDINS: Okay. And so the rest of
15 the time, it's controlled -- let's scroll over and look
16 at what it is for the modeling assumptions. Scroll
17 over a little bit more. So 10,300 cfs for Banks and
18 the same as the No Action Alternative, which is
19 4,600 cfs for Jones, that was in all the Final EIR/EIS,
20 and you have the same modeling assumptions about the
21 export capacities.

22 But -- so in doing the float analysis, you
23 have no assumptions about how that export capacity --
24 what assumptions do you have about how that export
25 capacity is divided up in the model?

1 WITNESS CHILMAKURI: Again, as I said last
2 week, for the North Delta Diversion, there is no
3 assumption with respect to which project gets to use
4 the capacity. For South Delta, as shown in this table,
5 the assumptions are consistent with the No Action
6 Alternative.

7 MS. DES JARDINS: Then how do you derive the
8 North Delta Diversion exports if -- for CVP and SWP if
9 you don't have a sharing assumption?

10 WITNESS CHILMAKURI: That's a function of
11 other restrictions on the system, and talking about
12 regulatory requirements that are South of Delta demands
13 everything, including the Coordinated Operations
14 Agreement. And all those collectively determine who
15 gets to use the capacity in the model.

16 MS. DES JARDINS: So the Coordinated Operating
17 Agreement, one of the assumptions is that unstored
18 flows will be split 55 percent 45 percent; isn't that
19 correct?

20 WITNESS CHILMAKURI: Yes.

21 MS. DES JARDINS: And yet, when you discuss
22 the float assumption, you state that that isn't the
23 correct assumption for the North Delta Diversions.

24 WITNESS CHILMAKURI: And your question is?

25 MS. DES JARDINS: How -- how can the -- if the

1 existing modeling assumes 55 percent and 45 percent
2 split of unstored flows, how can your modeling be
3 analyzing a two-thirds split for the State Water
4 Project as you assert in that line of the Final EIR --
5 of the Supplemental EIR/EIS on Page 386?

6 WITNESS CHILIMAKURI: As this says, the 55/45
7 limited to unstored water for export, that's a very
8 few -- not few but very specific conditions. What the
9 person out there is talking about, South Delta, is a
10 broad average for the simulation period.

11 MS. DES JARDINS: But under balanced
12 conditions, under the Coordinated Operating Agreement,
13 doesn't Reclamation provide 75 percent of the storage
14 withdrawals?

15 MR. BERLINER: Objection.

16 CO-HEARING OFFICER DODUC: Mr. Berliner.

17 MR. BERLINER: Beyond the scope.

18 CO-HEARING OFFICER DODUC: All right.

19 MS. DES JARDINS: And just -- to the extent
20 he's saying it's a broad average, there is excess and
21 balanced conditions in the Delta. And that's -- and
22 he's saying so the average over both excess and
23 balanced conditions is 67 percent for North Delta. So
24 I was just trying to clarify because it appears that
25 they would then be diverting Reclamation storage

1 releases.

2 MR. MIZELL: There's no question pending.

3 MS. DES JARDINS: I did ask if, in balanced
4 conditions Reclamation is releasing 75 percent of the
5 storage releases, how does that lead to 67 percent?

6 MR. BERLINER: That's well beyond the scope of
7 rebuttal testimony for this Supplement or 1143. That's
8 been a standing condition for eons.

9 CO-HEARING OFFICER DODUC: And has that
10 changed in any proposed modeling?

11 MR. BERLINER: No.

12 MS. DES JARDINS: But there was testimony that
13 the Coordinated Operating Agreement is being
14 renegotiated; was there not?

15 MR. BERLINER: Objection, that's beyond the
16 scope as well and in a different proceeding.

17 MS. DES JARDINS: No, it was in this
18 proceeding. It was in cross-examination.

19 CO-HEARING OFFICER DODUC: Hold on. Was it
20 part of his rebuttal testimony?

21 MS. DES JARDINS: No, it's just with respect
22 to whether the -- he said that the float alternative,
23 when averaged over, I guess, excess and balanced
24 conditions provides for two thirds of -- two thirds
25 diversion, and then -- and then he also said that the

1 Coordinated Operating Agreement is not subject to
2 change. And respectfully, there is testimony in the
3 record that it impeaches that assertion.

4 CO-HEARING OFFICER DODUC: Did you say it was
5 not subject to change?

6 WITNESS CHILMAKURI: No, I didn't. I said it
7 did not change within our model here.

8 CO-HEARING OFFICER DODUC: As you modeled it.

9 MS. DES JARDINS: As you modeled it. Okay.
10 So now, for clarification. . .

11 CO-HEARING OFFICER DODUC: Your question is?

12 MS. DES JARDINS: Again, with respect to the
13 float analysis, you just asserted that first there's
14 the 55 percent/45 percent split for unstored flow. And
15 then, during balanced conditions, under the column
16 Reclamation -- in the column modeling Reclamation
17 releases 75 percent of the flow.

18 CO-HEARING OFFICER DODUC: Is that correct?

19 MS. DES JARDINS: Isn't that correct?

20 WITNESS WHITE: Could I adjust a little bit of
21 clarification?

22 CO-HEARING OFFICER DODUC: Yes.

23 WITNESS WHITE: The "75 percent" refers to
24 in-basin use, not just storage releases.

25 MS. DES JARDINS: Doesn't Reclamation release

1 75 percent of the storage releases for in-basin use
2 under the Coordinated Operating Agreement?

3 WITNESS WHITE: For in-basin use. That
4 doesn't equate to Reclamation releases 75 percent of
5 all storage releases.

6 MS. DES JARDINS: Oh, yeah, absolutely.
7 Correct. 75 percent of all storage releases for
8 in-basin use.

9 CO-HEARING OFFICER DODUC: So, moving on.

10 MS. DES JARDINS: Okay. So how -- so
11 Ms. Parker, would that not imply that there are
12 specific storage releases -- during balanced conditions
13 there are very specific storage releases tied to
14 exports from the North Delta Diversions, and they would
15 be either from State Water Project or Central Valley
16 Project reservoirs -- under the COA accounting?

17 WITNESS PARKER: That's not correct. I'm
18 going to take my stab at explaining the float versus
19 the 50/50.

20 So like John -- like Dr. Chilmakuri explained,
21 if the projects are operating under restricted export
22 limits due to either a 1641 criteria or Biological
23 Opinion criteria, we share export capacity 50/50. That
24 is one topic in and of itself.

25 On the float issue -- so let me try to explain

1 this. The North Delta Diversion has absolutely no idea
2 whose water is going into it.

3 The South Delta, when you look at it as a
4 whole, doesn't distinguish who gets which kind of
5 water. You could have all the North Delta Diversion
6 going to Jones in one time step and all of it going to
7 Banks in another time step. The model totally does not
8 care -- at all.

9 Out of 82 years times 12 months, when you look
10 at all of the diversions of both the North and the
11 South collectively and you look at who happened to get
12 North Delta Diversion water, it just so happened to be
13 45/55. And sadly, that coincides with one type of COA
14 split, too.

15 So don't confuse the two. They're not -- it
16 wasn't an intentional outcome. It wasn't intended to
17 reflect COA. It's -- so what is it, 33/67? Sorry. I
18 misspoke.

19 So that's the -- and I think the 45/55 was
20 total exports or something. So that's the source of
21 the consternation over the float. It's not
22 intentional. There's no specific accounting of the
23 North Delta Diversions or of the South Delta
24 Diversions, but total exports do get shared 50/50 when
25 certain D1641 or BO criteria are controlling.

1 Okay. So your specific question,
2 Ms. Des Jardins, though, got to does -- in the
3 modeling, do CVP North of Delta storage facilities
4 release water specifically to go into the North Delta
5 Diversion -- I think that was your question -- and the
6 answer is no.

7 MS. DES JARDINS: Okay. So basically you're
8 saying the float occurs from splitting -- from how the
9 North Delta -- exports from the North Delta Diversion
10 -- exports from the North Delta Diversions and exports
11 from the South Delta Diversions can kind of float about
12 which project gets which exports from which facilities;
13 would that be a correct characterization?

14 WITNESS PARKER: Good job.

15 MS. DES JARDINS: Okay. I would like to go to
16 Exhibit SVWU-46, Page 46, which is a copy of the South
17 Delta Diversions. The modeling, Page 46, please.

18 46.

19 So in some months, the diversions from the
20 South Delta are very low, Ms. Parker. And in those
21 months, if Reclamation had to primarily get their water
22 from South Delta Diversions, they might be limited.

23 And so I'm trying to understand how having a
24 limit that two thirds of the exports from the North
25 Delta Diversions in all months would go to the State

1 Water Project would not constrain the exports that
2 Reclamation was able to make while still meeting the
3 South Delta Diversions.

4 CO-HEARING OFFICER DODUC: Mr. Berliner.

5 MR. BERLINER: Objection, misstates the
6 witness's testimony.

7 CO-HEARING OFFICER DODUC: Agreed.

8 MS. DES JARDINS: Okay. Well, Ms. Parker, how
9 would Reclamation be able to meet their export delivery
10 targets and stay within -- while staying within these
11 modeled South Delta Diversions?

12 MS. AUFDEMBERGE: I just want to object.
13 We're beyond the scope of Ms. Parker's rebuttal
14 testimony.

15 MS. DES JARDINS: She stated that the float
16 was changing how the split happened between South Delta
17 and North Delta. And I'm just -- if there's a limit of
18 two thirds on the North Delta Diversions, as asserted,
19 can be with the modeling, how is Reclamation able to
20 meet their targets?

21 CO-HEARING OFFICER DODUC: No, there isn't a
22 limit.

23 MS. DES JARDINS: There isn't a limit? So
24 these South Delta Diversion numbers might change?
25 That's what I wanted to -- to -- under the float.

1 That's what I wanted to discover.

2 MS. AUFDEMBERGE: Ms. Parker has been generous
3 in helping everybody understand some of these issues,
4 but this is beyond the scope of her rebuttal testimony.

5 CO-HEARING OFFICER DODUC: Actually, I'm
6 trying to understand, Ms. Des Jardins, your question.
7 So let's put aside all the extra terminology you're
8 using.

9 Just what is the point of the question?

10 MS. DES JARDINS: The question here, because
11 the fundamental assertion --

12 CO-HEARING OFFICER DODUC: No, no, no.
13 Listen. Let's not even -- let's not even go -- looking
14 at that data, this data that you pulled up.

15 MS. DES JARDINS: This data shows the South
16 Delta Diversions under the CWF H3+ model for all
17 months, and by month -- month by month in acre-feet.

18 CO-HEARING OFFICER DODUC: Okay. Is that
19 correct?

20 MS. DES JARDINS: And the question --

21 CO-HEARING OFFICER DODUC: Is that correct?

22 MS. DES JARDINS: And the question is if the
23 floating analysis --

24 CO-HEARING OFFICER DODUC: Hold on. Hold on.
25 Hold on.

1 MS. DES JARDINS: Okay. Sorry.

2 CO-HEARING OFFICER DODUC: Is that correct?

3 WITNESS PARKER: What variable is this?

4 MS. DES JARDINS: Scroll up. I'm sorry, 47.

5 Go to the next page. One more. There it is.

6 Yeah. And, in fact, it's zero in many months.

7 CO-HEARING OFFICER DODUC: So what is the
8 question?

9 MS. DES JARDINS: So the question here is
10 let's assume that this modeling does capture that you
11 can -- you can shift -- so on the months where it's
12 zero, that Reclamation can only use a third of the
13 North Delta exports.

14 CO-HEARING OFFICER DODUC: And on what basis
15 do you make that assumption?

16 MS. DES JARDINS: Because of the way --
17 because they said that this modeling captured the
18 assumption that Reclamation only used the North Delta
19 Diversions a third of the time. That was what the
20 float -- it said that the float analysis [sic].

21 So I'm wondering how does Reclamation get
22 their exports in the months where the South Delta
23 exports are zero during modeling?

24 MS. AUFDEMBERGE: Objection, beyond the scope
25 of Ms. Parker's rebuttal testimony.

1 MS. DES JARDINS: This is with respect to the
2 Supplemental EIR.

3 CO-HEARING OFFICER DODUC: Ms. Parker, can you
4 shed any light?

5 WITNESS PARKER: I'd be happy to.

6 CO-HEARING OFFICER DODUC: Please.

7 WITNESS PARKER: The 63/67 split [sic] was an
8 overall arrange of all months in all years. That is
9 not to say that, if all exports were being taken
10 through the North Delta Diversion and not through the
11 South Delta Diversion, that Reclamation would be
12 limited to 33 percent or that DWR would be limited to
13 67 percent for that matter.

14 In any month, Reclamation could be getting 90
15 percent, and DWR could be getting 10 percent. But
16 taken as a whole over the entire 984 months in the
17 period of record, the overall average ended up being
18 about 33/67.

19 MS. DES JARDINS: Thank you very much. And I
20 thank the Hearing Officers for their patience and
21 clarifying this.

22 And that concludes my cross-examination.

23 CO-HEARING OFFICER DODUC: Thank you.

24 Ms. Des Jardins, actually, thank you. It was
25 not always smooth but productive cross-examination.

1 Ms. Meserve, we do have a hard stop at 5:00.
2 I don't know if that means you need to find a good time
3 to break in your cross-examination or if you can do so
4 in an hour. But we do have that hard stop.

5 MR. MIZELL: Hearing Officer Doduc, if I
6 might, I've been operating under the estimates we've
7 been given for cross-examination. I do have a witness
8 who has a plane ticket that leaves tomorrow. If
9 Ms. Meserve could focus her questions for Dr. Greenwood
10 at the beginning of her cross-examination, that would
11 allow us to keep him on his schedule given the timing
12 we're facing.

13 CO-HEARING OFFICER DODUC: Thank you. And it
14 will be helpful if Dr. Greenwood would answer directly
15 and concisely.

16 MS. MESERVE: Yes, can I start with
17 Dr. Greenwood.

18 CO-HEARING OFFICER DODUC: Thank you.
19 Ms. Meserve.

20 MS. MESERVE: So -- let me -- I wasn't
21 planning on starting with him.

22 Okay. So I've got questions for Dr. Greenwood
23 on the fish issues, within the scope of his testimony.
24 And then I've got questions about 1143 and the SEIR.

25 And so I have a couple of questions, as I

1 mentioned, for Mr. Valles and a couple questions for
2 the Reclamation witnesses and for Mr. Reyes.

3 So should I just start with Dr. Greenwood and
4 try to get him out of here?

5 CO-HEARING OFFICER DODUC: Please.

6 MS. MESERVE: Okay.

7 CROSS-EXAMINATION BY MS. MESERVE

8 MS. MESERVE: So maybe we could start with
9 putting up that testimony, if we could, please. So
10 that's going to be DWR-1221 and at Page 6.

11 And on Line 10, Dr. Greenwood, you include a
12 quote from Dr. Rosenfeld describing take at the NDD as
13 a result of entrainment, impingement/screen contact,
14 and predation.

15 And the question is do you consider all three
16 of these mechanisms of take of listed fish to be a
17 concern at the North Delta intakes that are proposed?

18 WITNESS GREENWOOD: I think these are
19 potential mechanisms that could occur if they -- yes?

20 THE REPORTER: I can't hear either one of you,
21 so if you could both please speak up, I'd appreciate
22 it.

23 MS. MESERVE: Sorry. Okay.

24 CO-HEARING OFFICER DODUC: I'm sorry. Did
25 Dr. Greenwood finish his answer?

1 MS. MESERVE: I think so. He agreed that all
2 three are mechanisms of take.

3 MS. AUFDEMBERGE: I believe he said potential.

4 MS. MESERVE: Potential take. Okay.

5 So then on Lines 6 of Page 7, the following
6 page refers to adaptive management. And my question
7 is, if there are population level effects, do you have
8 an opinion of how adaptive management could be used to
9 address those types of effects?

10 WITNESS GREENWOOD: This is specifically
11 referring to smelts or --

12 MS. MESERVE: Scroll up a little bit. It's
13 Delta smelt and longfin smelt I believe is what you're
14 discussing in this paragraph.

15 WITNESS GREENWOOD: And the question was
16 whether if I had an opinion regarding --

17 MS. MESERVE: Population level effects.

18 WITNESS GREENWOOD: Population level effects.
19 And was that -- can you repeat the question, please?

20 MS. MESERVE: Sure. If there was a population
21 leave effect, do you have an opinion about how adaptive
22 management could be used to address those types of
23 effects?

24 WITNESS GREENWOOD: I think it would need to
25 be -- I think it would need to be consideration of what

1 the potential mechanism is that's being indicated in
2 terms of suggesting a population level effect.

3 MS. MESERVE: But you don't have any specific
4 ideas about how to address population level effects
5 with adaptive management?

6 WITNESS GREENWOOD: Like I said, it would
7 depend on what mechanism it is that's being suggested
8 for the population level effect.

9 So the sentence is talking about the need,
10 through the post-construction study aids, to have life
11 cycle models to assess what the population level
12 effects are, what the mechanisms are.

13 So the adaptive management that would follow
14 would presumably reflect what the modeling was
15 indicating -- was indicating that the population level
16 effect mechanism was.

17 MS. MESERVE: You just mentioned modeling.
18 Wouldn't we also be looking at data from the actual
19 operation of the facility?

20 WITNESS GREENWOOD: The data would be -- the
21 way I see it, the data would be something that's
22 incorporated into this life cycle model framework so
23 that the life cycle model is required in order to be
24 able to capture the different potential mechanisms.

25 And therefore, presumably, data would be

1 informing the life cycle modeling in order to make the
2 assessment of whether there's population level effects.

3 MS. MESERVE: Sitting here today, can you
4 opine on whether those management techniques could be
5 effective to address population level effects?

6 WITNESS GREENWOOD: It would be challenging to
7 opine on that, just recognizing I think that that is
8 the requirement under ITP, that that -- that it needs
9 to be done, a life cycle model framework needs to be --
10 the life cycle model needs to be done in order to be
11 able to assess the effects, those potential effects.

12 MS. MESERVE: And then looking at Line 8 of
13 that same page, scroll down just a tiny bit. You've
14 referred to other entrainment monitoring to allow a
15 detection of larval smelts. Do you have a specific
16 example in mind about other entrainment monitoring that
17 might be done?

18 WITNESS GREENWOOD: Well, this -- I think this
19 is -- this is referring to that entrainment monitoring
20 has been done in other locations. So I'm saying this
21 small mesh sampling nets, in my opinion, would be used.
22 And that's because that's been what was done -- that's
23 what has been done in other locations in the Delta to
24 my knowledge.

25 MS. MESERVE: And you're not aware of any

1 other methods to try to do the monitoring on larval
2 smelt?

3 WITNESS GREENWOOD: Well, your question was
4 specific to entrainment monitoring, but there is --
5 there are other sampling programs and things that have
6 been looking at larval smelts. But I think your
7 initial question was regarding entrainment.

8 MS. MESERVE: Now, going down to Lines 15 and
9 16, you refer to the analysis of entrainment potential
10 for the smaller life stages being included in the
11 effects analysis.

12 Was impingement screen contact and predation
13 also included in the effects analysis?

14 WITNESS GREENWOOD: We have analyzed those
15 things in various places, yes.

16 MS. MESERVE: So when you refer to entrainment
17 potential, you're actually not limiting it to
18 entrainment?

19 The reason I'm asking is, as I pointed out at
20 the beginning of my questions, there's these three
21 mechanisms for take, but I noticed in your testimony
22 you continually referred to only entrainment, just one
23 of the three.

24 WITNESS GREENWOOD: Well, this here -- I'm
25 trying to rebut specific things that are being

1 mentioned. So this is in specific rebuttal to
2 Mr. Stroshane opining that there isn't a description of
3 what happens to these smaller life species.

4 So I'm indicating that we did look at
5 entrainment, which is the principal mechanism that I
6 think would be of concern for these smaller life
7 species. So I'm focusing on entrainment because, as I
8 see it, it's directly related to my rebuttal.

9 MS. MESERVE: And then looking down at
10 Line 20 through 23, you refer to a statement by
11 Mr. Baxter regarding the presence of spawning Delta
12 smelt and longfin smelt at the DCC. But this is about
13 ten miles downstream of the proposed North Delta
14 Diversions; isn't it?

15 WITNESS GREENWOOD: Yeah, approximately 10
16 miles downstream.

17 MS. MESERVE: And then if we could go to
18 Page 14 of your testimony, Lines 10 through 12. You
19 discuss the Georgiana Slough. Isn't Georgiana Slough
20 just south of the DCC?

21 WITNESS GREENWOOD: Just south, yes.

22 MS. MESERVE: But in this instance here, you
23 characterize that area as appreciably farther
24 downstream, indicating that it's not relevant of the
25 NDDs; isn't that correct?

1 WITNESS GREENWOOD: Well, in relation to this
2 specific -- in relation to this specific point, I guess
3 what I'm saying, circling back to what you were
4 previously asking about Mr. Baxter, you know, he was
5 talking about the Delta Cross Channel, which is about
6 ten river miles downstream of the NDD.

7 And, you know, the point I'm making in that
8 paragraph is that Mr. Baxter said that he didn't expect
9 that there would be many smelt in the area of DCC, of
10 the Delta Cross Channel, or upstream of it generally.
11 So I'm just talk pointing to that to talk about the
12 NDD, and that kind of agrees with my opinion that there
13 wouldn't be expected to be too many smelt near the NDD.

14 And so now we're on to a different issue here
15 regarding similarity or not between Georgiana Slough
16 area or DCC area and the NDD. So the -- they're not
17 really -- they're not really kind of comparable in that
18 way that you were suggesting.

19 MS. MESERVE: So the distance from the
20 proposed North Delta Diversions you consider to be less
21 relevant in one instance than the other?

22 WITNESS GREENWOOD: I think -- I think that my
23 citations to them in each case, I think, are
24 appropriate in terms of the context that they're taken
25 in.

1 MS. MESERVE: And you are aware, however, that
2 Delta smelt are considered to be in the presence of the
3 proposed North Delta Diversions potentially year round
4 for adults, according to the FEIR?

5 WITNESS GREENWOOD: I'm not sure where that
6 statement is in the FEIR.

7 MS. MESERVE: We could go to that page, but
8 you -- the operational criteria assumes that you are
9 going to be operating the proposed North Delta
10 Diversions in a manner that would be protective of
11 Delta smelt, correct?

12 WITNESS GREENWOOD: The approach velocity on
13 the screens is 0.2 feet per second, which is the Delta
14 smelt criteria.

15 MS. MESERVE: Right. So it's assumed that
16 Delta smelt could be in the vicinity of the proposed
17 North Delta Diversions?

18 WITNESS GREENWOOD: They could be, but I don't
19 recall there being a specific reference to them being
20 near them necessarily year round, as you mentioned, in
21 the FEIR.

22 MS. MESERVE: I'll provide an offer of proof.
23 It's on Page 11A-35. But I'll continue on in an effort
24 to get you on the plane.

25 On Page 12 of your testimony, Lines 18 through

1 19, you refer to predatory fish relocation. Are you
2 aware of any successful predatory fish relocation
3 projects?

4 WITNESS GREENWOOD: I am. I think I provided
5 examples, at least reference in my rebuttal testimony
6 later on. Page 17 -- Page 17, Lines 12 to 16, I
7 provide reference to the BA acknowledging uncertainty
8 in the effectiveness of predatory fish relocation. But
9 also that section in the BA I refer to the provided
10 citations to peer reviewed studies that describe
11 increases in juvenile survival following predator
12 reduction.

13 MS. MESERVE: But that might be different than
14 predator relocation?

15 WITNESS GREENWOOD: Predator reduction or
16 predator relocation, I guess the point was that it was
17 a reduction in predators from given location.

18 MS. MESERVE: Going to Page 13 of your
19 testimony, Lines 8 through 9, you discuss the GCID and
20 Red Bluff intakes as being similar the proposed North
21 Delta Diversions. Isn't one major difference between
22 proposed North Delta Diversions and those two other
23 intakes be that those are in the northern part of the
24 Sacramento River and outside of the tidal environment?

25 WITNESS GREENWOOD: They are in the -- they

1 are upstream of the tidal environment.

2 MS. MESERVE: So doesn't the existence of the
3 change in tides cause a more complex analysis than --
4 and more of a problem for trying to create the sweeping
5 velocities?

6 WITNESS GREENWOOD: I'm not -- I'm not sure
7 that I would characterize it that way necessarily. I
8 think there will be potentially more considerations
9 regarding sweeping velocity.

10 MS. MESERVE: Would it be more difficult to
11 design a fish screen in a tidal environment than in a
12 non-tidal environment?

13 WITNESS GREENWOOD: I'm -- I don't know. I'm
14 not an engineer.

15 MS. MESERVE: So are you not very familiar
16 with the design of the GCID and Red Bluff projects
17 then?

18 WITNESS VALLES: I can answer that. It
19 doesn't -- for an engineer, it doesn't matter. We just
20 need criteria -- 0.2 feet per second, approach
21 velocity, 3,000 cfs per intake; that's all we need.

22 And whether it's tidal, non-tidal really
23 doesn't matter to us from a design perspective.

24 MS. MESERVE: But if the tide is coming in,
25 then you're not as likely to be able to meet the approach

1 velocity continuously as you would in a non-tidal
2 environment, would you?

3 WITNESS VALLES: That's an -- that's an
4 operational issue, when they turn the intakes on or
5 when they turn them off, that's the only difference.
6 In terms of whether it can take 0.2 feet per second, it
7 doesn't really matter. It's -- it's -- the design is
8 the design. We're designing it for 0.2 feet per
9 second.

10 MS. MESERVE: So you're speaking of design,
11 not operations then?

12 WITNESS VALLES: That's correct.

13 MS. MESERVE: So you don't have an opinion as
14 to maintaining that velocity during operations?

15 WITNESS VALLES: Yeah. Like I said, that's an
16 operational issue. And it's -- it's for planners and
17 schedulers and the joint operations center to determine
18 when those pumps are turned on and turned off.

19 We, as engineers, are providing capability,
20 and that's all we're providing.

21 MS. MESERVE: As we've discussed in the past,
22 however, there is no plan to turn the pumps off, is
23 there?

24 MR. MIZELL: I'm going to object as misstating
25 testimony.

1 MS. MESERVE: The witness has stated that
2 there would be a pump-turning-off mechanism. And I
3 believe, in previous cross-examination and testimony,
4 it's been very clear that there is no operational
5 criteria that turns the pumps off completely.

6 WITNESS VALLES: No. Pumps will be turned off
7 at times because it depends on the elevation of the
8 river. There are times that -- where just pure gravity
9 will flow the water all the way down to Clifton Court.
10 And then, when there's -- when the river's, like, at
11 certain lower elevation, the water will flow by
12 gravity, and then the pumps will be needed to lift the
13 water out of the tunnel.

14 MS. MESERVE: So what about shutting off the
15 screen completely? There's no criteria in DWR-1143
16 Revised or elsewhere that ever discusses shutting off
17 the diversions completely, is there?

18 WITNESS VALLES: There will always be some
19 limited flow going through the screens. I think it's
20 300 cfs per intake. And Chandra can probably chime in
21 on that.

22 WITNESS CHILMAKURI: So if the river flows
23 upstream of the intakes fall below 5,000 cfs, then the
24 diversions would have to be shut off. That's the
25 criteria.

1 MS. MESERVE: The 5,000.

2 And shut off completely, not the 300 per
3 diversion?

4 WITNESS CHILMAKURI: Correct.

5 MS. MESERVE: Going back to Dr. Greenwood, on
6 Page 15, Line 24 refers to ascertaining when the pulses
7 of fish are occurring. By "pulses of fish" in this
8 phrase, you're only referring to listed salmon, aren't
9 you?

10 WITNESS GREENWOOD: That's -- those are the
11 species that are currently within the definition of
12 pulse, pulses, pulse protection.

13 MS. MESERVE. So only salmon are subject to
14 pulse protection, correct?

15 WITNESS GREENWOOD: Winter-run and spring-run
16 are the ones that are listed.

17 MS. MESERVE: And not fall-run?

18 WITNESS GREENWOOD: Fall-run aren't included
19 in the pulse protection measure.

20 MS. MESERVE: And then Page 15, Lines 25 to
21 26, you're discussing the effectiveness of screw trap
22 monitoring. Isn't it true that the transcript excerpt
23 that you cite was only referring to effectiveness for
24 salmon, not other fish species?

25 WITNESS GREENWOOD: I don't recall.

1 MS. MESERVE: So you cited it, but you don't
2 know what it says?

3 MR. MIZELL: Misstates the witness's
4 testimony, argumentative.

5 CO-HEARING OFFICER DODUC: Sustained.

6 MS. MESERVE: On Page 18, Lines 15 through 16,
7 the testimony discusses temporal overlap of unlisted
8 and listed salmonids means that the operational
9 criteria focused on the latter will also be protective
10 of the former.

11 Isn't it true that the ITP only has bypass
12 flow criteria to minimize impacts to covered species
13 from December to June? We could go to that page, if
14 you'd like.

15 WITNESS CHILIMAKURI: There are bypass flows,
16 year round. If you're asking -- if you're talking
17 about the Level 1, 2, 3, the variation, that's focused
18 on the December to June. But there are bypass flows
19 year round.

20 MS. MESERVE: Of the 5,000 or 7,000 cfs?

21 WITNESS CHILMAKURI: The July to September is
22 5,000 cfs. October-November 7,000, unless there's
23 pulse detected, in which case there would be pulse
24 protection action that would be triggered. And from
25 December to June, we walked through the tables and

1 DWR-1143 last week.

2 MS. MESERVE: And Dr. Greenwood how would
3 unlisted salmonids be protected from July through
4 November, as you claim, if the pulse flows aren't
5 required during that time period and are not monitoring
6 at the Knight's Landing or elsewhere?

7 WITNESS CHILIMAKURI: I just want to clarify.
8 I just explained that -- and actually, in October and
9 November, the pulse protection is active. So if there
10 is a pulse detected, the North Delta Diversion would
11 need to be reduced to low levels for pumping. In July
12 to September, the bypass flow requirement is 5,000 cfs,
13 and the only other criteria for North Delta Diversions
14 that's controlling is the sweeping and approach
15 velocities.

16 MS. MESERVE: So there wouldn't be a
17 minimization of impacts to unlisted salmonids July
18 through September, correct, from pulse flow
19 protections?

20 WITNESS GREENWOOD: Well, I think this goes
21 back to this overlap with different -- different time
22 periods so fall-run being mostly abundant in
23 winter-spring.

24 MS. MESERVE: But according to the Final EIR,
25 the adult fall-run and late fall-run Chinook can be

1 present year round, can't they?

2 WITNESS GREENWOOD: Adult -- sorry, could you
3 show specifically where you're referring to in the
4 FEIR?

5 MS. MESERVE: The citation I have is Page
6 11-A, 103 of the Final EIR.

7 WITNESS GREENWOOD: I would have to see it,
8 really, to respond.

9 MS. MESERVE: 103. Table shows it somewhat.
10 So you're saying within the Delta, for
11 instance, on that top row, you've got medium to high
12 abundance all the way from June, all the way through
13 December.

14 WITNESS GREENWOOD: You had said year round,
15 so that was what was --

16 MS. MESERVE: Mm-hmm.

17 WITNESS GREENWOOD: -- confusing to me. So
18 could you restate the question, please?

19 MS. MESERVE: Isn't it true that -- let's just
20 limit it to what's here in this. I think when I said
21 year round, I was referring as well to the juvenile.

22 But just looking at that chart here, isn't it
23 showing that, in the June-through-December time period,
24 you could expect to see fall-run in the project area?

25 WITNESS GREENWOOD: Are you talking about any

1 particular life stage or --

2 MS. MESERVE: Well, I'm looking at the row
3 that shows adult.

4 WITNESS GREENWOOD: Okay. So this shows them
5 being most abundant potentially July to November.

6 MS. MESERVE: Right. And we just went over
7 the fact that there aren't pulse flow protections
8 provided for listed fish for July through September, so
9 that's why I'm asking you, back to your overlap point,
10 I don't see the overlap. Do you?

11 WITNESS GREENWOOD: The consideration that I
12 was really speaking to was more of juveniles. We do
13 have a -- we do have analyses assessing for adults
14 potential effects. We used DSM-2 modeling to look at
15 fingerprints, the percentage of water coming from the
16 Sacramento River. And although it's reduced because of
17 North Delta Diversions, reduction is not on a level
18 where we consider that to be a significant effect,
19 which I take to be indicative of reasonable protection.

20 MS. MESERVE: That was my question, okay.

21 Now, looking at the -- I think on that same
22 page of your testimony, Page 18, you discuss also the
23 white sturgeon. Isn't it true that the white sturgeon
24 may be in the vicinity of the proposed North Delta
25 diversions all year round?

1 WITNESS GREENWOOD: I believe potentially, so,
2 yes.

3 MS. MESERVE: So those wouldn't have
4 overlapping protections with the listed salmon, would
5 they?

6 WITNESS GREENWOOD: Well, I think the
7 particular life stage is important. So as I understand
8 it, small juveniles, larvae, would be more likely to
9 occur in the springtime moving downstream. And so
10 that's -- that is overlap with that period, actually,
11 with the period of what we were talking about for
12 listed.

13 MS. MESERVE: Could we go back, please, to the
14 Final EIR that you had up, Page 162 -- I'm sorry, 178,
15 actually, which is I think the white sturgeon.

16 I believe that the Final EIR states that the
17 juvenile would be all year round in the project area;
18 isn't that true?

19 WITNESS GREENWOOD: Yes, juveniles could be.
20 But what I was trying to explain was, with this
21 migration downstream of these smallest, I guess,
22 larvae, for example, that does coincide with the spring
23 period that we were talking about.

24 MS. MESERVE: And do you believe that white
25 sturgeon are -- are they well studied?

1 WITNESS GREENWOOD: I think there's -- there's
2 more study, obviously, that could be done. But there
3 are -- there has been study of, yes.

4 MS. MESERVE: And then just following up on
5 the green sturgeon, isn't it true that they also may be
6 present in the vicinity of the North Delta Diversions
7 all year round?

8 WITNESS GREENWOOD: It could be.

9 MS. MESERVE: And is it true that, in your
10 analysis in this testimony, you don't provide any
11 details besides a reference to the Final EIR about why
12 you don't think there will be unreasonable impacts on
13 these two sturgeon species?

14 WITNESS GREENWOOD: I believe I actually -- I
15 actually included a specific analysis that we discussed
16 earlier with Mr. Obegi that was part of my
17 considerations as well. So it's not just referring
18 back to the FEIR but in the outflow effects section,
19 beginning Page 28, and then in Fish 41, Tables 8 and 9,
20 I have some specific analysis for white sturgeon. So
21 it's not limited just to the consideration of the FEIR.

22 MS. MESERVE: On Page 19, back to your
23 testimony, Line 4, you mention entrainment of the larva
24 and small juveniles. Same question about impingement
25 and predation. Wouldn't you also be concerned about

1 that?

2 WITNESS GREENWOOD: Those are also potential
3 mechanisms.

4 MS. MESERVE: And then Page 19 also, Line 22,
5 you mention the Sacramento hitch being too large to be
6 entrained. What about impingement and predation?

7 WITNESS GREENWOOD: That's -- it's possible
8 that those could occur.

9 MS. MESERVE: Let's see. Then on Page 19,
10 Line 18, you mentioned the constraining of the North
11 Delta operations because of the outflow criteria.
12 Isn't it true that Footnote 38 of DWR-1143 Second
13 Revised refers to possible changes to the spring
14 outflow criteria?

15 We could put that up, if you need a copy.
16 That's going to be DWR-1143 Second Revised, Footnote
17 38. I believe it's a ways in.

18 WITNESS CHILMAKURI: We talked about this
19 footnote last week. It's just saying that, if there is
20 a -- if the adaptive management program suggests that
21 there is another way to achieve the longfin abundance,
22 then outflows would be operated to 1641.

23 MS. MESERVE: Right. But Dr. Greenwood, the
24 adaptive management referenced in Footnote 38 is only
25 in reference to the longfin smelt, right, not the

1 species you're discussing on Page 19, the prickly
2 sculpin.

3 WITNESS GREENWOOD: Yes, I provided the spring
4 outflow criteria as one example of constraint occurring
5 in spring. But that's not the only constraint, spring
6 operations.

7 MS. MESERVE: But just to be clear, the
8 adaptive management Plan doesn't include consideration
9 of the prickly sculpin, does it?

10 WITNESS GREENWOOD: It's not mentioned as a
11 species in that context.

12 MS. MESERVE: So changes to spring outflow
13 could be made under adaptive management that would not
14 consider effects on prickly sculpin, correct?

15 WITNESS GREENWOOD: That species isn't
16 mentioned currently as one that would be considered.

17 MS. MESERVE: And then with respect to the
18 Sacramento hitch mentioned on Page 19 as well, did you
19 consider the demographic effects on the hitch, if hitch
20 in the vicinity of the North Delta Diversions are
21 killed?

22 WITNESS GREENWOOD: I -- it was my opinion
23 that the effects would be limited, but I didn't
24 explicitly consider the demographic effect.

25 MS. MESERVE: Then on Page 20 of your

1 testimony, Line 12 to 13, you refer to protection of
2 striped bass coming potentially from the spring outflow
3 criteria as well.

4 Isn't it true that the Footnote 38 and the
5 adaptive management plan do not consider the needs of
6 striped bass?

7 WITNESS GREENWOOD: Also, that species isn't
8 specifically mentioned in the context you stated.

9 MS. MESERVE: So spring outflow could be
10 changed without any consideration of the impact on
11 striped bass, couldn't it?

12 WITNESS GREENWOOD: They're not mentioned as a
13 species that would be considered in that context.

14 MS. MESERVE: So the protection you mention on
15 Lines 12 and 13 would only apply as long as spring
16 outflow was continued, correct?

17 WITNESS GREENWOOD: Again, I was generally
18 speaking to operations within the spring period being
19 constrained and using the longfin smelt outflow
20 criteria as one example. But there are other
21 operational constraints.

22 MS. MESERVE: Is it appropriate to refer to
23 spring outflow as a constraint if it may be changed
24 without any consideration of every other species
25 besides longfin smelt?

1 MR. BERLINER: Objection, calls for
2 speculation. This is well beyond the scope of his
3 testimony as to what agencies might decide in the
4 future.

5 CO-HEARING OFFICER DODUC: Dr. Chilmakuri?

6 WITNESS CHILMAKURI: I just wanted to add that
7 Dr. Greenwood has been mentioning spring outflow
8 criteria as an export restriction in here. And there
9 are other criteria that control exports. That's what
10 he's saying -- trying to say there.

11 CO-HEARING OFFICER DODUC: I'm sorry. What
12 was it?

13 WITNESS CHILMAKURI: There are other criteria
14 that restrict exports in spring months. That's what
15 Dr. Greenwood is testifying. So, for example, the Old
16 and Middle River flows, flow restrictions and the
17 bypass flows.

18 MS. MESERVE: But he doesn't mention those in
19 his testimony, does he?

20 WITNESS CHILIMAKURI: But the criteria in the
21 context of the entrainment is specific to export
22 restrictions. That's what he -- that's why he -- he
23 just explained to you that spring outflow criteria is
24 an example, but there are other criteria that also
25 protect.

1 CO-HEARING OFFICER DODUC: Is the -- it's only
2 the criteria that he is responding to in this
3 particular part of his rebuttal testimony?

4 WITNESS CHILMAKURI: Yes.

5 CO-HEARING OFFICER DODUC: Okay.

6 MS. MESERVE: On Page 27 and 28 of your
7 testimony, Dr. Greenwood, you discuss sediments in a
8 memo that you think overestimates the amount of
9 sediment removal. Isn't it true that the Final EIR
10 states that there would be an 11 percent reduction in
11 sediment?

12 WITNESS GREENWOOD: Based on the modeling
13 estimates, that was -- that's -- sounds approximately
14 correct based on my recollection, yes.

15 MS. MESERVE: And isn't it true that there is
16 not yet a sediment reintroduction plan?

17 WITNESS GREENWOOD: No. It's required to be
18 developed under the ITP.

19 MS. MESERVE: Isn't it true that the efficacy
20 of a sediment reintroduction plan is unknown at this
21 time?

22 MR. BERLINER: Objection. This is a plan
23 being prepared in the future. How can we know the
24 efficacy of a plan that's not yet in existence?

25 CO-HEARING OFFICER DODUC: What is your

1 objection? That sounds like an argument rather than an
2 objection.

3 MR. BERLINER: It's speculation on the part of
4 the witness as to the nature of a study or a plan that
5 has not yet been developed.

6 CO-HEARING OFFICER DODUC: All right.
7 Sustained.

8 MS. MESERVE: The witness is opining that the
9 sediment reintroduction plan will address these issues
10 and that the condition of approval suggested by
11 Dr. Rosenfeld is unnecessary. So it is the witness
12 himself who has claimed that the sediment
13 reintroduction plan will address this issue.

14 CO-HEARING OFFICER DODUC: Yes, but he can't
15 go into details of a plan that hasn't been developed
16 yet.

17 MS. MESERVE: Then how can he opine that it
18 will function as intended?

19 CO-HEARING OFFICER DODUC: And that's an
20 argument that you can make in your opposing brief.

21 MS. MESERVE: Excellent.

22 Going to Page 36, then, of your testimony, on
23 Line 4, what is the basis of your expectation that
24 adaptive management would only consider changes to
25 South Delta criteria for operations that remain

1 protective of juvenile salmonids?

2 WITNESS GREENWOOD: Well, given that they're
3 needing to consider the potential effects to the
4 examples I give here, which are listed fish, San
5 Joaquin River steelhead and spring-run Chinook salmon
6 from the San Joaquin, I give us examples that are on
7 the same migration pathways in the interior Delta as
8 the Mokelumne River juvenile salmonids, which is the --
9 that's the context of this particular opinion.

10 MS. MESERVE: So this opinion only refers to
11 listed salmonids then?

12 WITNESS GREENWOOD: Well, that's -- those are
13 the examples that I give there. That's -- that would
14 be -- that would be the main focus in this context for
15 the adaptive management process.

16 MS. MESERVE: Are you aware of any component
17 of the adaptive management plan that would attempt to
18 be productive of unlisted fish?

19 WITNESS GREENWOOD: I'm -- I don't recall all
20 aspects of the adaptive management program in general.
21 The -- the adaptive management would be focused on the
22 species or their habitat which, given that, as I'm
23 saying here, the habitat is often shared with the
24 unlisted fish, there may not be a focus on the unlisted
25 fish, but given that the listed fish habitat is often

1 shared with the unlisted fish habitat, even if unlisted
2 fish are not called out specifically doesn't mean that
3 there's not protection.

4 MS. MESERVE: But you're not aware of any
5 portion of the adaptive management plan that discusses
6 protecting unlisted fish, are you?

7 CO-HEARING OFFICER DODUC: It's been a few
8 days, Ms. Meserve. How is this different than what
9 Mr. Jackson was cross-examining him on?

10 MS. MESERVE: I'm honestly sure, but that was
11 my last question for Dr. Greenwood. I did listen to
12 Mr. Jackson.

13 CO-HEARING OFFICER DODUC: All right. If it's
14 the last question, Dr. Greenwood.

15 Oh, I'm sorry, was there an objection
16 somewhere?

17 MR. BERLINER: No.

18 CO-HEARING OFFICER DODUC: Okay.

19 WITNESS GREENWOOD: Could you repeat it so I
20 can get it?

21 MS. MESERVE: Well, that's what I'm saying,
22 that -- yeah, the question was just are you aware of
23 anything in the adaptive management plan that discusses
24 attempting to manage adaptively for unlisted fish?

25 WITNESS GREENWOOD: I don't recall anything

1 specific.

2 MS. MESERVE: So that is my questions for
3 Dr. Greenwood. Shall I continue?

4 CO-HEARING OFFICER DODUC: Actually, let's ask
5 so that we don't have to bring back any witnesses
6 unnecessarily. Who else will you be having questions
7 for? That was a very grammatically incorrect sentence.

8 MS. MESERVE: So I had a couple of questions
9 for Mr. Valles. And then I had a couple of questions
10 for the DOI witnesses. And some of the questions go to
11 Reyes or Dr. Chilmakuri. So with the way that the
12 witnesses have been answering, crosshatched a little
13 bit, I probably could ask a couple of the engineering
14 questions I have, if you want to keep going.

15 CO-HEARING OFFICER DODUC: What about
16 Dr. Wilder and Dr. -- I can't see your name.

17 MS. MESERVE: I do not have questions for
18 Dr. Wilder.

19 CO-HEARING OFFICER DODUC: Or Dr. Phillis?

20 MS. MESERVE: Or Dr. Phillis.

21 CO-HEARING OFFICER DODUC: Do you have
22 redirect for Dr. Wilder, Dr. Phillis, or Dr. Greenwood?

23 MR. MIZELL: At this time, no.

24 CO-HEARING OFFICER DODUC: All right. And --

25 MS. MESERVE: I think I would be asking for a

1 little more time beyond the hour. It took a little bit
2 longer to get through my Dr. Greenwood questions.

3 CO-HEARING OFFICER DODUC: Is there a
4 discrete, small set of questions you can get through in
5 about ten minutes?

6 MS. MESERVE: I shall try, yes.

7 CO-HEARING OFFICER DODUC: All right. Are
8 there any housekeeping matters?

9 (No response)

10 CO-HEARING OFFICER DODUC: If not, we will
11 allow Ms. Meserve to continue.

12 And I'll take a moment to thank Dr. Wilder,
13 Dr. Greenwood, and Dr. Phillis.

14 MS. MESERVE: This testimony -- sorry. This
15 question is for Mr. Valles.

16 In Mr. -- Dr. Greenwood's testimony he refers
17 to discussions with you regarding the need for frequent
18 adjustments of flow control baffles. That's on
19 Page 11, Line 12 of Dr. Greenwood's testimony.

20 Do you, Mr. Valles, have any experience with
21 flow control baffles on a 3,000 cfs or larger
22 diversion?

23 WITNESS VALLES: I don't personally have
24 experience other than what we saw at Red Bluff and how
25 they adjusted their baffles. And it was a fairly

1 straightforward process where a diver would go into the
2 water, measure the flow; the baffles would be adjusted
3 and then set, just physically set. And so I've seen
4 that, and it seems very mechanical; it's a not a
5 difficult thing.

6 MS. MESERVE: That's a 2,000 cfs diversion in
7 the Upper Sacramento River?

8 WITNESS VALLES: That's a 2500 cfs diversion.

9 MS. MESERVE: So each time the baffles would
10 need to be adjusted, a diver would need to go in the
11 water to do that?

12 WITNESS VALLES: They typically do it like
13 once a year. And it could be done once a season, so
14 every three months. It's how often the -- the NMFS
15 wants to review the flows in the system. Initially,
16 they'll probably do it quite frequently. But then once
17 they get the flows that they need, they'll come up with
18 a -- a process or routine through which to set them.
19 And they could be once every three months or so.

20 MS. MESERVE: And would you refer to those
21 type of baffles adjusted by a diver as being dynamic?

22 WITNESS VALLES: NMFS ideally would love to
23 have dynamic baffles. But in a marine environment, not
24 practical. It requires stepper motors, electronic
25 systems, flow control devices to measure the flow

1 constantly. And every time a boat drives by, it would
2 send a pressure wave that would cause these things to
3 kind of flutter. So in discussions with NMFS, they
4 backed off on that.

5 MS. MESERVE: So dynamic baffles are not
6 planned for these diversions.

7 WITNESS VALLES: That's correct

8 MS. MESERVE: And so small adjustments would
9 not be able to be made, say, during the course of a
10 tidal shift, for instance?

11 WITNESS VALLES: No. Like I said, it will be
12 set once, based on diver input, once. And it could be
13 as frequent as they want, but it would require a diver
14 to go in there and measure the flow.

15 MS. MESERVE: And then also to change the
16 setting? It's to measure the flow and change the
17 settings? Is that --

18 WITNESS VALLES: To measure the flow and then
19 from the top, they can possibly make the adjustments,
20 meaning up at the deck. They can turn the screw or
21 turn the mechanical device that will adjust the
22 baffles.

23 MS. MESERVE: So do you consider that to be
24 real-time operations?

25 WITNESS VALLES: I -- that's not -- I'm not

1 aware of that, if that's considered real-time.

2 MS. MESERVE: And then I was looking at the
3 SEIR. If we could go to the figure which is SWRCB-113,
4 and that's Figure 3-01. That's the figure that shows
5 the differences in between the proposed -- the approved
6 project and the currently proposed. That's going to be
7 3-1. Thanks.

8 So, Mr. Valles, I was wondering with showing
9 this layout, why this layout of the project does not
10 include any facilities for delivery of water to Contra
11 Costa Water District via East Bay MUD's Freeport intake
12 or a new tunnel connection to CCWD as agreed in the
13 settlement agreement.

14 WITNESS VALLES: That's not a question I'm
15 aware of. I know that there's some sort of an
16 agreement, but we weren't directed to put that in, into
17 the SEIR.

18 MS. MESERVE: So if those facilities were to
19 be built later, that may be subject to some separate
20 review process?

21 WITNESS VALLES: I don't know. I'm just an
22 engineer.

23 MS. MESERVE: And then, if you look at the
24 approved project and the proposed project, you can see
25 that the tunnel going from the intake proposed near

1 Hood moves closer to Stone Lakes and, in particular,
2 south Stone Lakes.

3 And if you'll forgive me, I did ask
4 Mr. Bednarski this question. But since we have another
5 engineer here, I'm going to ask it again.

6 Are you aware, Mr. Valles, of any
7 consideration of the effect on the hydrology of south
8 Stone Lakes by moving that tunnel closer to that water
9 feature?

10 CO-HEARING OFFICER DODUC: Mr. Mizell.

11 MR. MIZELL: Yes, I'll object as asked and
12 answered of Mr. Bednarski, who was the witness provided
13 to describe the change in the footprint, and it is
14 within the Supplemental EIR. Mr. Valles is here to
15 support Dr. Greenwood in the testimony regarding the
16 intake screen design. So --

17 CO-HEARING OFFICER DODUC: Unless that change
18 affects the intake and the screen design.

19 WITNESS VALLES: It doesn't change it.

20 MS. MESERVE: All right. Those are the
21 questions that I had for Mr. Valles. So if this would
22 be a good stopping point for you, that would be okay.

23 CO-HEARING OFFICER DODUC: You have no other
24 questions for him?

25 MS. MESERVE: Nope.

1 CO-HEARING OFFICER DODUC: So I'll leave it to
2 you as well, in terms of which witnesses you will bring
3 back tomorrow for purposes of redirect.

4 MS. MESERVE: I do have further questions,
5 though, right?

6 CO-HEARING OFFICER DODUC: Yes, but
7 Dr. Wilder, Dr. Greenwood, Dr. Phillis, and Mr. Valles
8 are the ones that you do not have cross-examination
9 questions for?

10 MS. MESERVE: (Nods head affirmatively)

11 CO-HEARING OFFICER DODUC: All right. With
12 that, we are back in Coastal tomorrow at 9:30.

13 Mr. Bezerra.

14 MR. BEZERRA: Yes. Just in terms of witness
15 scheduling, given that our panel follows DWR and
16 Reclamation's Panel 3, I don't know if Mr. Mizell or
17 Ms. Aufdemberge have any idea if they're planning to do
18 any redirect at this point because, if there's any of
19 redirect, then there will be possibly a fair amount of
20 recross, and that could change the timing. So I'm just
21 wondering if there's any redirect anticipated at this
22 point.

23 CO-HEARING OFFICER DODUC: And, if so, what
24 topics might you be exploring because redirect is
25 pending approval of the Hearing Officers.

1 MR. MIZELL: Yes. In order to curry favor
2 with everybody in the hearing, I don't plan to have any
3 redirect at this time.

4 CO-HEARING OFFICER DODUC: All right. So
5 since we're on time today, Mr. Mizell, please remind me
6 the estimated time you expect for direct testimony of
7 your Panel 3.

8 MR. MIZELL: We would request one hour,
9 please.

10 CO-HEARING OFFICER DODUC: One hour. All
11 right.

12 I'm sorry. Ms. Meserve, you have about, I
13 don't know, eight minutes left. How much additional
14 time do you anticipate needing for cross of this panel?

15 MS. MESERVE: I think I could do it in 30
16 minutes.

17 CO-HEARING OFFICER DODUC: Okay. So that
18 means, unless there's further redirect that is
19 unanticipated at this time, then we should get through
20 with cross-examination of this panel and direct of the
21 Panel 3 before our lunch break.

22 So at this time, Mr. Bezerra, and especially
23 those in Group 7 who are planning on conducting cross,
24 you should be prepared to move perhaps as early as late
25 morning. And everyone else should get ready for

1 presenting their time estimates of cross of Panel 3.
2 And based upon that, we'll have a better idea in terms
3 of presentation of rebuttal witnesses for other
4 parties. All right?

5 Thank you. See you back at the building 9:30
6 tomorrow.

7 And a shout out to the Central Valley Regional
8 Board staff who has helped us in the hearing for today,
9 thank you.

10 (Whereupon, the proceedings recessed
11 at 4:57 p.m.)

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 STATE OF CALIFORNIA)
) ss.
 2 COUNTY OF MARIN)

3 I, DEBORAH FUQUA, a Certified Shorthand
 4 Reporter of the State of California, do hereby certify
 5 that the foregoing proceedings (Pages 121 through 231)
 6 were reported by me, a disinterested person, and
 7 thereafter transcribed under my direction into
 8 typewriting and which typewriting is a true and correct
 9 transcription of said proceedings.

10 I further certify that I am not of counsel or
 11 attorney for either or any of the parties in the
 12 foregoing proceeding and caption named, nor in any way
 13 interested in the outcome of the cause named in said
 14 caption.

15 Dated the 20th day of August, 2018.

16 

17
 18 DEBORAH FUQUA
 19 CSR NO. 12948

20
 21
 22
 23
 24
 25

1 State of California)
2 County of Sacramento)

3

4 I, Candace L. Yount, Certified Shorthand Reporter
5 for the State of California, County of Sacramento, do
6 hereby certify:

7 That I was present at the time of the above
8 proceedings;

9 That I took down in machine shorthand notes all
10 proceedings had and testimony given;

11 That I thereafter transcribed said shorthand notes
12 with the aid of a computer;

13 That the above and foregoing is a full, true, and
14 correct transcription of said shorthand notes, and a
15 full, true and correct transcript of all proceedings
16 had and testimony taken;

17 That I am not a party to the action or related to
18 a party or counsel;

19 That I have no financial or other interest in the
20 outcome of the action.


21

22 Dated: August 24, 2018

23

24

25



Candace L. Yount, CSR No. 2737