

1 STATE WATER RESOURCES CONTROL BOARD STAFF PRESENTATION

2 SOLICITING COMMENTS ON THE NOTICE OF PREPARATION

3

4

5 KLAMATH HYDROELECTRIC PROJECT )

6 PUBLIC COMMENTS. )

7 )

8 )

9 )

10 )

11 ~~~~~

12

13

14

15

16 Date: TUESDAY, JANUARY 26, 2016

17 Time: 5:02 p.m.

18

19 Place: Best Western Miner's Inn  
20 122 East Miner Street  
21 Yreka, California 96097

21

22 Reporter: Carol J. Chase, CSR No. 13538  
23 COLEMAN REPORTERS  
24 510 Fourth Street, Suite A  
25 P.O. Box 7  
Yreka, California 96097  
(530) 842-1455  
e-mail: colemanreporters@earthlink.net

## 1   A P P E A R A N C E S:

2

For State Water Resources Control Board Staff:

3

JEFF WETZEL, SWRCB Sr. Water Resource Control Engineer  
4   PARKER THALER, Environmental Scientist, Lead Tech Staff  
ERIN RAGAZZI, Environmental Program Manager  
5   MARIANNA AUE, Office of Chief Counsel, Legal Support  
KRISTEN GANGL, Environmental Scientist

6

7

For AECOM:

8

ELENA NILSSON, Principal Archaeologist  
RICHARD HUNN, Senior Water Resources Planner

9

---oOo---

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

**PUBLIC SPEAKER COMMENTS INDEX:**

		Page
1		
2		
3		
4	1. Grace Bennett	18
5	2. Michael Adams	18
6	3. Rick Costales	19
7	4. Mark Baird	21
8	5. John Menke	22
9	6. Bill Simpson	23
10	7. John Menke	26
11	8. Grace Bennett	27
12	9. Richard Marshall	30
13	10. Rex Cozzalio	33
14	11. Dr. Richard Gierak	36
15	12. Thomas Joseph	37
16	13. Robert Davis	38
17	14. Anthony Intiso	30
18	15. Robert Rice	42
19	16. John Livingston	44
20	17. Rick Costales	46
21	18. Brandon Criss	49
22	19. Regina Chichizola	52
23	20. Curt Babcock	55
24	21. Mark Baird	57
25	22. Glen Spain	60

	<b>PUBLIC SPEAKER COMMENTS INDEX (cont'd) :</b>	
1		
2		
3		
4	23. Konrad Fisher	63
5	24. Ryan Walker	64
6	25. Robert Walker	67
7	26. Bill Duval	73
8	27. Jerry Bacigalupi	74
9	28. Sarah Schaefer	77
10	29. William Simpson	80
11	30. Larry Bell	83
12	31. Alex Watts-Tobin	84
13	32. Thomas Hotaling	86
14	33. Don Meamber	88
15	34. Nathaniel Pennington	89
16	35. Joe Watkins	92
17	36. John Menke	94
18	37. Betty Hall	99
19	38. Tom Pease	101
20	39. Tim Hayden	99
21	40. Thomas Willson	104
22	41. Dana Rose Colegrove	105
23	42. John Livingston	107
24	43. Dr. Richard Gierak	108
25	44. Michael Kobseff	108

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

**PUBLIC SPEAKER COMMENTS INDEX (cont'd):**

45. Ray Haupt	110
46. Jerry Bacigalupi	112
47. Rex Cozzalio	113

---oOo---



1 is going to give you a short technical presentation and  
2 I will move into the public comment section and then  
3 adjourn the meeting.

4 Please sign on the sheet in the back if you  
5 haven't done so already. If you wish to speak, please  
6 fill out one of the blue speaker cards and then hand it  
7 to Erin or Kristen in the back. And if you have those  
8 now, you can go ahead and raise them up or raise them at  
9 any time and make sure they find their way to some of  
10 the staff. When you do come up to give your comment,  
11 please speak into the microphone and give your first and  
12 last name with the spelling so that the court reporter  
13 can correctly transcribe your comment.

14 There's also a handout in the back of the room  
15 with some information on submit -- written comments or,  
16 on the blue speaker cards, you could do a quick comment  
17 and then check no oral comment tonight for speaking.

18 Some quick ground rules for tonight: Please  
19 silence your electronic devices; please respect the  
20 speakers and their points of view; please, one person  
21 speak at a time and use a microphone; please hold the  
22 questions and comments until the end of the  
23 presentation.

24 It's a quick presentation, about 15 minutes.  
25 Recognize we do have a short period of time for comments

1 so we ask that you respect your time limit so that we  
2 can hear from everybody that came tonight. Written  
3 comments are an alternative for those that would like to  
4 provide additional comments beyond their oral comment or  
5 for those who do not wish to speak tonight.

6 Before Parker jumps into his presentation, I  
7 want to give a quick context of why we're here tonight.

8 PacifiCorp, the applicant for the Klamath  
9 Hydroelectric Project, has submitted a Water Quality  
10 Certification Application to the State Water Board. And  
11 the State Water Board uses these certifications to  
12 condition hydroelectric projects, which is basically  
13 Section 401 of the Clean Water Act.

14 We're also here because the California  
15 Environmental Quality Act requires an Impact Report to  
16 inform the State Water Board and the public about the  
17 project's significant impacts and then ways to reduce  
18 them.

19 And I'll turn it over to Parker for his quick  
20 presentation.

21 MR. THALER: Hello, my name is Parker Thaler,  
22 and I'm an environmental scientist with the State Water  
23 Resources Control Board Division of Water Rights. I'm  
24 also the lead technical staff assigned to the Klamath  
25 Hydroelectric Project, and I've been working on the

1 Klamath Hydroelectric Project for a little over three  
2 years.

3 Today, I'll be providing a brief overview of  
4 PacifiCorp's Klamath Hydroelectric Project facilities,  
5 background on the Klamath Hydroelectric Project's, or  
6 KHP's, Federal Energy Regulatory Commission relicensing  
7 process, and overview of the California Environmental  
8 Quality Act process and a discussion of the Notice of  
9 Preparation public comment period.

10 Shown here in this slide is a map that provides  
11 an overview of PacifiCorp's Klamath Hydroelectric  
12 Project facilities. It's actually a little bit familiar  
13 as it can be found on the cover of our Notice of  
14 Preparation.

15 Owned and operated by PacifiCorp, the Klamath  
16 Hydroelectric Project is located in southern Oregon and  
17 northern California. The Oregon Klamath Hydroelectric  
18 Project facilities include East Side and West Side  
19 (which are located adjacent to Bureau of Reclamation's  
20 Link River Dam), Keno, and JC Boyle.

21 The California portion of the Klamath  
22 Hydroelectric Project from upstream to downstream  
23 includes Copco No. 1, Copco No. 2, and Iron Gate Dam,  
24 all located on the mainstem Klamath River and the Fall  
25 Creek Diversion Facility which is located on Fall Creek,

1 a tributary of the Klamath River.

2 Iron Gate Dam is the most downstream Klamath  
3 Hydroelectric Project facility and is the current limit  
4 of anadromous fish passage on the Klamath River, because  
5 Iron Gate was not constructed with any fish passage  
6 facilities.

7 Today, our focus is on the California portion  
8 of the Klamath Hydroelectric Project, as that is the  
9 portion of the project subject to the California  
10 Environment Quality Act. For context, the State of  
11 Oregon also has a water quality certification  
12 application for the Klamath Hydroelectric Project and  
13 has a separate action than what we are discussing today.

14 Now that I have provided information on the  
15 Klamath Hydroelectric Project general facility  
16 locations, I will briefly provide background information  
17 on the Klamath Hydroelectric Project's progress through  
18 the Federal Energy Regulatory Commission or FERC  
19 relicensing process.

20 FERC is a federal agency that issues licenses  
21 to hydroelectric projects for construction and  
22 operations. Modern licenses are often issued with  
23 conditions or measures that project operators must  
24 follow in order to protect environmental and public  
25 resources. Licenses are typically issued on 30- to

1 50-year terms.

2           So for this project, beginning in 1956, FERC  
3 issued the original license to construct and operate the  
4 Klamath Hydroelectric Project. The original license  
5 wasn't subject to today's environmental standards as  
6 many of them had not been created; such was the case  
7 with the Federal Clean Water Act and associated Section  
8 401 water quality certification requirement.

9           In February of 2004, PacifiCorp applied for a  
10 new license from FERC in anticipation that the original  
11 1956 license would be expiring in 2006 as it has been  
12 issued on an 50-year term. And in March of 2006,  
13 PacifiCorp filed a water quality certification  
14 application with the State Water Resources Control  
15 Board. PacifiCorp's filing opened the State Water  
16 Board's first opportunity to condition the Klamath  
17 Hydroelectric Project for the protection of public  
18 resources and environmental water quality.

19           In January of 2007, the United States  
20 Department of Interior and National Marine Fisheries  
21 Services provided FERC with mandatory conditions. For  
22 context, mandatory conditions are conditions issued by  
23 federal agencies in the FERC relicensing process, and a  
24 condition that must be implemented.

25           In 2007, FERC issued its final Environmental

1 Impact Statement for National Environmental Policy Act  
2 compliance.

3           Following FERC's issuance of an Environmental  
4 Impact Statement, in 2008, the State Water Board issued  
5 a Notice of Preparation for an Environmental Impact  
6 Report and held scoping meetings. Throughout the  
7 relicensing period, some Klamath Hydroelectric Project  
8 interested parties began discussions for a settlement  
9 agreement that resulted in the formation of the Klamath  
10 Hydroelectric Settlement Agreement or KHSA.

11           So beginning in 2010 is when the Klamath  
12 Hydroelectric Project began to deviate from the typical  
13 relicensing process. This was a result of some of the  
14 Klamath Hydroelectric Settlement Agreement parties  
15 requesting that the State Water Resources Control Board  
16 put the water quality certification process on hold or  
17 in abeyance to provide additional time for the KHSA  
18 settlement process.

19           At the request of interested parties, the State  
20 Water Board held the certification application in  
21 abeyance from May of 2010 to June of 2013.

22           I would like to note here that the State Water  
23 Board is not a signatory to any of the settlement  
24 agreements and maintains its independent authority to  
25 condition the Klamath Hydroelectric Project for the

1 protection of water quality and beneficial uses.

2 And during the abeyance, State Water Board  
3 staff continued to participate in Klamath Hydroelectric  
4 Settlement processes such as the Interim Measure  
5 Implementation Committee and Klamath Basin Monitoring  
6 Program.

7 And in July of 2013, the State Water Board's  
8 abeyance lifted and the State Water Board resumed the  
9 certification process. Following the end of abeyance,  
10 State Water Board staff have been reviewing past  
11 materials, continuing participation in Klamath  
12 Hydroelectric Project processes and have been working  
13 with PacifiCorp on items such as updating the water  
14 quality certification application, obtaining current  
15 environmental data and CEQA process logistics such as  
16 selecting a consultant.

17 And finally on November 30th of 2015 in light  
18 of new information such as the Klamath Hydroelectric  
19 Settlement Agreement's joint CEQA/NEPA document, the  
20 State Water Board issued a new Notice of Preparation for  
21 an Environmental Impact Report for the Klamath  
22 Hydroelectric Project.

23 Now, for our CEQA discussion. The CEQA process  
24 is needed per state law. The State Water Board cannot  
25 issue a water quality certification without a final CEQA

1 document. Information developed in the CEQA process  
2 will be used to inform the State Water Board's actions  
3 on the Klamath Hydroelectric Project.

4 We are all here today because the State Water  
5 Board has reinitiated the CEQA process by releasing a  
6 new Notice of Preparation. Shown here in the slide is  
7 an overview of the typical CEQA process in which the  
8 State Water Board is the CEQA lead agency and determined  
9 an Environmental Impact Report is necessary. The  
10 purpose of a Notice of Preparation is to gather  
11 information from resource agencies and interested  
12 parties about what should be included in our  
13 Environmental Impact Report.

14 Following the Notice of Preparation public  
15 comment period, the State Water Board will review all  
16 comments received in addition to other information and  
17 use that information to prepare our Draft Environmental  
18 Impact Report.

19 Shown in the slide is the list of the resources  
20 we plan to evaluate during the CEQA process. This  
21 information was taken from our Notice of Preparation,  
22 and some of these items were evaluated in FERC's  
23 Environmental Impact Statement and the KHSA's joint  
24 CEQA/NEPA document. To the extent possible, we plan to  
25 use that information.

1           Following the development of a draft  
2 Environmental Impact Report, the State Water Board will  
3 issue the draft Environmental Impact Report with a  
4 minimum 30-day public comment period. The draft EIR  
5 will include items like a detailed description of  
6 project alternatives, mitigation measures to reduce  
7 impacts to resource areas, and a description of  
8 environmental baseline conditions.

9           Similar to the Notice of Preparation portion of  
10 the CEQA process, the State Water Board will consider  
11 all comments received and issue a final Environmental  
12 Impact Report. Following issuance or concurrent with  
13 the final Environmental Impact Report, the State Water  
14 Board will take an action from PacifiCorp's water  
15 quality certification application.

16           The CEQA process propos- -- or our CEQA process  
17 proposed objectives that we've identified in our NOP and  
18 include: Modify the Klamath Hydroelectric Project, as  
19 needed, to comply with California water quality  
20 standards and in conformance with mandatory conditions  
21 established as part of the Federal Energy Regulatory  
22 Commission relicensing process, and continue to generate  
23 power from a renewable resource to serve Klamath  
24 Hydroelectric Project customers to the extent compatible  
25 with water quality standards and mandatory conditions

1 established as part of the Federal Energy Regulatory  
2 Commission relicensing process.

3 Our CEQA approach is to focus on the California  
4 portion of the Klamath Hydroelectric Project, use FERC's  
5 EIS, and the KHSA's joint CEQA/NEPA document in the  
6 development of our Environmental Impact Reports, and use  
7 information gathered by the scientific community,  
8 settlement agreements, tribes, PacifiCorp, CEQA  
9 commenters, and others.

10 The alternatives we've identified include a  
11 range from PacifiCorp's project as proposed in the water  
12 quality certification application which is continued  
13 operations with additional environmental measures, along  
14 with the State Water Board's addition of mandatory  
15 conditions, to full mainstem Klamath Hydroelectric  
16 Project facility removal. Other alternatives include  
17 implementation of settlement agreement measures, FERC's  
18 staff alternative, and partial facility removal  
19 scenarios.

20 Receiving input on these alternatives is a key  
21 part of the scoping process. All comments received  
22 during the comment period, including comments received  
23 in two thous- -- on the 2008 Notice of Preparation will  
24 be considered.

25 Some key items that we are interested in

1 hearing from the public include:

2 Adequacy of FERC's EIS and the KHSA's joint  
3 CEQA/NEPA document. In other words, do these documents  
4 address your concerns;

5 The range of alternatives or specific  
6 alternatives that we should be considering;

7 Potential impacts to evaluate;

8 Potential mitigation measures;

9 And any other items you think is relevant to  
10 this process.

11 If you would like to provide written comments,  
12 please provide them prior to January 29th, 2016, to the  
13 physical or e-mail address that is shown here. I've  
14 also included a link to our project Web page which is a  
15 good resource available to the public where we post  
16 updated information for the Klamath Hydroelectric  
17 Project, which is PacifiCorp's water quality  
18 certification application and this PowerPoint.

19 This concludes my portion of the presentation.  
20 I will be turning it back over to Jeff for the question  
21 and comment portion of today. Thank you.

22 MR. WETZEL: Thank you. Judging by the number  
23 of cards that we have and the people here tonight, let's  
24 do a three-minute allotted time for your comments. But  
25 before we do that, I wanted to give people a quick

1 opportunity to ask some general questions that they  
2 might have or process-related type questions that have  
3 arose before we jump into oral comment. So if you do  
4 come up and give your first name and last name and your  
5 spelling, please.

6 MS. BENNETT: My name is Grace Bennett. I'm  
7 one of the Siskiyou County Board of Supervisors. And in  
8 your presentation, you said a minimum of 30 days. Is  
9 there a maximum time on that? Or is it just 30 days?  
10 We need to understand that.

11 MR. WETZEL: This is to receive NOP comments?

12 MS. BENNETT: After -- after comments.

13 MR. THALER: So CEQA requires a minimum 30-day  
14 public comment period on the Environmental Impact  
15 Report, but it's often for large documents, for other  
16 interested parties to request an extension, and it's  
17 typical that the extension is honored. So there's no  
18 maximum. There is a minimum 30 days.

19 MS. BENNETT: Okay. Thank you.

20 MR. ADAMS: Michael Adams. That's three days  
21 away -- less than three days away since we're past  
22 5 o'clock. Where's due notice?

23 MR. WETZEL: Yeah, I hear you. We did release  
24 this NOP on November 30th of last year, so it's been on  
25 the street for --

1 FEMALE ATTENDEE: To who? Where?

2 MR. ADAMS: To whom?

3 MR. WETZEL: We posted it to our web page.

4 FEMALE ATTENDEE: There's something we --

5 MR. WETZEL: We sent it out to our interested  
6 party e-mail list and hard-copy mail list. We posted it  
7 in the Sacramento Bee, the Eureka Times Standard, and  
8 the Yreka newspaper.

9 MS. RAGAZZI: And we sent to who  
10 participated --

11 MR. WETZEL: And -- yeah, and we sent it to  
12 everyone that participated in the 2008 scoping meetings.  
13 We also posted it at the county clerk offices.

14 MR. COSTALES: My name is Rick Costales. I  
15 retired in July with Siskiyou County natural resource  
16 policy specialist. I'm not here representing Siskiyou  
17 County, so I can speak my own two cents worth in this.  
18 But one of the --

19 MS. RAGAZZI: Question.

20 MS. COSTALES: One of the questions that I have  
21 is you -- you reference the fact that the -- you're  
22 going to use the KHS A EIS and stuff for the -- for the  
23 work. And the only new stuff on -- relative to, like,  
24 socioeconomic analysis and stuff like that that you're  
25 going to consider is new data. Is that correct? If

1 there is some new data say it -- regarding things that  
2 weren't considered as part of the socioeconomic  
3 analysis, you would -- I mean, I don't want to make a  
4 lot of comments or anybody here --

5 MR. WETZEL: Yeah.

6 MR. COSTALES: -- make comments that aren't  
7 pertinent, that you're just going to accept what's  
8 already been done and no more along those line.

9 MR. WETZEL: Yeah, so the take-home here is  
10 that some of the other documents that have already been  
11 done, we'll rely on those as we need be. And then any  
12 new information that's been developed past then that we  
13 receive by comment or by written comments, we will take  
14 into consideration.

15 MS. AUE: Hey, just to -- just to clarify, our  
16 document is going to look -- it's going to reflect our  
17 opinion of what's in those other documents. So we're  
18 not just going to document the documents, and we are not  
19 limiting our -- our request for information or the  
20 information that we're looking at to information that's  
21 been developed since out of the FERC EIS or since the  
22 KHSA KBRA EIS/EIR was developed. So we're -- this is a  
23 fresh document.

24 The reason we're coming and doing scoping again  
25 is because new information was developed. But we aren't

1 saying "Okay, well, you had to tell us in 2008" if you  
2 could have told us in 2008. This is just -- we're just  
3 starting a new scoping process, but we'll take all the  
4 info.

5 MR. WETZEL: Any other questions?

6 MR. BAIRD: Mark Baird, Scott Valley Protect  
7 Our Water --

8 THE COURT REPORTER: Could you speak up,  
9 please.

10 FEMALE ATTENDEE: We can't hear you.

11 MALE ATTENDEE: We can't hear.

12 MR. BAIRD: Mark Baird, Scott Valley Protect  
13 Our Water.

14 Do you, in this process, intend to study ocean  
15 conditions as it relates to the so-called endangered  
16 species, because no one has ever done that before.

17 MR. WETZEL: I think the extent of our analysis  
18 we'll partially do by some of the comments that we  
19 receive here, so I don't think it's actually been  
20 determined what the scope of the analysis will be at  
21 this point.

22 MR. BAIRD: So you don't know exactly what  
23 you're going to study at this point and, based on the  
24 public comments, that's how you'll determine what you're  
25 going to study?

1 MR. WETZEL: Partially, yes.

2 MR. BAIRD: Okay. That answered my question.

3 MR. MENKE: John Menke. I'm representing  
4 myself.

5 Are you going to analyze the impacts of  
6 diversions off the Trinity River? I always thought it  
7 was remarkable that the previous assessments ignored the  
8 Trinity. And I'm in very close touch with all the  
9 information about that river. And from the time of  
10 conception of Lewiston and Trinity dams, 81 percent of  
11 the water was diverted until the year 2000 at the record  
12 of decision.

13 That's a remarkable diversion of the water. It  
14 completely destroyed the fishery below Lewiston Dam.  
15 I'm an avid fly-fisherman, and Grass Valley Creek  
16 sediments below Lewiston completely changed that river.  
17 And I find it remarkable that, during the previous  
18 assessments, there was no study or consideration to the  
19 Trinity diversions. And I know Governor Brown, which is  
20 all your guys' boss, is trying to send the water to LA.

21 FEMALE ATTENDEE: Already did.

22 MR. WETZEL: Now, that's a great point to bring  
23 up. And there's a lot of projects and a lot of water  
24 projects in California. He mentioned the Central Valley  
25 Project on the Trinity River. And as this process

1 relates specifically to the Klamath River and the  
2 Pacifi -- you know -- Corp project facilities, and we  
3 try to look at the analyses that are stemming from that  
4 operation and that project.

5 MS. RAGAZZI: So what you're bringing up is  
6 that you think that there is information that should be  
7 analyzed relative to the Trinity flows or lack of flows  
8 as part of the Klamath Project. And so when we receive  
9 comments along those lines, that's something we can take  
10 into consideration determining the scope and scale of  
11 the analysis that's performed as part of the Klamath  
12 Project.

13 MR. SIMPSON: My name is Bill Simpson, and I'm  
14 a writer columnist with My Outdoor Buddy and a couple of  
15 other organizations. I've been asking a lot of  
16 questions of the people in the area recently over  
17 about the last couple of years. And the question that I  
18 have for you folks is that I've been told that no one  
19 has submitted any kind of scientific research to you as  
20 to the current water quality entering above Copco  
21 compared to the water coming out of Iron Gate Lake right  
22 now; and that there have been informal studies that show  
23 the water coming out of the Iron Gate today is better  
24 quality than the water coming in up above Copco upriver;  
25 and that Oregon State University conducted a study as to

1 the ag- -- the anthropogenic pollution coming off of the  
2 Klamath Basin upriver in Oregon and that that water  
3 would not meet your current standards today.

4 So what I would like to know is what you folks  
5 intend to do as far as admitting or accepting new  
6 information about the mitigation in the anthropogenic  
7 pollution that those dams are providing right now. I  
8 would like to hear your answer to that.

9 MR. WETZEL: I'm not sure that I follow the  
10 exact question but, I mean --

11 MR. SIMPSON: Well, it's simple. The water  
12 coming out of Copco is -- is polluted. The water coming  
13 out of Iron Gate is less polluted. Is that complicated?

14 MR. WETZEL: No. That doesn't -- that's a  
15 clear statement, yeah.

16 MR. SIMPSON: There you go.

17 MR. WETZEL: So there's a lot of information  
18 out there --

19 MR. SIMPSON: No, there isn't. That's my  
20 point. You guys never brought in the -- the KBRA's  
21 never brought in any research as to those -- the  
22 differences. And if you take those dams out, what do  
23 you intend to do? And got three days here on your  
24 official research even if -- even if I ponied up \$5,000  
25 and brought down some water scientists from Oregon State

1 and redid those samplings in the summer when we've got  
2 the highest level of anthropogenic pollution, I couldn't  
3 get you the study done in time for this ridiculous  
4 deadline. And yes, you did publish it in places that  
5 some of the people here don't read. I mean, you know, I  
6 don't subscribe to the Sacramento Bee, you know, and  
7 things like that so...

8 MS. RAGAZZI: Thank you.

9 MR. SIMPSON: Okay.

10 MS. RAGAZZI: So I just want to state again for  
11 folks, the purpose of tonight's meeting is to solicit --

12 MR. SIMPSON: Don't answer my question.

13 MS. RAGAZZI: -- comments and information. So  
14 if you have information or data that you think is  
15 relative or pertinent that should be included as part of  
16 the scoping process as part of development of the EIR,  
17 we want to get that information for you. So if you have  
18 that information, please pass it along. If you come up  
19 with it two weeks from now, a month from now, send us  
20 your information.

21 This is a CEQA scoping meeting. It's required  
22 by state law that we hold these meetings and that we  
23 have deadlines. The State Water Board collects  
24 comments and information throughout its process. So if  
25 you get information two months from now and you want to

1 pass it along, we're happy to have it and please do so.

2 MR. SIMPSON: I'm sorry, but it's not an answer  
3 to my question.

4 MS. RAGAZZI: Sir, I'm going to ask you to sit  
5 down, please.

6 MR. SIMPSON: Okay. You haven't answered my  
7 question.

8 MR. WETZEL: It seems that we should move into  
9 the public comment portion of the meeting.

10 MR. MENKE: I have one more question that is  
11 rather critical. The State Water Resources Control  
12 Board funded Dr. Steve Kaffka and Danowski, and I don't  
13 know his first name, to do a study of the -- this is a  
14 followup on his question, right here, he had. They did  
15 a study, I think published in 2004 -- I have a copy of  
16 it -- on the comparison of the water input to the  
17 Tulelake Irrigation District compared to the water  
18 coming out of the drains of the Tulelake Irrigation  
19 District. And it was clearly the water cleaned up due  
20 to -- and I'm an agronomist and (inaudible). And so --

21 THE COURT REPORTER: Could you repeat that?  
22 Sir --

23 MR. MENKE: -- the control board funded a study  
24 by a brand-new professor at UC Davis, Steve Kaffka,  
25 K-A-F-F-K-A, and Danowski, manager of the irrigation

1 district for Tulelake, they went up there and did a  
2 fantastic study and it shows a reduction in water  
3 pollution coming out of that district compared to the  
4 water going in. So I -- I would strongly urge you to  
5 analyze your own funded research.

6 MR. WETZEL: Thank you.

7 Carol, what did you need?

8 THE COURT REPORTER: It's past. I don't  
9 remember.

10 MR. WETZEL: So we move into the public comment  
11 section here. Three minutes is the allotted time, and  
12 our first speaker will be Grace Bennett and then  
13 Richard Marshall will be on deck. Please remember first  
14 and last name with spelling.

15 MS. BENNETT: Grace Bennett, Siskiyou County  
16 Board of Supervisors.

17 And I, too, have comments about the dams and  
18 the removal. Many people believe that if Klamath River  
19 dams are removed, all this clear, clean, cold water will  
20 suddenly appear and come rushing down the Klamath River.

21 This is not the case. The water that comes  
22 from Oregon and California is a problem. This water is  
23 a source of much pollution. The Upper Klamath Lake is  
24 shallow, warm in the summer, and has many nutrients,  
25 phosphorous, and organic matter in it. To its

1    prestorage, they are talking about flooding the wetlands  
2    around the Upper Klamath Lake.  However, this will only  
3    add more phosphorous because the phosphorous is in the  
4    soil.

5           Phosphorous causes algae to grow in slow-moving  
6    waters.  Once the water leaves, the Upper Klamath Lake  
7    picks up more impairments as it continues down the --  
8    to the Klamath Project and a series of canals to help  
9    the farmers irrigate the Klamath and Tulelake Basins,  
10   then travels to Lower Klamath Wildlife Refuge.  It is  
11   not -- it is untreated, unfiltered flows through a canal  
12   back into the Klamath River.  This stretch of the river  
13   from Keno to Copco Lake has been identified as the most  
14   impaired water in the system.

15           And this -- this is at -- in -- on page 144 of  
16   the endangered and threatened fish of -- in the Klamath  
17   River.  It's a book I've read several times.  JC Boyle,  
18   Copco, and Iron Gate Dams allow these nutrients, organic  
19   matter, and phosphorous to settle and the water is  
20   cleaner when it leaves Iron Gate Dam than when it goes  
21   in.  This documented in the PacifiCorp studies.

22           There are 84 creeks and rivers below Iron Gate  
23   Dam to deal with this impaired water.  These creeks and  
24   rivers provide 471 miles of great habitat for spawning  
25   fish, plus 196 miles of the Klamath River.  Surely, this

1 is enough area to use for fish -- for spawning grounds.

2 Over the past 30 years, there has been a  
3 concentrated effort to improve the habitat and restore  
4 the Klamath River. The people of Siskiyou County have  
5 worked very hard since 1986 to improve the water quality  
6 and quantity in the Shasta and Scott Valleys where dams  
7 have been replaced, new pumping stations installed,  
8 ditches have been lined to improve water, fish grates  
9 have been added to ditches, irrigation practices have  
10 been changed to improve crop production and use less  
11 water. Logging practices have been drastically changed  
12 to protect watersheds. Streams have been fenced off, so  
13 the cows are in 'em. That's providing -- making streams  
14 narrower and lowering temperatures.

15 It is estimated that the Siskiyou County Road  
16 Department has completed over 62 projects since 2008 to  
17 improve fish access to streams, removing culverts and  
18 installing bridges. The Scott Valley RCD has completed  
19 over 1200 projects. Shasta Valley has completed over  
20 1500 projects. And this does not include the work that  
21 our farmers, ranchers, and loggers have done.

22 Am I done?

23 MS. RAGAZZI: Yeah.

24 MS. BENNETT: Okay.

25 MS. RAGAZZI: But you can come up at the end

1 and provide the rest of your comments, or we can take  
2 that.

3 MS. BENNETT: I've got a whole file available  
4 for you.

5 MR. WETZEL: Richard Marshall followed by  
6 Rex Cozzalio on deck.

7 MR. MARSHALL: My name is Rich Marshall. I'm  
8 president of Siskiyou Water Users, and I'm a rancher in  
9 Scott Valley.

10 Well, it seems like, just last week, we had the  
11 Fish and Wildlife Service representatives here fighting  
12 on the issue of wolves. And now we're here to try to  
13 protect our dams and our water and keep them pollutant  
14 free by talking to you today.

15 First of all, I want to say that I heard about  
16 this meeting on December 15th in an e-mail that was  
17 referred to me. And I'm on the Water Board's e-mail  
18 list, so I don't understand that.

19 And secondly, I want to say that the problem  
20 about timing on responses was brought up earlier, and I  
21 agree with that. The January 29th is a ridiculous date  
22 to be using for people who want to truly respond with  
23 documents and so on.

24 The major issues I have and our group has deal  
25 with the use of the EIR for the CEQA analysis, the EIR

1 being done by DOI. In your statement of going forward  
2 with it, the analysis, you state you are going to rely  
3 heavily on the work done by DOI, which you call the KHSA  
4 document. DOI had worked on this for a number of years,  
5 knowing that the DOI and the EIR was severely corrupted  
6 to meet the political objectives of DOI espoused, in  
7 particular, by Secretary Salazar --

8 THE COURT REPORTER: Please slow down.

9 MR. MARSHALL: -- who stated publicly --

10 THE COURT REPORTER: Slow down, please.

11 MR. MARSHALL: Okay. Stated publicly, prior to  
12 the completion of the study, that the dams were going to  
13 be removed. That was his goal. This can be attested to  
14 as well as the scientific manipulation of data by  
15 Dr. Paul Houser. I'm sure you've heard of him. He was  
16 a quality control officer of the DOI and became a  
17 whistleblower.

18 In addition, the DOI was caught fabricating  
19 evidence in the Lunny Oyster EIR which was attested to  
20 by Dr. Corey Goodman. We also have the fact that, on  
21 the Klamath EIR, the DOI was rebuked by Congress for a  
22 manipulation of a so-called public survey in which they  
23 paid respondents \$20 to respond. It is our request,  
24 because of these things, that the analysis be pristine  
25 on the part of your group, that they should look at the

1 entire river system, including all seven reaches of the  
2 Klamath River and the Trinity.

3 We saw the recent study by Governor Brown that  
4 the dams are going to be removed as the same insolent  
5 statement made by Salazar. This gives us no confidence  
6 that, in fact, this will be a far-reaching, independent,  
7 and thorough scientific study of the river and the  
8 damage that will be done by removing the dams.

9 The Water Resources Board, I want to talk to  
10 some of your own documents. In the late 1960s, the  
11 Water Board, in conjunction with numerous engineering  
12 firms and hydrological studies, made recommendations  
13 invoked in '83 which, if they had followed them, it  
14 would have made these Klamath issues today disappear and  
15 we wouldn't be having this meeting.

16 The reports, in essence, recommended a series  
17 of water storage structures throughout Siskiyou County,  
18 including the upper elevation storage structures, which  
19 would have provided opportunity to capitalize on  
20 abundant rainfall to keep the aquifers full. This work,  
21 together with proactive forestry employees, to increase  
22 the water flow in the streams that were serving the  
23 Klamath Basin.

24 These upper -- are you getting ready to shut me  
25 down? Because I want to add one more thing. And then

1 I'll give you this.

2 But I want to point out that this meeting is  
3 being conducted while there's a lawsuit -- a pending  
4 lawsuit by Hoopa, which has been brought in by the Yurok  
5 and the County of Siskiyou and others. And it is  
6 exactly on this issue of your authority to be able to do  
7 this study and be able to make these comments. And it's  
8 been put forward by their attorneys, in fact, you  
9 can't -- you gave up your rights to do this.

10 So I question this whole hearing process that  
11 you're undergoing, the scoping process. I think you  
12 should wait until the FERC has completed its situation  
13 on Hoopa lawsuits. And then I'll give the rest of my  
14 comments to your girl over here.

15 MR. WETZEL: Oh, no, I got 'em in here.

16 MS. RAGAZZI: Okay. I'll take them.

17 MR. WETZEL: After Rex will be Thomas Joseph.

18 MR. COZZALIO: Actually, I'll -- I'm going to  
19 show the concerns about the time frame of that. And,  
20 also, I'd like to submit separately this -- this paper  
21 for you.

22 THE COURT REPORTER: Could you state your name  
23 again, sir?

24 MR. COZZALIO: Rex Cozzalio, C-O-Z-Z-A-L-I-O.  
25 And fair warning, this goes 15 seconds over.

1           We are four generations living at the same  
2 location on, with, and in the Klamath. We live directly  
3 below where Iron Gate now sits. I'm in the Klamath over  
4 50 times a year for nearly 60 years, as my grandfather  
5 before me. I have personally seen the overwhelming  
6 benefits those facilities provided to our river reach in  
7 environmental or wildlife enhancement, fisheries  
8 habitat, riparian stability, water quality, world-class  
9 salmon production, erosion prevention, sediment  
10 reduction, fire protection, supplemental water storage,  
11 and relief for nearly annual destructive flood damage.  
12 The added capacity of Iron Gate augmented those same  
13 benefits experienced by my grandfather and every local  
14 resident we knew who lived the before and after of the  
15 Klamath Project.

16           Majority consistent opinion, empirical  
17 knowledge, and current science contradicting agenda  
18 premise have fallen on deaf ears at every scoping  
19 meeting presented by Water Resources and its divisions.  
20 Every instance has seen this agency's incremental  
21 resource confiscating regulations constructed to  
22 economically attrition all vested residents except for  
23 the participating and profiting special interest few.

24           Every one of those purchased  
25 theoretically-based computer modelled studies supporting

1 regulatory conclusion have failed in beneficial  
2 prediction, and yet the regulations remain and compound  
3 towards agenda outcome. This agency's recent water  
4 quality 401 permit revision was constructed to force  
5 PacifiCorp acquiescence to KHSA mandated water storage  
6 removals; in doing so, ignoring water quality that was  
7 better exiting the facilities than entering. Instead,  
8 this agency conducted and paid for peer review  
9 temperature and microcystin claims that have since been  
10 proven unsubstantiated, but which consequent regulatory  
11 mandates still remain in force.

12 Now, we are here for the coup de grâce  
13 compelling removal of historically balanced benefits.  
14 This agency, again, eliminates consideration of  
15 information refuting agency premise, allowing for  
16 inclusion of the biased, outdated FERC EIR and already  
17 failed KHSA profiting conclusions and options. Agency  
18 claims of nonbias or overt lies when the governor's own  
19 just-released Final '16 California Water Action Plan  
20 calls for the full weight of regulatory might to be  
21 aimed at specifically removing the Klamath water storage  
22 facilities. Rewinding policy driven funding and  
23 directives ensure employee and special interest  
24 cooperation. Thousands of regional lives and futures  
25 have already been sacrificed to the same failed

1 regulatory impositions, to no benefit, acknowledgement,  
2 or accountability. It is unrealistic to believe this  
3 agency will ever oppose the regional devastation of  
4 removals, or equally destructive regional attrition  
5 through benefitting agency and special interest  
6 so-called "mitigating" oppression.

7           Destruction of those facilities will not only  
8 bring a return of former degraded pre-project  
9 conditions, it will bring even greater consequential,  
10 transitional, environmental damage and irreversible  
11 hardship to countless species in perpetuity, including  
12 man. Thank you.

13           (Applause.)

14           FEMALE ATTENDEE: Could you switch the  
15 microphones? Because that one sounds like you're in a  
16 closet and that one's clear.

17           MALE ATTENDEE: Is that better? Can you hear?

18           FEMALE ATTENDEE: Yeah.

19           (Applause.)

20           MR. WETZEL: Thomas Joseph and  
21 Dr. Richard Gierak on deck.

22           DR. GIERAK: Dr. Richard Gierak, G-I-E-R-A-K.  
23 Basically, we've heard all of these different areas.  
24 First of all, most of this problem has been caused about  
25 listing of coho salmon. What a pain. First of all, in

1 the 2000, when we had the great big fish kill down on  
2 the Lower Klamath, it was blamed on the algae in the  
3 reservoirs. CDC, a number of years later, did the  
4 evaluation and found that to be untrue.

5 Second of all, which is most important, this  
6 was all done as a matter of the Indian tribes claiming  
7 to have a annual water boat dance at that time of the  
8 year. However, historically prior to the dams being  
9 built, there was no water in the river at that time of  
10 the year that would support a water boat dance. Just  
11 look up the actual data.

12 Secondly, the Klamath River is designated as a  
13 wild and scenic river. Destruction of this dam or any  
14 one of them would put so much change in the river, it  
15 would be a direct violation of the Federal Act. So we  
16 must consider that. I do believe that I was part of the  
17 FERC evaluation team in the year '99 and 2000. And Iron  
18 Gate is a wonderful facility and it works great. I  
19 think that takes care of it. Thank you.

20 MR. WETZEL: Thank you. Can you hear that?  
21 Better?

22 MALE ATTENDEE: We can't understand you.

23 MR. WETZEL: Thomas Joseph. Ah, there we go.

24 MR. JOSEPH: Just say our name and where we're  
25 from or what?

1           My name is Thomas Joseph, T-H-O-M-A-S, Joseph,  
2 J-O-S-E-P-H.

3           My message, too, is very simple and plain.  
4 The -- this board has been put together by the State of  
5 California to look after the best interest of California  
6 water. As a State of California -- as a member of the  
7 State of California, I ask you to do that, protect the  
8 California watershed. It's simple and it's easy.

9           If these dams can't comply with EPA  
10 regulations, then they can't comply, and they're  
11 outdated, they need to be redone, and they need to be  
12 taken down. All this other stuff is just -- it doesn't  
13 matter. You guys do your job as a California water  
14 board to protect the best interest -- protect the  
15 interests of California citizens. Thank you.

16           MR. WETZEL: Robert Davis is next with  
17 Anthony Intiso on deck.

18           MR. DAVIS: Good evening. I'm Robert Davis,  
19 D-A-V-I-S. Congress was supposed to vote regarding dam  
20 removal. Most of the congressmen do not know where we  
21 are. They think Northern California ends at a line from  
22 San Francisco to Sacramento. They must be provided with  
23 a scientific study of the -- of some of these and the  
24 conditions.

25           For example, when I moved to this area over 30

1 years ago, some people were alive who remembered  
2 conditions before the dams. When I ask how they built  
3 the pilings in the middle of the river with the rushing  
4 water, they laughed because, before the dams, the river  
5 dropped to a trickle that you could step over.

6 That was the -- that was the time to put the  
7 bridge supports in. Some people want these conditions  
8 to return.

9 As far as a scientific study, no one ever  
10 reported on a reason that the salmon did not go above  
11 Shovel Creek. This was generally known by everyone.

12 We checked conditions at the hot springs area,  
13 which is just before the creek bottom. There is a large  
14 area with hot springs coming out of the ground in many  
15 spots. We checked one only and found 25 gallon per  
16 minute of 140-degree water at a time when the air  
17 temperature was 36 degrees. That's enough to warm the  
18 water enough to stop the salmon.

19 The algae contamination is another thing that's  
20 thick in places of no water flow. We do not go into  
21 such scummy places. Only people who want to measure  
22 something that looks real bad go there. You can find  
23 the same thing in spots on the river wherever flow is  
24 low. None of the residents I know has ever had any ill  
25 effects from the algae nor have the many people that

1 were tested by the Siskiyou Health Department.

2 The testing shows that cleaning by the dams is  
3 the -- of what is happening to the river. Everyone that  
4 takes studies of the river all through the summer and,  
5 if you look at it, every study comes out that there's  
6 contamination and posting at the beginning of the river  
7 all the way down to Iron Gate. By the time the water  
8 goes through Iron Gate, it is cleaner than it came in.

9 Now, how can you say there's anything that the  
10 dams are doing except cleaning? They are not causing  
11 any type of contamination. You got nothing else to  
12 clean like those dams.

13 (Applause.)

14 MS. RAGAZZI: Thank you, sir.

15 MR. WETZEL: And Anthony with Robert Rice on  
16 deck.

17 MR. INTISO: Thank you. My name is  
18 Anthony Intiso, I-N-T-I-S-O. Good evening and thank you  
19 for my opportunity to speak. I am here representing the  
20 granges of Siskiyou County.

21 As a recent graduate of Hillsdale University  
22 and the faculty and students who fought in the civil  
23 war, I studied there and completed their courses on  
24 insti- -- constitutional law. As a result of those  
25 studies and -- and the -- I am here to give your agency

1 a notice. And I have copies here that I'll give you.

2 MS. RAGAZZI: Thank you.

3 MR. INTISO: Any time I have left over or  
4 someone else needs it, I'm not going to take the whole  
5 three minutes.

6 This is the Notice of Non-Conformance. The  
7 California North Coast Water Quality Control Board:  
8 Notice is hereby given to you that the said California  
9 agency's governmental procedures, policies, rules,  
10 rulings, fines, fees, and enforcement actions are in  
11 violation of the U.S. Constitution and the California  
12 Constitution. U.S. Constitution Article 1, Section 1;  
13 Article 2, Section 1 -- I won't go through all of  
14 that -- and the California Constitution.

15 The California legislature establishes your  
16 agency in -- by the passage of Dickey Act of 1949 and  
17 subsequent acts, up to and including the Porter-Cologne.

18 The passage of the Water Codes Act, 13000, et  
19 seq, does not give you authority to make rules of law,  
20 enforce those laws, and set penalties.

21 The U.S. and California Constitutions are very  
22 specific in their language enumerating who has those  
23 powers and authority. In addition, the U.S. Supreme  
24 Court Decision 551 US 644 further restricted your  
25 discretionary powers.

1           As board members, each of you swore to an oath  
2 when taking office. And that oath of office was to  
3 uphold the Constitution of the United States of America  
4 and the Constitution of California. When you faithfully  
5 execute your duties according to the Constitution, you  
6 have immunity to civil and criminal prosecution, both  
7 absolute and qualified. But once you are made aware  
8 of -- of taking official actions as a board member and  
9 that those actions are unconstitutional, it becomes a  
10 violation of the oath of office, thereby removing you  
11 from the cloak of immunity and making you subject to  
12 personal legal action. And that is the purpose of this  
13 notice, to inform and ask that you uphold your oath of  
14 office and stop conducting unconstitutional actions.

15           Respectfully, the granges.

16           MS. RAGAZZI: Thank you.

17           (Applause.)

18           MR. WETZEL: Robert Rice with John Livingston  
19 on deck.

20           MR. RICE: My name is a Bob Rice, R-I-C-E.  
21 I've lived in Siskiyou County for 35 years. My  
22 employment with the Forest Service-USDA was to plan and  
23 administer three million acres of the land and water  
24 resources in the Klamath Basin. Sixty-two percent of  
25 the Klamath River was my responsibility.

1           In 1986, the Secretary of Agriculture appointed  
2 me to the 13-member Klamath River Fishery Task Force.  
3 We researched and planned to sustain or improve the  
4 riverine habitat of anadromous fish species in  
5 California portion of the Klamath River. An early focus  
6 of water quality, which is now a hot subject, was  
7 presented in 1991 through a Wild and Scenic  
8 Classification Report by the Bureau of Land Management.  
9 It represented an area from river mile 190 to river mile  
10 254 and reported on water quality regarding  
11 eutrophication of two reservoirs, Ewauna and Upper  
12 Klamath Lake in Oregon.

13           In 1998, USGS, another agency in USDI, reported  
14 on water quality and nutrient loading. North Coast  
15 Regional Water Control Board and PacifiCorp were  
16 co-operators. They concluded that the methodology to  
17 achieve a water quality strategy is lacking.

18           These two reports were instrumental in the  
19 development of Public Law 106-498 passed in 2000 called  
20 the Klamath Basin Enhancement Act. The Bureau of  
21 Reclamation USDI was charged with doing the assessment  
22 for off-stream storage and water pollution treatment.

23           The focus of these three documents identified  
24 either deficiency in water storage or the presidents --  
25 presence of both non-point and point-source pollution

1 before entering the Klamath River. They also state that  
2 water quality downstream from pollution sources will  
3 naturally improve due to dilution and mixing with  
4 tributary flows as the water passes through reservoirs.

5 I make two points: PacifiCorp is not the major  
6 culprit in Klamath River pollution, and the California  
7 water plan planners have only begun a long journey of  
8 research, which the authors of KBRA and KHSR have not  
9 done.

10 The Klamath River is a complex two-state  
11 waterway and all implemented actions must be compatible  
12 with the necessary flow dynamics of the Klamath River.  
13 At this point, what I read in your deliberations  
14 addressing management strategies for water quality  
15 improvement or additional water supply is nonexistent.

16 (Applause.)

17 MR. WETZEL: Thank you. John Livingston with  
18 Rick Costales on deck.

19 MR. LIVINGSTON: John Livingston, J-O-H-N,  
20 L-I-V-I-N-G-S-T-O-N. I'm a resident of Redding, and I  
21 follow the issues up here on the Klamath River carefully  
22 because I do a lot of hiking and canoeing up here.

23 For the documents that the State is going to  
24 prepare, I would offer the following technical issues.  
25 When the dams are -- for the alternatives where the dams

1 are to be removed, the analysis of the sediments in the  
2 federal documents was fairly weak. And it -- it puts  
3 the document at risk of a lot of criticism if the  
4 analysis of the sediment discharge following removal and  
5 those alternatives, yet it puts the -- it generates a  
6 lot of negative feedback when the analysis isn't real  
7 strong on the -- the analysis of what's in the sediments  
8 and how they're released. I witnessed a couple of dam  
9 removals up in Washington State, and those sediment  
10 issues are extremely important.

11           The next next thing is construction impacts for  
12 both dam removal and nondam removal alternatives.  
13 The -- the real activities during construction and for,  
14 say, the next five years, those impacts are real  
15 important to doc- -- to analyze and document in the --  
16 in the EIR document. The -- when we remove things or we  
17 do things that involve fish, we have a big difficulty  
18 establishing measurable parameters that we can define as  
19 whether we were successful or we weren't successful.

20           So I would encourage the analysis to try to  
21 develop some -- some mitigation measures or some  
22 parameters that are measurable instead of everyone  
23 saying "well, it worked" or "it didn't work."

24           And, finally, although some people claim that  
25 pollution isn't occurring in the river, I drove across

1 I-5 a few months ago and there were cattle in the river  
2 grazing or next to the -- they were right in -- their  
3 feet were in the water. So contrary to some people's  
4 belief, there are cattle in the river. Thank you.

5 (Applause.)

6 MS. RAGAZZI: Thank you, sir.

7 MR. WETZEL: Brandon Criss is on deck.

8 MR. COSTALES: I have a layman's understanding  
9 of the Clean Water Act and the Porter-Cologne Act and  
10 the CEQA --

11 MS. RAGAZZI: Can you state your name and spell  
12 it.

13 MR. COSTALES: Oh, I'm sorry. Yeah.  
14 Rick Costales, C-O-S-T-A-L-E-S, and I'm representing  
15 myself, but a laymen's understanding of those laws, the  
16 Clean Water Act, Porter-Cologne, CEQA, but my  
17 understanding is that these things are not cut and dried  
18 with regard to water issues. It doesn't require you to  
19 prioritize water to the nth degree or any one of the  
20 many beneficial uses of this stuff. You guys are  
21 required to kind of seek some kind of balance and that  
22 balance doesn't have to be -- it seems to me there's a  
23 lot of language talking about feasibility and, you know,  
24 practical stuff, that these things are -- have to be  
25 achievable and, essentially, worth what it is that it

1 takes to achieve these sorts of mitigations or  
2 accomplish these projects.

3           If water was the bottom line on these things,  
4 half the people would have to move out of the Bay Area  
5 or Los Angeles for the LA River. So, obviously, you  
6 guys are required to balance that. And I think as far  
7 as that goes, the proposal that PacifiCorp has and it is  
8 trying to meet your water objectives and at the same  
9 time run the dam, I believe, that that is a -- is a  
10 sound alternative.

11           As far as the alternatives that go along the  
12 lines of trying to take the dams out, I -- I think short  
13 shrift has been given to the socioeconomic analysis and  
14 the impacts of taking those dams out. The mitigations  
15 proposed when I was working for the county, mentioning  
16 some of the things that were left out of what were  
17 looking out for the county's concerns and the general  
18 feeling I got is that if the county had played ball a  
19 little more, maybe some of the mitigations could have  
20 been written into the KHSA and the KBRA and those kinds  
21 of things. And that's not the way that these  
22 mitigations under water quality for the ben- -- other  
23 beneficial uses are supposed to take place. They either  
24 take place and they're fair and they're right and their  
25 just, but it should not matter whether you play ball or

1 not.

2           And I really don't think that's adequately been  
3 done. And I don't think the analysis of -- I think  
4 there are a lot things that gone under the radar in  
5 terms of the socioeconomic analysis. For example,  
6 Hornbrook School, I believe, is funded through the --  
7 through PacifiCorp through the Klamath Project. And I  
8 believe, you know, there's going to be a school that  
9 might have to close or have struggle with the funding.  
10 I don't believe necessarily that that was in that  
11 analysis.

12           So I think that we've really got to look hard  
13 at what these -- these impacts. They just don't stand  
14 alone. It isn't 70 megawatts that we can generate  
15 someplace else or replace something else.

16           The presence of PacifiCorp here with the taxes  
17 and the jobs and all the things that contributes to it  
18 along the lines of the cultural aspects that the native  
19 tribes are talking about, their cultures -- I realize  
20 the -- the culture of Siskiyou County isn't written in  
21 as a beneficial use, but they still have impacts to our  
22 culture just wiping these industries out and taking  
23 these things out. And I think you don't just analyze  
24 70 -- 70 megawatts. You have to analyze down that whole  
25 chain, and I don't think that was adequately done in the

1 socioeconomic analysis, so I would like to see you  
2 include that in the scoping. Thank you.

3 (Applause.)

4 MR. WETZEL: Thank you. Brandon Criss with  
5 Regina on deck.

6 MS. RAGAZZI: State and spell your name.

7 MR. CRISS: My name is a Brandon Criss,  
8 B-R-A-N-D-O-N, last name C-R-I-S-S. I'm the County  
9 Supervisor for District 1.

10 At 10:00 p.m. on August 1st, 2014, I received a  
11 phone call from Sheriff Lopey advising me that  
12 constituents were being evacuated from their homes due  
13 to a rapidly spreading fire north of Copco Lake. I  
14 drove over to the evacuation center and spent the night  
15 there getting feedback of what was happening.

16 Constituents witnessed helicopter bucket load  
17 after helicopter bucket load of water being drawn out  
18 from behind Copco Dam. The water behind the dam was  
19 used to save homes and lives. When you consider this  
20 issue, we demand that public health and safety be given  
21 a priority. Do not take this fire protection tool that  
22 the dams provide.

23 We ask that you also consider the health of the  
24 migrating salmon. Also in 2014, there was a chance of  
25 another fish kill similar to 2002 on the Klamath River.

1 At the North Coast Regional Water Quality Control Board  
2 meeting here -- held here in Yreka in this room on  
3 October 9th, 2014, the Karuk tribal spokesman,  
4 Craig Tucker, stated that, quote, "increasing flows and  
5 the velocity of flows disperses diseases on the Klamath.  
6 We averted a fish kill because of Trinity River flows.  
7 Then the Karuk tribe observed disease above the Trinity  
8 confluence. A lot of credit to PacifiCorp's" -- this is  
9 all still a quote -- "a lot of credit to PacifiCorp's  
10 collaboration with the Bureau of Reclamation to at least  
11 16,000 acre feet, which was released at 1700 cubic feet  
12 per second," as credited.

13 A total of 20,000 acre feet was released --  
14 this is not his quote -- a total of 20,000 acre feet was  
15 released by these dams. Without the dams, this  
16 20,000 acre feet would not have been available to save  
17 the salmon.

18 We find an -- oh, Craig Tucker said that on  
19 agenda 6, minutes 30 to 37 on the recording: "We find  
20 it ironic that some claim these dams impair water for  
21 fish, yet the release of an extra 20,000 acre feet of  
22 this same water is credited with being pivotal in  
23 helping to prevent a fish kill. Please do not take this  
24 tool away from us for fish health."

25 The Bureau of Reclamation struck a deal with

1 PacifiCorp to release this 20,000 acre feet from behind  
2 these dams so this water would not have to be taken from  
3 farmers and ranchers in the Klamath Basin. The Bureau  
4 of Reclamation August 8, 2014, press release stated that  
5 that water released from behind the lower dams would,  
6 quote, "assist reclamation by extending the Klamath  
7 Project's available water supplies from Upper Klamath  
8 Lake to help close the irrigation season" for those  
9 farmers. Please, for the benefit of those farmers, do  
10 not take this tool away from us.

11 Real quick.

12 MS. RAGAZZI: Okay.

13 MR. CRISS: Lastly, do not view agriculture as  
14 harming the river. View it as a tool to benefit the  
15 river. For example, the State Fish and Game quickly  
16 blamed Klamath Basin agriculture for the 2002 fish kill,  
17 yet the National Academy of Sciences made clear in their  
18 study that agriculture did not cause the fish kill.

19 It's a proven fact as well that agriculture  
20 water runoff in the Klamath and Tulelake Basins is  
21 cleaner and has less phosphorous loading than natural  
22 conditions would give this river. Don't just demand  
23 cleaner water; respect and honor that you are already  
24 receiving cleaner water due to the agricultural  
25 practices.

1           We request that you allow us to continue to use  
2 the dams as a tool, a proven tool that benefit the  
3 Klamath River system in whole. With dams in place, we  
4 are seeing record runs of Klamath River salmon. Tearing  
5 out existing hydro power dams that have proven benefits  
6 for fish, Klamath and Tulelake Basin agriculture, and  
7 firefighting efforts is no solution. It's, instead, the  
8 start of many problems. Thank you.

9           MR. WETZEL: Regina, then Curt Babcock on deck.

10          MS. CHICHIZOLA: Hello. My name is  
11 Regina Chichizola. I was a long-term resident of  
12 Siskiyou County and recently moved to Orleans,  
13 California.

14           I spoke specifically about different water  
15 quality issues throughout the time that this process has  
16 been going on and I might hit those a little bit, but  
17 I'm also going to talk slightly personally today, too,  
18 and also talk about how great dam removal can be to the  
19 economy and to the restoration of the salmon -- and to  
20 the restoration of salmon throughout the Klamath River  
21 watershed.

22           I understand a lot of people here want the dams  
23 in and I -- I get that, that they find them to be  
24 beneficial but, for the people downriver, the toxic  
25 algae the dams create, the lack of fishery that has hurt

1 is a huge impact. Last year, up to 90 percent of the  
2 juvenile salmon in the -- in the river died and --

3 FEMALE ATTENDEE: That is a lie.

4 MS. CHICHIZOLA: -- that is -- no, that is  
5 true. And I would -- I respected everyone here, and I  
6 would like you to respect me. Thank you.

7 Anyway, so over 90 percent of the salmon died  
8 in the river. The commercial fishermen that live on  
9 the -- that depend on the river and the native people  
10 that fish on the river are hardworking people that want  
11 to see their way of life continue, just the same as the  
12 people in the room want to see their way of life  
13 continue. And a lot of people have made some real  
14 strides to try to figure out ways to do that together.

15 When the Condit Dams were removed in  
16 Washington, it was amazing how fast the sediment worked  
17 its way out of the river system and it brought a big  
18 boom to the local economy and actually helped the ocean  
19 out also.

20 As far as the -- as far as the dams, these are  
21 owned by a corporation that is from out of the area.  
22 They don't care about us and they are going to make the  
23 decision based on what they want. So that's what the  
24 situation is.

25 For you guys, it's up to you to protect the

1 water and make sure that it's drinkable and swimmable  
2 and can benefit our communities. In the Klamath River  
3 when we need water taken out of the river during -- for  
4 fires, we get it from the river. That can happen here  
5 also.

6 In other dam removals, water systems have been  
7 updated and local communities' concerns were factored  
8 into the situation, and I'm sure people are willing to  
9 do that here, too.

10 I would also like to say that, while it is true  
11 that there are some serious water quality issues in the  
12 Upper Klamath, there are also serious water quality  
13 issues coming from the Oregon dams. And that is not  
14 good that everyone gets -- else gets blamed for all the  
15 different water quality situations. It is a cumulative  
16 thing going on. But these dams are causing a giant  
17 impact, and they have been identified by the State Board  
18 as causing a giant impact.

19 I'd also like to say that there's -- one of the  
20 things I forgot to say yesterday is there is a lot of  
21 refugia that cannot be used within the dam's area that  
22 would bring cold water into the system and I think  
23 that's an important issue.

24 And -- shoot -- oh. And last is that  
25 PacifiCorp has had the chance, like everyone else that

1 is in this room, to listen to the TMDLs, to listen to  
2 requirements for the fishery, and they have fought it  
3 every time possible. They have not been regulated.  
4 They release toxic algae into the river in warm water  
5 conditions. While everyone else is fencing their cows  
6 out of the creek, PacifiCorp continues to pollute, and  
7 they argue that this permit is the only chance for the  
8 TMDLs to be complied with and for the water quality to  
9 be improved. And any permit that you issue will last 50  
10 years, so it's really important that concrete mitigation  
11 measures are included in this permit. And it is really  
12 important that you guys do the right thing and stay  
13 strong in this permit process and listen to the best  
14 available science. And there's a lot of it existing.  
15 Thank you.

16 (Applause.)

17 MR. WETZEL: Curt Babcock with Mark Baird on  
18 deck.

19 MR. BABCOCK: Hi. Curt Babcock, C-U-R-T,  
20 B-A-B-C-O-C-K, representing California Department of  
21 Fish and Wildlife mainly here to support your process.

22 As you know, the department's been involved in  
23 the relicensing since its conception. We were signatory  
24 to the KBRA as the state was to their KHSAs for the state  
25 lead agency for the joint Klamath facilities removal for

1 the EIR/EIS. And we are a trustee for the State's Fish  
2 and Wildlife Resources who manage Iron Gate hatchery  
3 which is the current mitigation for the project below  
4 Iron Gate Dam. And we actively monitor and manage the  
5 Klamath fishery with our basin co-operator. We are the  
6 State's trustee for fish and wildlife resources. And,  
7 as such, we have principal interest in the outcome of  
8 this process. Primarily, we want to support this  
9 process and your analysis.

10 Primarily, the -- the main issues with the  
11 project are impaired fish passage -- excuse me --  
12 impaired flows and impairments to water quality. That's  
13 all been well documented, but I encourage you to utilize  
14 the analysis and the information contained in the  
15 EIR/EIS for the Klamath project removal. The -- and  
16 the -- the FERC EIS contains the information as well.

17 We support the alternatives that you've  
18 selected, including the inclusion of the mandatory  
19 provisions for fish passage, and encourage you to work  
20 with us as you move forward, too, and I offer our help  
21 in any information that you may need to move forward.

22 Thank you.

23 (Applause.)

24 MR. WETZEL: Thank you. Mark Baird followed by  
25 Glen Spain.

1           MR. BAIRD: Mark Baird, Scott Valley Protect  
2 Our Water.

3           This whole process has been filled with so much  
4 lying and cheating, and it's -- it's hard to even  
5 describe. But, first of all, the system of stakeholders  
6 that constructed the KBRA KHSA and sponsored a lot of  
7 the so-called science that you propose to quote is -- is  
8 spurious at best.

9           Mark Stouffer headed the lead agency for the  
10 State of California after they entered into an  
11 unconstitutional compact with another state. As you  
12 know, by the United States Constitution, that's  
13 prevented unless Congress approves and Congress has  
14 never approved to this process.

15           Mark Stouffer made the statement in a public  
16 meeting with regard to the 20 million-plus cubic yards  
17 of potentially dangerous sediment behind the dam. Well,  
18 this is just an experiment we have to try to see how it  
19 turns out. My suggestion is if you put up a \$10 billion  
20 surety bond so that the lives and property you ruin with  
21 removal of these dams can be paid for after the fact,  
22 then, yeah, try your experiment. But if you're not  
23 going to pay for it, that's not an experiment we want to  
24 come to the conclusion of.

25           Buster Attebery made a statement in front of a

1 couple of our members that -- once again in a public  
2 meeting, "I don't give an 'S' about the fish, we want  
3 the money."

4 Don Gentry from the Klamath tribe when I was  
5 testifying in front of the Oregon State Legislature,  
6 someone asked him -- Senator Witsett asked him, "Was it  
7 true that the Klamath tribes planned to remove  
8 themselves from the KBRA KHSAs? And if so, why?" And  
9 Mr. Gentry replied because -- not because it was a great  
10 idea to do it, but it wasn't going to happen, he said  
11 "because we failed to realize our bargained-for  
12 benefits."

13 When you look at every one of these  
14 stakeholders, they have something to gain. LeRoy from  
15 the Yurok tribe in a public meeting here in Yreka,  
16 several people in the audience were there, he said, "We  
17 don't care what the people of this county think, we  
18 don't care what you want, we don't care what you do. We  
19 want the money and we want control of the flow of the  
20 Klamath River." That was his response.

21 So when you look at the stakeholders involved,  
22 everyone in this process stood to get something. They  
23 weren't trying to save the fish, they weren't trying to  
24 save the basin. They wanted something, and that was the  
25 bribe that they bargained for in exchange for signing on

1 with the KBRA.

2 And I have to say one -- one stakeholder group  
3 missing from that are taxpayers, voters, and property  
4 owners. And it's odd to me that seven out of nine  
5 counties potentially affected by this project chose not  
6 to sign on, because they represented the voters,  
7 taxpayers, and property owners who would be directly  
8 impacted by the rash actions that, perhaps, you may  
9 choose to take.

10 I agree this is an unconstitutional and illegal  
11 process, but I do also agree with Mr. Joseph. There's  
12 an easy way to figure this out. Page 53 of the FERC  
13 relicense that PacifiCorp did the last time said that  
14 "the water was cleaner when it left the dams than it was  
15 when it entered them."

16 Go up to the upper basin, wait until a real  
17 cruddy day in the summer, see what the water quality  
18 was, then go down to the entrance of the first dam, see  
19 what the water quality is, and then check the water  
20 quality when it comes out of the dam and see where it's  
21 best and see where's it's worst.

22 But, also, read the history, because the first  
23 Applegate party called the Upper Klamath Basin and the  
24 Klamath River the stinky river. The horses wouldn't  
25 even drink the water. In fact, they bypassed the whole

1 area. So if you're claiming that the dams are making  
2 the water dirty, that's a false assumption. Thank you.

3 (Applause.)

4 MR. WETZEL: Glen followed by Konrad Fisher.

5 MR. SPAIN: My name is Glen Spain, G-L-E-N,  
6 last name, S-P-A-I-N. I'm the northwest regional  
7 director for the Pacific Coast Federation of Fishermen's  
8 Association. We're a west coast trade association for  
9 the commercial fishing industry.

10 I want to remind you that the Klamath Project  
11 area was defined in the FERC application by PacifiCorp  
12 as not only including all the river but the estuary and  
13 up to several hundred miles north and south, all the way  
14 through the -- at least the Klamath management saw it --  
15 that's the area that is most affected in the coastal  
16 fisheries by the stocks in the Klamath and where they  
17 migrate. These are highly migratory fish. They affect  
18 the economies of counties all the way down to Central  
19 California is -- and all the way down to Monterey. They  
20 also affect counties in Oregon all the way up to the  
21 Oregon/Washington border.

22 There was also the project area definition in  
23 the FERC analysis and in the KHSA NEPA and CEQA analysis  
24 as well, so that should be as well your project area  
25 definition in order to be consistent.

1           Looking at the application itself, there are a  
2 number of deficiencies and, aside from the things that  
3 you need to be looking in your scoping, there are some  
4 deficiencies in the application. Number 1, there's no  
5 analysis to speak of of the fish passage impacts. These  
6 are mandatory conditions under Section 18 of the Federal  
7 Power Act. That has been litigated that -- the -- they  
8 are solid. The court order is that they go forward with  
9 the FERC relicensing. So that is not only a foreseeable  
10 condition; it is virtually a certain legal condition.

11           There is very little reference to the  
12 California and Oregon TMDLs, and put -- including the  
13 fact that PacifiCorp's numbers do not match up with the  
14 current standard. So there -- its underlying assumption  
15 on some of their conclusions is false. They need to  
16 meet the TMDLs like every other entity.

17           There is a lot of ignoring of past studies,  
18 past cherry-picking of various studies and not really  
19 giving a complete picture of the economic issues.

20           In terms of the economics, again, you need to  
21 do socioeconomic analysis clearly in the system. And  
22 that means looking at both the impacts of project change  
23 and the impacts of project as it is; that is, relicense.  
24 Both have impacts. Both have some potential benefits.  
25 They all have to be analyzed all together before you

1 have anything like an adequate analysis. And that is  
2 a -- a process supported by many economists.

3 THE COURT REPORTER: I'm sorry. Supported by  
4 what?

5 MR. SPAIN: Many economists.

6 THE COURT REPORTER: Thank you.

7 MR. SPAIN: The cumulative impacts are ignored.  
8 The mitigation measures are almost nonexistent,  
9 unfortunately. Mostly what they are is study plans for  
10 future studies, which are vaguely described which may or  
11 may not result in mitigation. That would not be a legal  
12 basis for actually issuing a permit, because it would  
13 not be a legal basis for FERC relicense.

14 We can't just plan to plan. There has to be  
15 actual concrete mitigation. Those are mostly missing in  
16 the application.

17 The other problem is Keno Reservoir is ignored.  
18 And Keno Reservoir is also not going to be relicensed.  
19 Keno Reservoir is orphaned in the application of the  
20 company to FERC. So it's unclear what the status of  
21 Keno would be. It would probably have to be removed  
22 ultimately, and that is an impact that needs also to be  
23 studied.

24 Thank you.

25 MS. RAGAZZI: Thank you. Do you have a copy of

1 the report?

2 MR. SPAIN: We will have a copy of the report.

3 MR. WETZEL: Okay. Ms. Peggy?

4 FEMALE ATTENDEE: I'm going to go ahead and  
5 pass.

6 MR. WETZEL: Okay. Konrad Fisher followed by  
7 Ryan Walker.

8 MR. FISHER: Konrad Fisher, K-O-N-R-A-D,  
9 F-I-S-H-E-R.

10 I would like to thank the Water Board for  
11 resuming the water quality certification process. And  
12 since we're here, I just thought I would acknowledge  
13 that the -- the most vocal opposition to the dam removal  
14 has come from my fellow Siskiyou County residents. And  
15 I would argue that most of this is rooted in ideology  
16 rather than the preponderance of scientific evidence.

17 I live on the Klamath and I can assure you the  
18 Clean Water Act beneficial uses are not being protected  
19 right now and have not been in recent years.

20 PacifiCorp's water quality certification  
21 application is based on a series of activities that will  
22 not mitigate water quality impairments. It is mostly  
23 activities being proposed that have already tried --  
24 been tried and failed and a lot of proposals for more  
25 studies, which are not a form of mitigation.

1 I'd request that you integrate your analysis  
2 with Oregon DEQ, because this problem can't be solved  
3 without addressing water quality problems coming from  
4 Oregon. And you can't protect California without fixing  
5 those problems.

6 And as you probably know, California --  
7 California is in the process of developing procedures to  
8 establish water quality cert- -- water quality standards  
9 for cultural -- tribal cultural beneficial uses. So  
10 depending on the timing of that process, it may impact  
11 what's happening here. It will probably set different  
12 standards, and I would ask that you commit to a  
13 timeline.

14 Earlier today, I think I heard one year to  
15 complete the EIS. That sounds reasonable. And I  
16 believe you have everything you need now to issue a  
17 water quality certification that's conditioned on dam  
18 removal.

19 And thank you again for all of your time.

20 (Applause.)

21 MR. WETZEL: Ryan Walker followed by  
22 Robert Walker.

23 MR. RYAN WALKER: Thank you. My is  
24 Ryan Walker, W A-L-K-E-R. I am a -- a Vice Chair on the  
25 Shasta Valley RCD. I'm also a rancher on Bogus Creek

1 which is the last creek-flowing tributary on the Klamath  
2 River comes in right below --

3 THE COURT REPORTER: Slow down, please.

4 MR. RYAN WALKER: Comes in right below Iron  
5 Gate right -- right at the fish hatchery.

6 And I have, I have to say, mixed feelings about  
7 what I hear this morning. I -- I know when I hear the  
8 proponents of dam removal -- Konrad right there -- I  
9 know they have a sincere belief that this is creating --  
10 or creates a better environmental position, both for the  
11 fish and for wildlife below the dams, maybe even above  
12 the dams. I hope he understands that we have a sincere  
13 belief also and -- and it's not simply ideology but, I  
14 mean, I think we do have a sincere belief.

15 But even -- even accepting that dam removal  
16 would improve the environment, even the most ardent  
17 proponent has to accept there's a -- a risk. There is a  
18 great risk. And we have a great amount of sediment  
19 behind those dams. We don't understand flows entirely.  
20 We don't understand the phosphorous coming down from  
21 Oregon entirely and how that will be mitigated without  
22 the dams.

23 These are all questions. Now, there's answers.  
24 And conduit [sic] is -- the Condit Dam is an example, a  
25 much smaller dam, much different sediment profile paths,

1 not the same phosphorous levels coming from up there,  
2 but there's questions, there's risks. And it's an  
3 enormous amount of the money that's going to be spent  
4 removing these dams. You can spend a much smaller  
5 amount of money in mitigation for things that we  
6 absolutely know are going to help environmental quality  
7 in the river.

8           We -- like I said, I'm the Vice Chair of the  
9 Shasta Valley RCD. We have projects lined up in the  
10 area under the -- under the TMDLs, under -- under --  
11 just by ranchers coming in, things they want to do.  
12 Repairing fencing, there's no money for. Piping ditches  
13 with warmer water, there's no money for. Putting in  
14 tail water projects would help water temperature,  
15 there's no money for. All sorts of things, roads that  
16 can be -- they can be decommissioned or changed, so  
17 they -- they don't have a sort of runoff. Upland work  
18 that helps flows, reducing the overgrowth of our forest  
19 and things like that. Money that has 100 percent  
20 return.

21           And I absolutely agree that mitigation doesn't  
22 count if it's just a plan. You can't give the -- the  
23 mitigation money to some government agency for plans and  
24 hope that's going to result in water quality  
25 improvement. We know that Siskiyou County has spent a

1 lot of money on the ground, concrete projects. We  
2 need -- they put the money in the hands of landowners  
3 that want to do good work, want to keep cows out of the  
4 water, want to deal with rock, want to deal with heated  
5 water -- elevated water -- tailwater temperatures, want  
6 to deal with -- with choked-off forks.

7 That's mitigation we know will help water  
8 quality. I -- I think -- I hope everyone in this room,  
9 you know, on both sides of the dam removal question can  
10 agree on that, and I would -- I would argue for putting  
11 that sort of mitigation into the project, the sort of  
12 mitigation that will go right to the ground, that can go  
13 right to landowners, not get lost in the government  
14 bureaucracy and deal with water quality without the  
15 risks associated with dam removal.

16 Thank you.

17 MR. WETZEL: Robert Walker with Bill Duval on  
18 deck.

19 MR. ROBERT WALKER: Robert Walker.

20 I got to tell you that last speech was really  
21 good, wasn't it, guys? I'm a rancher out at -- on a  
22 [inaudible] where we have our -- a ranch, the family  
23 ranch. Myself, my wife Carol over here, and Ryan, my  
24 son, and my two grandsons, we operate the ranch there.  
25 And I got to say it's been interesting listening to all

1 of you here, because you've got these big plans and you  
2 understand things a lot better than I do. And I'm here  
3 to play small ball, I'm afraid.

4 I'm here about a mitigation issue. Our ranch  
5 is located five miles below Copco 1 and Copco 2, dead  
6 south, and there are two transmission lines that run six  
7 miles through the -- bisecting our ranch north to south.  
8 That's the issue I want to get to, but I've got to give  
9 you a little background, I'm afraid, that -- to let you  
10 know why -- why it's going to be important to me.

11 Our 6,000 acres comprises a significant part of  
12 the Bogus Creek watershed, which is a very small  
13 watershed compared to Scott River, Shasta, and a lot of  
14 these others, but it has a unique position. It's a --  
15 one of the prime spawning grounds for salmon on the  
16 Klamath River.

17 There's a report -- the Fish and Game, you guys  
18 are -- where did my Fish and Game guy go? They're real  
19 good at it. They've come out with a lot of reports on  
20 this. They've come out with a report on Bogus Creek  
21 here. And if I wasn't so old -- but I did put a marker  
22 so I can find it anyway.

23 Here's what they have to say about Bogus Creek;  
24 Bogus Creek study is -- Bogus Creek is particularly  
25 important. It's a major salmon spawning tributary.

1 Despite its small size, for example, during the '96 to  
2 '98 spawning season, an average of 30 percent of the  
3 total number of actual adult spawners above the Trinity  
4 River are estimated to have been at Bogus Creek to  
5 spawn.

6 Now, that means that we've got -- above the  
7 Trinity, we have the Scott, we have the Shasta, we have  
8 24 more creeks. And out of all that together, Bogus  
9 watershed had 30 percent of the return. But it -- for a  
10 watershed that small, it's amazing.

11 I go there with the grandkids in August of  
12 that -- the last of October. In five big steps, I can  
13 go ahead and cross that creek. And, here, you got these  
14 30-pound, 40-pound salmon up there and they can barely  
15 get under the water, it's so shallow. But that little  
16 creek doesn't. Okay. So we had a lot of -- we had a  
17 lot of return on this thing.

18 It -- real -- us ranchers are real proud. The  
19 Foster family, they -- the ranch next to us, between the  
20 two ranches, we control about 70 percent of that  
21 watershed and we were real happy when we got this  
22 report. And then imagine our surprise and it is kind of  
23 unbelievable, perplexing to us, when the TMDL came out  
24 and it says the Klamath River and all its tributaries,  
25 including Bogus, were impaired for sediment and the

1 temperature. And, you know, we just didn't want to  
2 believe that.

3           So Ryan and I went to the Fish and Game and  
4 went to the -- the Water Board, the North Coast Regional  
5 Water Board, and said, "Hey, guys, we really don't  
6 understand what's going on here but, I tell you what, if  
7 we're doing something wrong, we want to find out what it  
8 is and how we can fix it."

9           And to their credit, they sent out three  
10 biologists. One man wore the -- his wet suit and  
11 snorkeled the creek every three days -- every three  
12 weeks during the summer of '09 checking for the -- how  
13 the Fry were doing and the conditions of the creek. The  
14 other two biologists were planted HOBO temp sets,  
15 temperature devices that take the temperature every hour  
16 for 24 hours, 24/7.

17           Please give me a little more time, would you?  
18 I appreciate it.

19           MR. RYAN WALKER: I went short.

20           MR. ROBERT WALKER: Anyway, they came out with  
21 the report. There we go. (Dropping papers.) I think I  
22 can remember most of what I want to say. Here's what  
23 the report came back on: In general, the riparian  
24 habitat for juvenile Coho salmon in the -- is in good  
25 condition. The riparian committee contains both mature

1 and young coniferous and deciduous trees --

2 THE COURT REPORTER: Slow down, please.

3 MR. ROBERT WALKER: I'm sorry. I'll take it  
4 slowly. She's rushing me here.

5 MALE ATTENDEE: Your time's up.

6 MS. RAGAZZI: It's a difficult balance.

7 MR. ROBERT WALKER: It is. You got to take  
8 into consideration an old man like me. Huh?

9 The cover of the creek is very good and  
10 approaches 100 percent of the tributaries of the creek.  
11 Juvenile Coho salmon were consistently observed using  
12 pools and slack water with woody cover in lower Bogus  
13 Creek and both locations in Cold Creek.

14 Okay. Just an aside for all you people.

15 MS. RAGAZZI: Thirty seconds, sir.

16 MR. ROBERT WALKER: All right. Hang on. I'm  
17 almost done. Almost done. Almost done.

18 These re- -- these reports -- scientific  
19 reports of -- of the TMDLs says we were impaired. We  
20 were doing a bad job, but we were given 30 percent of  
21 all the salmon in the -- the Klamath River here. And  
22 when their old scientists came here, they gave us  
23 glowing reports. So this is the sign that -- I'm making  
24 someone wait -- that the scientists, they -- they got to  
25 be looked at. They -- they're not necessarily right

1 just because they said they've been done.

2 But here's my point. There was one area they  
3 found out was deficient and it was roads. They said the  
4 roads were not up to standard; they could cause  
5 sedimentation because they haven't been constructed and  
6 engineered correctly.

7 Ninety percent of the roads on our property are  
8 the result of the roads Pacific Power built when they  
9 put in the two power lines across the ranch. When they  
10 were built 80, 90 years ago, and I'm not claiming to  
11 take power for this -- no one understood the -- that  
12 rogue methods of filling and how to prevent --  
13 I appreciate that. And I'll keep you busy so you don't  
14 bother me.

15 So what we think as a mitigation that would  
16 make sense -- and, again, this is small and I understand  
17 that -- thank you very much -- that, as part of the  
18 mitigation, we ought to have Pacific Power go in and  
19 rebuild the roads the way they should be up to Forest  
20 Service standards, and that would eliminate this  
21 sedimentation problem that may come about. And if the  
22 lamps and the power lines stay in commission, at least  
23 it's something we can do to make some progress on it.

24 Thank you.

25 MS. RAGAZZI: Thank you.

1           MR. WETZEL: Bill Duval with Jerry from SCWUA  
2 is on deck.

3           MR. DUVAL: My name is Bill Duval, D-U-V-A-L.

4           And one impact that nobody's really talked  
5 about is the impact on the citizens of this county.  
6 Those lakes are used for recreation like crazy all  
7 summer along, particularly Iron Gate. You can't even  
8 get a campsite there in the summertime. There are  
9 fishing tournaments, there are waterskiers, there are  
10 boaters of all kinds using those lakes.

11           The other impact is, if Copco Lake was to go  
12 away, property values there -- I've been a real estate  
13 appraiser here for 25 years -- the values there would  
14 probably go to near zero. It's a long drive to get out  
15 there and the only reason to live out there is the lake.  
16 If that lake went away, there would just be a devastated  
17 mud hole with a creek -- a small river running through  
18 the bottom of it. You couldn't sell one of those  
19 properties to anybody.

20           And the last thing I think is it's -- just  
21 given everybody's concern about carbon and all that  
22 stuff to tear out hydro power dams and replace it with  
23 burning something is just really dumb.

24           MS. RAGAZZI: Thank you.

25           MR. WETZEL: Jerry with SCWUA with

1 Sarah Schaefer on deck.

2 MR. BACIGALUPI: I didn't -- I didn't catch  
3 that, so sorry. Jerry Bacigalupi, spelled  
4 B-A-C-I-G-A-L-U-P-I. I'm also an engineer.

5 And, anyway, the -- the Klamath River --

6 FEMALE ATTENDEE: We can't hear you.

7 MR. BACIGALUPI: Okay. The Klamath River is  
8 the only upside-down drainage basin on the West Coast.  
9 It's got very poor, impaired water in the upper basin  
10 and -- which drains into California, but it improves as  
11 it reaches the coastline. And the salmon, basically,  
12 are a cold-water fish. Their habitat is within 30 miles  
13 of the ocean, you know, basically.

14 And so with that, I'd like to move downstream.  
15 And I have a booklet here I want to leave with you,  
16 which is the Siskiyou County Water Users Alternatives to  
17 Dam Removal. And they're positive alternatives, you  
18 know. Let's keep the dams and let's see what kind of  
19 mitigation we can do to improve the hydroelectric  
20 facilities.

21 And let me talk about the benefits of the dams.  
22 Number 1 is they provide about a 25 percent reduction in  
23 peak flow. And this is based on a 1964 flood hydrograph  
24 that I received from the Division of Water Rights.  
25 And -- and they -- they also will provide -- given a

1 complete shutoff of the Klamath River at the  
2 Oregon/California state line -- complete shutoff the  
3 Klamath River, they'll provide Fish and Game's minimum  
4 prescribed flows for a three-month period.

5           The dams, also, they provide electricity for  
6 70,000 homes, they provide for the fish hatchery.  
7 Without the dams, the fish hatchery goes. The fish  
8 hatchery gets its water from two levels, at a 20-foot  
9 level and a 70-foot level from Iron Gate. And it has a  
10 oxygenator that provides the -- the correct dissolved  
11 oxygen content to the fish hatchery. So without the  
12 dams, the fish hatchery goes.

13           And according to a former game warden, who  
14 studied the Klamath Basin, he stated that there's no way  
15 that the upper basin could ever come close to providing  
16 the fish that the fish hatchery provides. Six -- six  
17 million fish in fingerling fish it provides to the  
18 Klamath River.

19           So to -- to address the fish ladders, the fish  
20 ladder -- the Department of Interior has calculated that  
21 it's going to cost more to put in fish ladders than it  
22 will be to remove the dams, if you can believe that.

23           So Siskiyou County Water Users came up with a  
24 alternative, which is the tunnel bypass which is used in  
25 Bogus Creek which Bob Walker stated gets 30 percent of

1 the returning flow -- the returns of coho salmon. It's  
2 a 4.7-mile tunnel. It will bypass the three dams. The  
3 cost of it is at one-sixth the cost of the proposed fish  
4 ladders.

5 The other alternative that we proposed was the  
6 Klamath-Shasta transfer of water. And it was studied by  
7 the Department of Fish and Game in 2007. So what it  
8 would be doing is taking impaired water from the Klamath  
9 River and transferring it to the Shasta Valley. It  
10 would produce about 80 percent of the water demands of  
11 the Montague Irrigation District.

12 So what could happen in trade was, the proposal  
13 was to release water from the reservoir here in the  
14 valley or from the wells -- Montague Irrigation District  
15 wells to improve water quality in the Klamath River.  
16 And this was studied in 2007. It was done under the  
17 cooperation of the RCD and -- am I running out of time.

18 MS. RAGAZZI: You're out of time.

19 MR. BACIGALUPI: Anyway, that is --

20 MALE ATTENDEE: He can have my three minutes.

21 MR. BACIGALUPI: -- that is a positive aspect  
22 of being cooperative and doing a cooperative study to  
23 keep the dams.

24 And with this, we have not heard anything about  
25 this proposal going forward. The reason for it was

1 because it required keeping Iron Gate Dam.

2 So anyway, I'm going to leave this book with  
3 you and it's all up there.

4 And, also, I met with the Division of Dam  
5 Safety on the safety of these dams. They've been  
6 inspected and they're in good condition. So let's look  
7 for positive ways to keep the dams and to do mitigation  
8 to improve, you know, all aspects of water quality.

9 (Applause.)

10 MS. RAGAZZI: To anybody that I do cut off and  
11 would like to speak longer, at the end, you can come  
12 back up and make additional comments. We just want to  
13 give everybody an opportunity to speak within the time  
14 frame that was allotted. Thank you.

15 MR. WETZEL: Sarah Schaefer with  
16 William Simpson on deck.

17 MS. SCHAEFER: My name is Sarah Schaefer,  
18 S-C-H-A-E-F-E-R. I'm with the Quartz Valley Indian  
19 Reservation.

20 It's not easy getting up in front of here, you  
21 know. You guys are my neighbors. You're my friends.  
22 It's real difficult to hear, you know, nasty comments,  
23 and I'm just saying it's not easy. You know, I have a  
24 lot of rancher friends. They're some of my best friends  
25 but I don't agree. And I have to -- I have to say what

1 I have to say, you know. And we should be respecting  
2 each other anyway. So that's -- that's how part of this  
3 whole process is respecting each other.

4           Additionally, I work for the reservation. I  
5 don't see anybody getting rich off of these issues.  
6 Nobody. I've never heard anybody say, "I don't want the  
7 dams to come out because" -- or "I want the dams to come  
8 out because I want to get rich. I'm going to get rich  
9 off of this." No, I've never heard anybody say anything  
10 like that, you know, and I know the ranchers aren't  
11 getting rich off of anything right now either. So we  
12 should really be working together and try to figure this  
13 water quality situation out.

14           So water flowing -- I'm really nervous. Water  
15 flowing into the res- -- into the reservoirs is already  
16 polluted. We already know that. That's been addressed  
17 a few times. These rivers are upside-down and polluted  
18 at the headwaters, not at the bottom.

19           So if -- water quality issues aren't going to  
20 be addressed by just merely removing the dams. We've  
21 got to look out -- the farming practices that are going  
22 on. They're listed for nutrients. Nutrients sounds  
23 like a good thing, but it's not when it's in our rivers.  
24 They're listed for aluminum. It's listed for mercury.  
25 It's listed for microcystins, toxic algaes that are

1 coming in. And people are saying, "Now, there's --  
2 there's no issue with it now. It's not a health and  
3 safety issue," but it actually is a health and safety  
4 issue. It is a problem for fish even though fish do  
5 have incredible livers. They have strong livers that  
6 can deal with a lot of this stuff.

7 But what's starting to happen now is that  
8 adenovirus, which is a virus that lot of the deer in the  
9 county are dealing with right now, and the deer are  
10 congregating to different water sources. But when they  
11 congregate in the summer when there's not a lot of water  
12 around, they're going to the -- these reservoirs and  
13 drinking the water. And there has been confirmed deaths  
14 from deer confirmed by the state by the Department of  
15 Fish and Wildlife from ingestion of microcystin.

16 We already know that dogs have died from this.  
17 We have -- it's not been studied very much. We don't  
18 know what kind of impacts this will have on human health  
19 as well. So, personally, you know, I support removal  
20 after all four dams and those diversions in the Fall  
21 Creek watershed, which I think has been proposed as  
22 well.

23 But more importantly, we're going to be  
24 submitting written comments that will be a lot more  
25 flowing than what I was able to say tonight. But I -- I

1 hope that we can all be patient with each other and  
2 listen to each other and try to work on these issues  
3 together without being too judgmental and attacking each  
4 other because, I don't know, if somebody's getting rich  
5 off this, let me know. I -- I don't know of anyone. I  
6 don't know anyone.

7 MS. RAGAZZI: Thank you.

8 (Applause.)

9 MR. WETZEL: William Simpson followed by  
10 Larry Bell.

11 MR. SIMPSON: Hi, my name is William Simpson.  
12 I'm a resident of Siskiyou County and I live on Iron  
13 Gate Lake.

14 First of all, I'd like to say that there was  
15 logic when the dams were put in. There was a reason  
16 those dams were put in. And I'm going to look at this.  
17 There's a lot of the people in the room, myself  
18 included, who have -- probably need a glossary to keep  
19 track of all the acronyms that you guys like to use and  
20 reams of legal documents and paragraphs and so on and so  
21 forth. And I went to Oregon State for four years to be  
22 a doctor. I was in premed.

23 But, anyway, the point I'm making here was  
24 there was logic in place when dams were built. I don't  
25 think the logic has changed. When I look at the dams

1 today and I see them several hours a day every day for  
2 the last two years, I live on the lake, Iron Gate Lake,  
3 and I can tell you that, first of all, there's a benthic  
4 algae that lives in that lake. It's endemic to all the  
5 waters. It's not some new, invasive species.

6           It's found in Klamath -- well, Upper Klamath  
7 Lake, Klamath Lake, all the way down. Those little  
8 algas, what happens is, as they fix -- they're  
9 nitrogen-fixing and phosphorous-fixing algas as they  
10 com- -- as they fix those minerals out of the water, the  
11 freeform nitrates, they -- and the sun and the amount of  
12 solar insolation they get, their little air bladder  
13 expands and they float up.

14           They are always in the lake. People go "oh,  
15 look at all that algae" in the summer. But, really, the  
16 only reason they're on the top is because their little  
17 air bladders expand because they're metabolizing a lot  
18 of nitrogen and phosphorous. So they're there. You  
19 just don't see 'em in the winter. And we see this  
20 through the seasons up there.

21           If those little algas weren't mitigating the  
22 amounts of nitrates and phosphates coming down that  
23 river, the water going out of the dam would not be very  
24 nice. And that's just -- that's just a fact.

25           The other thing is is somebody was talking

1 about the deer. Okay. I live there. I look at the  
2 deer out my window. There are no sick deer from  
3 drinking out of the -- out of the lake. That's --  
4 that's not true.

5           There's a lot of birds on that lake. There's a  
6 lot of species of animals that have made a habitat  
7 because of those lakes. And it's also a stopover for a  
8 lot of flyway birds that are going north and south. So  
9 if those lakes go away, all of that stuff dries up. You  
10 have an incredibly beautiful and important habitat is  
11 now gone suddenly.

12           And -- and, of course, then there's all the  
13 other things about water control. We just had a lot of  
14 snow. A lot of people don't know this, but when it  
15 rained after that heavy snow, they had enough back- --  
16 backlog in the lake to let it come up about eight feet.  
17 Now, that saved a lot of flooding downriver. A lot of  
18 people don't know this. I drive up and down. I live  
19 there.

20           The river was on its banks all the way up. And  
21 the lake absorbed that.

22           So, you know, there's a lot of benefits to  
23 those dams that will disappear, not to mention the  
24 sediment. Sediment up there is like a bentonite clay.  
25 It's firewalling a lot of those anthropogenic pollutions

1 on the bottom in between layers of clay.

2 If you guys open that up and we get, you know,  
3 a million tons of clay coming down the river, you can  
4 just forget the fish beds. They'll be covered with the  
5 equivalent of bentonite clay, and they won't recover for  
6 maybe a decade or so.

7 So there's a lot of things that the -- the KBRA  
8 and things that -- studies that I've looked at. And,  
9 you know, fairly cursory -- compared to some of the  
10 people in this room, I've kind of glanced over it --  
11 that you're not considering all the very important  
12 facts.

13 You know, the logic here is being missed. And  
14 these dams are very important. Seventy-eight percent of  
15 the county voted to keep the dams. Will this body no  
16 longer respect the will of the American people? That's  
17 the question.

18 (Applause.)

19 MR. WETZEL: Larry Bell followed by  
20 Alex Watts-Tobin.

21 MR. BELL: I'm Larry Bell, and I'd just like to  
22 say that I agree with these ranchers that live up by  
23 Copco Lake and I think the dams should be left in. I  
24 think if you took the -- we took a vote in Siskiyou  
25 County on the dams to stay in or go out and it was by

1 over majority, even the Tulelake Basin, they wanted to  
2 leave the dams in. And we're the local people and we  
3 live around them. We know more of what's going on than  
4 the average people in San Francisco and LA.

5 Thank you.

6 (Applause.)

7 MR. WETZEL: Alex followed by Thomas Hotaling.

8 MR. WATTS-TOBIN: My name is Alex Watts-Tobin,  
9 A-L-E-X and W-A-T-T-S, hyphen, T-O-B-I-N.

10 I work for the Karuk tribe, and I proudly serve  
11 as the tribal historic preservation officer.

12 And it is a little bit difficult to hear the --  
13 the statement that the tribes do not care about fish,  
14 because the fish are essential to the tribe's life and  
15 not just this tribe but the Shasta, of course, the --  
16 the three downstream tribes that have been mentioned.

17 The scientific studies have been done for about  
18 ten years. There's a good reason why the relicensing  
19 wasn't pursued. The 50-year license wasn't pursued ten  
20 years ago. There is a certain amount of cherry-picking  
21 of the science going on here.

22 I also -- besides the -- the environmental  
23 concerns, I think, have been pretty well established. I  
24 want to bring up that there is also a body of historic  
25 property law and -- and studies have been done about the

1 cultural real estate of the Klamath River.

2           There are -- the Karuk people have been in --  
3 around Yreka for 150 years, because they were removed.  
4 Some of them were moved here, but they've been  
5 downriver. And I live and work in Orleans, 120 miles  
6 downriver. They've been living there for thousands of  
7 years. And there's a good reason -- there's a reason  
8 why, in the last couple of generations, that essential,  
9 important tribal centers have been damaged by erosion  
10 from unnatural flows from the Klamath River. This has  
11 been linked to the -- the four dams and this -- these --  
12 these studies are being done by the best people in the  
13 business.

14           And I just want to say that this is not just  
15 an -- not just a matter of the tribe. I come up here  
16 for work in Yreka quite a lot as I did today. And all  
17 the communities around here do depend on the river. And  
18 everybody has eyes and everybody could see that the  
19 quality of the river downstream is not very good. There  
20 are various reasons for it, but the salmon are sick and  
21 the quality of the river is bad. And dam removal has  
22 been established for a long time as the best way of  
23 addressing that.

24           Thank you very much.

25           MS. RAGAZZI: Thank you.

1 (Applause.)

2 MR. WETZEL: Thomas Hotaling followed by  
3 Don Meamber.

4 MR. HOTALING: My name is Thomas Hotaling,  
5 H-O-T-A-L-I-N G.

6 I come from Salmon River. Salmon River is a  
7 unique place here in Klamath where people come to go  
8 swimming in the summer, because they cannot swim in the  
9 Klamath River. Children can't go swimming in the  
10 Klamath River. Dogs can't swim in the Klamath River.  
11 People can't eat fish in the Klamath River.

12 The Salmon River is where the spring-run salmon  
13 still exist. Spring-run salmon were once the largest  
14 run of fish in the Klamath Basin. They are fish that  
15 would have gone up into Upper Klamath Lake and gone into  
16 the tributaries up there. They come in earlier and they  
17 can go up further in the watershed.

18 Spring-run salmon no longer can survive in  
19 Klamath because of water quality and loss of habitat.  
20 Upper Klamath Basin is where spring-run Chinook belong,  
21 and fish ladders will not solve the fish disease  
22 epidemic. A fish ladder where sick fish swim up the  
23 river and dead fish float down is not a solution.

24 Every summer, juvenile salmon are dying, and  
25 sampling can -- shows that 100 percent disease rates are

1 found in Klamath River. Adult salmon encounter fatal  
2 outbreaks of disease when they reenter the Klamath  
3 River.

4           Every year, the situation gets worse and, every  
5 year, emergency water releases are required from the  
6 Trinity where the release is actually cold water coming  
7 in, unlike the Klamath River dams. There is no water to  
8 spare and things -- the long-term weather patterns are  
9 not favorable. Every year is another water quality  
10 crisis.

11           The Upper Klamath Basin was a natural water  
12 storage facility before the dams. The lakes and  
13 wetlands fed the river with cold groundwater every year  
14 year round. Dams surround the river with warm, toxic  
15 water, and disease.

16           Every year, the tribes prepare for a fish kill  
17 to see the river littered with salmon dead from disease.  
18 Every year, the planet is getting warmer. Every year  
19 the dams are relicensed, tribal culture is neglected and  
20 the river is diseased.

21           Please consider spring-run Chinook salmon and  
22 its impacts on tribal culture and fish harvest.

23           Thank you.

24           (Applause.)

25           MR. WETZEL: Don, next followed by

1 Nathaniel Pennington.

2 MS. RAGAZZI: State your name and spell it.

3 MR. MEAMBER: My name is Don Meamber. That's  
4 M-E-A-M-B-E-R.

5 What I wanted to talk about is -- it's --  
6 basically, has been touched on before, I want to  
7 reemphasize it -- the water in and the water out through  
8 the project area, because the -- the project dam water  
9 is not a good quality. It's not the power company's  
10 fault. It's the bad water coming in. I never hear  
11 about removing Trinity or Shasta Lake because of poor  
12 water quality. Shasta Lake is a huge lake. Why is that  
13 not right? Why do they not have trouble there? Because  
14 there's good water coming in.

15 And it -- the states of Oregon and  
16 Washington -- Oregon and California, if they are  
17 concerned about the water quality, they should be  
18 looking upstream. I don't know if there's anything you  
19 can do about it. Maybe it's just the way it is.

20 And Glen Spain mentioned earlier about, well,  
21 maybe Keno may be next. Well, if Keno's going to be  
22 next, then Link River may be after that because I'm  
23 pretty sure Keno is -- is -- is used for irrigation as  
24 Link River has stored more water. And I don't think  
25 either one of them have very good -- have very minimal

1 usage for hydroelectric power. It's -- it's strictly  
2 irrigation diversion-type dams.

3 And if you take out Link River next, then we're  
4 going to really see some floods down the river, because  
5 there's the -- there's the real storage to keep water  
6 back to prevent floods and will also produce as -- it  
7 irrigates all of the Upper Basin as -- through those two  
8 dams.

9 So that's all I have to say.

10 MS. RAGAZZI: Thank you.

11 (Applause.)

12 MR. WETZEL: Nathaniel is next with Joe Watkins  
13 on deck.

14 MR. PENNINGTON: Hello. Nathaniel Pennington,  
15 N-A-T-H-A-N-I-E-L, P-E-N-N-I-N-G-T-O-N. I would like to  
16 thank you guys for the opportunity to hear some  
17 testimony.

18 In response to the last comment, I'm pretty  
19 sure that no one's proposing to remove Link River Dam,  
20 just the four dams on the -- on the Lower Klamath, the  
21 hydroelectric project.

22 I've been -- I've lived on the Klamath River  
23 for over 20 years now, been a fisheries researcher. I  
24 currently own a white-water rafting company in the -- in  
25 the Mid Klamath area.

1           According to the National Research Council and  
2 the National Academy of Sciences, at times, there were  
3 hundreds of thousands of spring chinook salmon, most of  
4 'em going to the Upper Klamath Basin, many of them  
5 traveling even through Upper Klamath Lake and definitely  
6 above the -- the dam in the Klamath.

7           Currently, there's only around 700 spring  
8 chinook that return to the -- to the Klamath Basin. At  
9 least on the Klamath side, most of them end up in the  
10 Salmon River, which my colleague Tom had mentioned  
11 earlier.

12           And as far as the fall chinook, I heard a  
13 speaker mention Bogus Creek and -- in the Klamath,  
14 there's a -- governed by the Magnuson-Stevens Act which  
15 requires, I believe, it's 33,000 fall chinook should  
16 return to the Klamath every year or it sets off bells  
17 and whistles and shuts down the entire fishing industry  
18 off the coast of California and Oregon.

19           And what happens in Bogus Creek is that there's  
20 the -- the dam is right there, and then there's the  
21 hatchery. And so Bogus Creek really is all the hatchery  
22 fish that, once they close the hatchery, they all just  
23 head up in there, so they're not really naturally  
24 spawning fish. They're mostly fish that are excess from  
25 the hatchery. And those fish are -- are what's counted

1 towards that minimum number of fall chinook that we're  
2 supposed to get to make sure that the run stays alive  
3 and which is kind of bogus, which is kind of ironic.

4 But, anyways, the -- the -- the water quality  
5 impacts that the hydroelectric project and the fact that  
6 there's no real feasible way to have fish passage around  
7 them is one of the -- the main reasons why I would  
8 encourage you to require full dam removal on the  
9 Klamath. We've lost most of our salmon in the Lower  
10 Basin. It was once a very robust economy.

11 My daughter was born locally on the Klamath in  
12 Fort Jones. When she was young, you know, I would take  
13 her on the Klamath and we would fish and go in the boat.  
14 And now, when you go down to the Klamath River, you see  
15 these signs that say, you know, "health advisory, stay  
16 off the river," and it's not very good for the economy.

17 The dams, contrary to what a lot of folks are  
18 saying, they're not flood control dams. They're not  
19 water storage dams. Like, the biggest flood in the  
20 Klamath happened in 1964, which was the year after they  
21 were completed. They block 50 percent of salmon  
22 habitat. And the Iron Gate doesn't really mitigate for  
23 the loss of spring chinook because, in the '60s when the  
24 dams were built, they attempted to raise spring chinook  
25 but the water from the dams was too hot and they all

1 died.

2           So, anyways, I know a bunch of folks here are  
3 probably proponents of property rights. Well, I know  
4 that the dams are owned by Pacific Power, PacifiCorp,  
5 and I believe that they signed the Klamath Hydropower  
6 Settlement Agreement, which says all dams would be  
7 removed. So I encourage people to support their right  
8 to decide what they want to do with their own property.

9           Thank you.

10           MR. WETZEL: Joe Watkins followed by  
11 John Menke.

12           MR. WATKINS: I'm Joe Watkins, W-A-T-K-I-N-S.  
13 I'm from Merrill, Oregon.

14           I'm down here with some concerns about dam  
15 removal, how they will affect our area and the water  
16 supply in our area. There's 150- to 200,000 acre feet  
17 of water storage in the -- in the dams down here. If  
18 they are removed, I'm afraid that that water will have  
19 to come from the upper basin.

20           Right now, in the upper basin, there's a severe  
21 water shortage project. The Klamath Bureau of  
22 Reclamation Project Irrigators aren't dealing with  
23 dry -- with water restrictions every year. We cannot  
24 afford any more water from the upper basin to supplement  
25 flows downstream for fish. We're already being asked to

1 give so much that the impact is in the millions of  
2 dollars to the agricultural industry up there.

3           And if you're thinking that you're going to get  
4 better water quality out of the upper basin, millions of  
5 dollars have been invested by U.S. Fish and Wildlife  
6 Service, OWEB, NRCS, and National Fish and Wildlife  
7 Foundation on restoration efforts to improve the water  
8 quality to Klamath Lake.

9           There was a recent study done by USGS on the  
10 suckers that are endangered in Klamath Lake, and it  
11 shows a population decrease from 50 -- 50 to 80 percent  
12 in the years between 2001 and 2011. And we're not sure,  
13 it's either management strategy because of the water  
14 management they're doing or the water quality isn't --  
15 isn't good enough. But their strategy isn't working and  
16 it's -- and it's having a huge negative effect on the  
17 agricultural industry up there.

18           No settlement measures should be implemented.  
19 As far as the -- the restoration settlement agreements,  
20 they're not supported up in our area. They're not  
21 supported down here. They're not supported by the  
22 Siskiyou County voters or -- and the Klamath County  
23 commissioners. And they don't have -- do not have  
24 congressional support, so I don't -- do not believe that  
25 any of those should be implemented.

1           As to some of the other remarks that have been  
2 made here referring to Keno Dam and Klamath Lake, they  
3 were just in Reeves [phonetic] on Keno where Keno Dam  
4 has been placed now and water levels are not being held  
5 any higher than historical levels for irrigation. And  
6 Klamath Lake, the dam on it replaced an existing --  
7 existing reef, and I believe it's being held a little  
8 bit higher.

9           So -- but my -- my key point is the effects  
10 that it could have on the agriculture in the upper basin  
11 by requiring more water down here due to dam removal.

12           Thank you.

13           (Applause.)

14           MR. WETZEL: Thank you. John Menke followed by  
15 Betty Hall.

16           MR. MENKE: My name is John Menke, M-E-N-K-E.  
17 I'm a retired professor of agronomy and rain science,  
18 most recently at University-California Davis; previous  
19 to that, University of California at Berkeley.

20           I've been up here 23 years now. I have  
21 followed every single meeting revolving around the dam  
22 removal. And, actually, I'm appalled to see where our  
23 society has gone in NEPA and CEQA.

24           Having untrained, scientific-based meetings  
25 like this is really a waste of time, I'm sad to say.

1 It -- it -- the reports are available to you and the  
2 studies have been done. Many of them are corrupted  
3 studies, and it's a real sad state of affairs.

4 Dr. Peter Moyle and Dr. Jeff Mount, who I'm  
5 sure you know; they are champions of the delta smelt in  
6 the bay delta. They're colleagues of mine. They both  
7 have written to Fish and Wildlife Service and, I think,  
8 USGS of -- of the bioremediation benefits of the dams.  
9 Slowing the rate of passage of water by dams provides  
10 blue-green algae an opportunity to sequester the -- the  
11 high natural phosphorous that comes down from the  
12 Klamath River watershed.

13 As was said earlier by Jerry Bacigalupi, this  
14 is truly a unique watershed. I know of no other  
15 watershed in the world that has a high phosphorous level  
16 that is purely natural. The appetite mineral in the  
17 rocks and the soils is what causes this system to be  
18 hypereutrophic much of the year.

19 The blue-green algae is the ideal species  
20 complex for sequestering phosphorous. In fact, even  
21 Dennis Lynch has a paper from USGS talking about the  
22 mechanism by which blue-green algae cells regulate their  
23 location in these shallow lakes by moving up and down by  
24 changing the vacuole size; that is the air pocket inside  
25 the cell to either make them float to the surface or

1 sink to the bottom. They go to the bottom to get the  
2 "P," that's phosphorous. And they go to the surface to  
3 get the nitrogen.

4           The unfortunate thing about them is they do  
5 have some disease relationships. But to tell you the  
6 truth, I have a ranch now for 23 years here and know  
7 something about blue-green algae problems in the Great  
8 Plains and other areas where cattle get their water from  
9 stock ponds. We never get to have a high enough  
10 blue-green algae level in these lakes to be at issue of  
11 disease. That's a complete hoax.

12           Now -- now, as far as -- I mentioned  
13 Steve Kaffka earlier, the person who did the study on  
14 the Tulelake Irrigation District, he calls the North  
15 Coast Water Quality Control Board TMDL "not rationale."  
16 The hopes of those writers of that document with no  
17 training, other than Brian McFadden who has an  
18 engineering degree, is a complete impossibility. The  
19 water quality will never be clean in this river system.

20           Now, the vast majority of the 21 million cubic  
21 yards of sediment is really not sediment. It's dead  
22 blue-green algae cells. This is a tremendous biofuel  
23 resource that could allow, also, production of  
24 phosphorous fertilizer. So that amount of material has  
25 to be dealt with before these dams would ever be

1 removed.

2 I have a few other important comments here to  
3 say and I will be as quickly as I can here. That's all  
4 been studied by the expert science panel.

5 Blair Greimann out of Denver did all kinds, even pot  
6 studies in greenhouses with the algomuck that he  
7 collected off the bottoms of the reservoirs. So all  
8 that is well published.

9 But I'll have a couple of other things to say  
10 about the fish. Several years ago, the federal  
11 government asked the Lower Basin Indian tribes "Could  
12 you take 120,000 this year?"

13 They say "No, we could only handle 70,000." It  
14 is a complete hoax. We've been having record salmon  
15 runs on the Klamath River in recent years. That  
16 Mike Coopman, the best guide on the Klamath, who I  
17 fished with only one time but I know of him very, very  
18 well, has been seeing more salmon coming to the estuary  
19 than he's ever seen in his whole career of fishing the  
20 Klamath River.

21 The last item I have to say is Russ Bowlus who  
22 works for the division -- Department of Water Resources  
23 for State of California Division of Safety and Dams  
24 said -- as Jerry Bacigalupi said, the other engineer  
25 here in the room, said, "The dams are in as good a shape

1 today as the day they were built."

2 And, in fact, on Copco 1 and Copco 2, they did  
3 not have rebar in those times and they used railroad  
4 rails. According to Russ Bowlus, he says they could  
5 take a direct hit by a bomb and not go out. So  
6 that's -- that's your own Department of Water Resource  
7 Division of Safety and Dams.

8 So the other item I want to just mention  
9 briefly is I'm very tired of Fish and Game, or now Fish  
10 and Wildlife, continuing to maxillary clip all the coho  
11 salmon. That is a crime. That is a listed species.  
12 And they're cutting off -- off half the upper jawbone of  
13 the fish at Iron Gate be- -- of the juveniles before  
14 they let them go. And they're doing the same thing to  
15 steelhead and they're also doing that at Lewiston.

16 This is a crime. And California Department of  
17 Fish and Wildlife employees or the people that run that  
18 policy need to go to jail, because that is a listed  
19 species. I want this organization here to deal with the  
20 issue -- issue of maiming all the juvenile fish that are  
21 being used as a device to NEPA and CEQA --

22 MS. RAGAZZI: It's time --

23 MR. MENKE: -- to get dams out. I'll give you  
24 more comments by written form.

25 Thank you.

1 MR. WETZEL: Thank you.

2 (Applause.)

3 MR. WETZEL: Looks like we have four more  
4 speaker cards here and we're a little over. So  
5 Betty Hall is next with Tom Pease on deck.

6 MS. HALL: I'm Betty Hall from Shasta Nation.

7 And I totally agree with everyone that spoke  
8 about keeping the dams in. I think they're serving a  
9 good purpose. You've heard all their reasons, which are  
10 good, but nobody mentioned all the Shasta Nation burial  
11 grounds and village sites, sacred sites,  
12 vigiquest [phonetic] sites up and down the river.  
13 There's hundreds of 'em.

14 The Shasta Homeland is from Lake Ewauna clear  
15 to Clear Creek on the Klamath River, which is a few  
16 miles below Happy Camp. That's all Shasta Indian lands,  
17 and that's all our people buried along that river and  
18 the villages there. And if the dams come out, they're  
19 going to be washed out. There are village sites under  
20 the water, yes. There wasn't anything we could do to  
21 protect the sites when the dams went in, but at least  
22 they're not being dug up now.

23 But PacifiCorp has done ex- -- has paid for  
24 extensive studies by archaeologists. Do you know those  
25 books? There's two big books and the maps and

1 everything of these village sites where all the  
2 different archeologists have worked and studied Shasta  
3 Nation.

4           We have those books and, by law, signed by our  
5 governor, they must be protected. You must work with  
6 us, but people want to ignore the Shasta Nation. They  
7 tell us we're not federally recognized. That has  
8 nothing to do with it. We are a sovereign nation, and  
9 it is written that you must recognize us and work with  
10 us.

11           And I have about 13 pages or 12 pages that I  
12 wrote a while back about the fish and the people on that  
13 river. Not one item in that paper can be refuted. It's  
14 been thoroughly researched and researched.

15           And I know some people made comments that we  
16 don't know what we're talking about or some of the other  
17 people here voting to keep the dams in don't know what  
18 they're talking about but they do. And you need to  
19 listen to us, all of us.

20           I'll turn this paper in. And every item there,  
21 you need to consider.

22           (Applause.)

23           MR. WETZEL: Thank you.

24           MS. HALL: One more statement.

25           I usually don't say this, but I do have an

1 extensive library on Native American research and not  
2 just local but for all over and North American, Central  
3 America, South America, Native peoples around the world.  
4 And some students have come from universities and done  
5 research in my library. They've come from San Francisco  
6 State, UC Los Angeles, Southern Oregon, Chico, you name  
7 it, a number of them. And somebody told, I guess,  
8 because I started getting phone calls from Cambridge of  
9 Who's Who of America. And they have recognized me as a  
10 historian. So you can take this document and you can  
11 quote from it and use it.

12 (Applause.)

13 MR. WETZEL: Tom Pease is next followed by  
14 Tim Hayden.

15 MR. PEASE: Good evening. My name is  
16 Tom Pease, P-E-A-S-E, born and raised in Weed. I'm a  
17 native of Siskiyou County, lived there all my life.

18 A couple of things that I haven't heard  
19 mentioned and haven't -- what -- what I would insist  
20 upon knowing is that, if you want take the dams out, so  
21 be it. I'm not in favor of that. It's going to be --  
22 because you need to go back and check the water flows in  
23 the Klamath River from at least 1850 to current times.  
24 There are times that that river's been dry. There's  
25 documents when there's not been enough water in there

1 to -- you could step across.

2 And I'm 69 years old, and that was during my  
3 time before the dams. So think about that.

4 Everybody's worried about all the salmon. Now,  
5 you start up and there's Bogus Creek, there's Shasta  
6 River, there's the Scott River, there's the Salmon  
7 River, and there's the Trinity River that start below  
8 the dams. It has that -- they accumulate water. The  
9 fish -- the -- the salmon could get as far -- in a dry  
10 year, as far as maybe 20, 25 miles into the river system  
11 on the Klamath.

12 Okay. When the water -- you just heard a  
13 gentleman talk about the Upper Klamath Basin. The Upper  
14 Klamath Basin is hurting for water. They can't -- they  
15 do not have enough water, steady water to keep the  
16 Klamath River flowing to sustain fish, let alone flush  
17 out 23 million cubic yards of sediment that's sitting in  
18 the bottom of just Iron Gate itself.

19 Now, see, none of those things -- it's really  
20 cute. Take the dams out, take everything else out and  
21 then stand there. And then you're going to ask: Where  
22 you gonna get the water to flush it? Where are you  
23 going to get the water to stay in the river?

24 Thank you.

25 MR. WETZEL: Tim Hayden followed by

1 Thomas Willson.

2 MR. HAYDEN: Thank you. My name is Tim Hayden,  
3 H-A-Y-D-E-N. I'm the natural resources division lead  
4 for the Yurok tribe, trained as a fisheries biologist.

5 And I just want to say -- I want to thank the  
6 board for having these public meetings. I've attended  
7 several the last few days, and I just want to say I've  
8 heard a lot of opinions and a lot of different  
9 viewpoints, but I think it's really good that the  
10 public, despite your perspective for dam removal or not,  
11 that you provide this information. And I really want to  
12 say thank you for the opportunity to give comments. And  
13 I really believe that this is a good process.

14 The Yurok tribe support the 401 certification  
15 board's efforts and supports this process. The Yurok  
16 tribe, we just want to say we're committed to dam  
17 removal. We're going to work with the board to support  
18 this process and to provide technical info- --  
19 information and expertise. We're ready and willing to  
20 work with our partners shar- -- and work, you know, to  
21 support this process. But I think we're also willing  
22 and able to work with other stakeholders as well to look  
23 for other solutions.

24 But at this time, we think that this is the --  
25 the -- the best process to move forward. It's timely.

1 And it's been several years of delays and we think this  
2 is the time for this process to move forward.

3 So with that said, we'll be providing written  
4 comments by the deadline, and we look forward to working  
5 with the board.

6 Thank you.

7 MR. WETZEL: Thank you. Thomas Willson  
8 followed by Dana Rose Colegrove.

9 MR. WILLSON: Thomas Willson, W-I-L-L-S-O-N.  
10 I'm just hear to talk for things that can't speak for  
11 themselves.

12 I'm a Yurok tribal member. I'm a councilman  
13 for the Yurok tribe and I'm -- I'm also a traditional  
14 fisherman.

15 And I've been looking at our -- our fishery for  
16 the last couple decades how, a long time ago when I was  
17 a kid, we didn't have no gill rot in our -- in our -- in  
18 our adult fish coming in. Now, we're getting gill rot  
19 and sores on 'em.

20 And we never had this stuff called "blue-green  
21 algae" when we were -- when I was a kid. I don't know  
22 where that came from. I don't know if some of 'em out  
23 there are going to do an experiment up here to grow  
24 blue-green algae and put it in pills or what.

25 But we got to look for our next generations.

1 We can't look to make that dollar bill -- we can't put  
2 that dollar bill on a plate and salt and pepper the heck  
3 out of it. It's never going to taste any better.

4 If we don't take care of our resources, it's  
5 going to hurt you guys, it's going to hurt us, it's  
6 going to hurt everybody. And this -- it will go all the  
7 way. What happens? We've done nothing. We're going to  
8 be starving to death. And we got to take care of our  
9 resources.

10 And them dams, you say the clean water -- the  
11 cleaner water coming through 'em once you get through  
12 'em, well, I can't see that. They're like a mud puddle.  
13 There's not no flood -- flood mitigation, because they  
14 don't -- they don't hold enough water to be a flood  
15 mitigation. Whatever's coming into 'em has got to go  
16 out of 'em, because there ain't no -- no storage there.

17 And I guess that's about all I got to say.

18 MR. WETZEL: Thank you.

19 (Applause.)

20 MR. WETZEL: Dana.

21 MS. COLEGROVE: I'm Dana Colegrove,  
22 C-O-L-E-G-R-O-V-E. And I'd also like to thank you guys  
23 for being the whipping boys in the room today or for the  
24 last few days. You guys all do a good job.

25 Basically, I never thought I'd say this, but

1 I'm looking forward to working with PacifiCorp and the  
2 KHSA for dam removal. I know that's in your guys' best  
3 interest and it's probably in the best interest of the  
4 State of California but we don't realize it yet up here.

5 So by undamming the Klamath, you're gonna --  
6 you're gonna have places with fish passage. We're going  
7 to have places with fish in the river. And, hopefully,  
8 we'll have twice as much water, clean water. Somewhere  
9 along the line's, something's got to give.

10 And the State of Oregon has to realize that  
11 that water rolls down here, too, and it needs to be  
12 clean when it comes here, so I'm hoping you guys are  
13 going to be working with the Water Board in Oregon and  
14 I'm sure you are.

15 Also, I am a tribal member, too, down there.  
16 And we still eat out of the river. We still fish out of  
17 the river. We eat a number of -- we eat eels. We eat  
18 salmon. We eat sturgeon. We eat the mussels. And,  
19 like one of these people said -- or maybe it was in  
20 Orleans, but toxic water going into the ocean is not  
21 good for the ocean. It's killing the ocean, too.

22 And someplace along the line, I think it's --  
23 the water's contaminated here in Siskiyou County,  
24 because you guys all have a -- I wouldn't even know how  
25 to explain it. You guys need to open your eyes. I know

1 we're all getting older. We're all been here for ten  
2 years. Most of you guys have been here in this room  
3 over and over.

4 You should think about the best interest of  
5 your grandchildren and your children's grandchildren,  
6 because we're looking at the next seven generations.  
7 What are you guys looking at? What are you preserving.

8 Thank you.

9 MR. WETZEL: Thank you guys very much. I  
10 really appreciate all the comments here tonight. Is  
11 there any other comments that people would like to make?

12 MALE ATTENDEE: Come up?

13 MS. RAGAZZI: Yes.

14 MALE ATTENDEE: Real quick, sir, if we send an  
15 e-mail, do we get a confirmation e-mail from you saying  
16 you do receive it?

17 MS. RAGAZZI: Yes, I believe there's an  
18 automatic e-mail that comes back saying it was received.

19 MALE ATTENDEE: Okay. Thank you.

20 MS. RAGAZZI: If not, let us know and we'll be  
21 more than happy to do so.

22 MALE ATTENDEE: Thank you.

23 MR. LIVINGSTON: John Livingston, J-O-H-N,  
24 L-I-V-I-N-G-S-T-O-N.

25 One item I forgot, the -- the power generated

1 by these dams, which is really the -- the whole reason  
2 we're here. The whole cause of this action is the  
3 power, a FERC relicensing. The owner of the dams has  
4 said we don't really need that power. It is not a lot  
5 of power. We could build a small solar farm. They are  
6 being built like crazy in -- around the United States,  
7 and we could replace that power. So I -- I think that  
8 the EIR should identify methods for replacing the power.

9 MR. WETZEL: Thank you very much.

10 Yes, sir.

11 DR. GIERAK: Dr. Gierak, G-I-E-R-A-K.

12 Just one final comment. First of all, all of  
13 this whole hullabaloo has been over coho salmon.  
14 However, the research has shown that they're not even  
15 native to the Klamath Basin. They're from Cascadia,  
16 Oregon. And under the Federal Endangered Species Act,  
17 you can't even list them as endangered because they're  
18 not a native species.

19 Thank you.

20 MR. WETZEL: Thank you very much.

21 (Applause.)

22 MR. KOBSEFF: Michael Kobseff, K-O-B-S-E-F-F,  
23 Siskiyou County Board of Supervisors, District 3.

24 And forgive me, I didn't get here earlier  
25 enough. Is there a board member here from the State

1 Water Board Resources Control Board.

2 MR. WETZEL: No.

3 MR. KOBSEFF: One of the things that Siskiyou  
4 County Board of Supervisors would request is that you do  
5 have at least one board member when you're taking  
6 comments. That's what our board does. There's five of  
7 us when we do that, but it would be helpful. Even  
8 though you got a short deadline, you would have a board  
9 member here.

10 Two things: In 2008 or '9, Catherine Coleman,  
11 who was the executive director of the North Coast  
12 Regional Water Board, attended a board meeting at --  
13 here in Yreka for our board with regard to the 401  
14 certification for PacifiCorp. When asked the question  
15 if -- if the relicensing required a 401 certification  
16 permit, would a 401 certification permit be required if  
17 the dams were deconstructed or decommissioned? Answer  
18 was "yes."

19 Siskiyou County would like to know how you will  
20 re- -- reconcile that and if you will do an analysis in  
21 both of those scenarios, because you'll be required to  
22 for water quality.

23 The other thing is is that through the Klamath  
24 Compact, which is a bistate compact between Oregon and  
25 California, has been approved by Congress has authorized

1 the Siskiyou County Flood and Water Control District  
2 authority over pollution entering our waters in  
3 California. That is the mechanism that you should be  
4 using to bring analysis to the water quality problem  
5 within Siskiyou County.

6 Thank you.

7 MR. WETZEL: Thank you.

8 (Applause.)

9 MR. HAUPT: Good evening. And my name is Ray  
10 Haupt, H-A-U-P-T, Siskiyou County Board of Supervisors,  
11 District 5.

12 I wasn't going to speak tonight, but I thought  
13 I'd bring a little different discussion, maybe, here.

14 As I listen, I have a number of concerns. And  
15 you know, I've heard a lot of things in the room  
16 tonight. And one of the things that continues to  
17 confound me is we, as a species, put a man on the moon,  
18 and we can't figure out how to fix this issue on the  
19 Klamath. You know, that -- that's beyond comprehension  
20 to me.

21 I've been involved with dam removal, the  
22 decisions to do that, the analysis to do that, both as  
23 an agency official in my previous life, as a college  
24 instructor for four years teaching hydrology, as well as  
25 now a county supervisor. And I have a couple things to

1 say. One, you know, since 1988, I have been following  
2 this process intently.

3 One of the things that I -- that I do want to  
4 caution you on is using -- and this is the most  
5 disturbing thing I heard all night, I think, is that  
6 you're going to rely on the science that's in the EIS  
7 for the FERC dam removal piece.

8 I, for one, am a natural resource professional.  
9 I follow the science. I have major issues with the  
10 sediment modeling that was used for dam removal and I  
11 caution you in moving -- in using that. My main caution  
12 is there was an inappropriate model used to model the  
13 sediments and the release into the -- into the Klamath  
14 River mainstem.

15 That's a two-dimensional model when we all know  
16 that it's three dimensional in nature, and in that it  
17 was artificially, I believe, constrained as a  
18 head-cutting model just to model the sediments in the  
19 channel itself and not look at the side discharges  
20 associated with subsequent collapses over a period of  
21 time.

22 With that said, the model there also picked  
23 sand clay as a substrate to model, and anybody in the  
24 room that knows anything about engineering, that's the  
25 most stable soil that we could use and that doesn't

1 represent it.

2           The last thing I want to bring up is the  
3 reliance on artificially constraining the effects of the  
4 sediment that's five miles below the dams. There are  
5 far-reaching effects all the way to the estuary and into  
6 the -- into the ocean that this body right here must  
7 consider that were constrained from being looked at,  
8 both through a biological assessment for that science as  
9 well as in the determinations by National Fishery  
10 Service.

11           And I will leave you with those comments, and I  
12 know there will be more coming from the board.

13           Thank you.

14           (Applause.)

15           MR. WETZEL: Thank you.

16           MR. BACIGALUPI: Jerry Bacigalupi.

17           I -- I'd just like to emphasize on what Ray  
18 said about the sediments. If you put the 20 million  
19 cubic yards in perspective, it amounts to, if you assume  
20 that the river's 150 feet wide, it's 190 miles to the  
21 river to the estuary from the Iron Gate, it amounts to  
22 3 feet deep by 150 feet wide by 190 miles long, so it's  
23 not just a little -- little bit of sediment. It's a  
24 lot.

25           And I can't believe that the North Coast

1 Regional Water Quality Control Board and the Department  
2 of Interior recommended washing these sediments out  
3 while the dams were being removed. I just can't believe  
4 it as an engineer.

5 Thank you.

6 MR. WETZEL: Thank you.

7 MR. COZZALIO: Rex Cozzalio, C-O-Z-Z-A-L-I-O.

8 I would just like to respond to some of the  
9 people who well-intentioned and, I understand, have  
10 dismissed the presence of our comments on the river. As  
11 far as I know, none of those people actually lived  
12 directly below Iron Gate Dam before and after, during,  
13 and in the area that's defined by all of the statements  
14 that have ever been made as being the highest impact of  
15 dam consequence. Theoretically, we should be the most  
16 toxic, the most -- the most detrimentally affected by  
17 the dams.

18 The fact of the matter is in the studies that  
19 were done, the reach from Iron Gate back to the Shasta  
20 River has actually been found by tagged salmon studies  
21 to have the highest survival rate of any reach from the  
22 river down to the coastal influence.

23 I personally experienced the improvements, as I  
24 said earlier, in the water quality, the -- and the  
25 fishery's conditions in our region. I can't speak to

1 120 miles downstream, but I can speak to the area  
2 directly impacted three miles below Iron Gate and the  
3 other dams that we experience the benefits of, although  
4 they weren't sufficient in capacity to be able to cause  
5 those enhanced benefits until Iron Gate was put into  
6 place.

7           If you release those, all of the return to  
8 those conditions that I experienced as a child are that  
9 the cold water refuges, the deep water pools, the gravel  
10 beds that provide the spawning ground for the salmon in  
11 our particular region will be decimated. They will be  
12 filled with sediment that -- from the salt-based clay  
13 soil that will not be flushed out in any reasonable  
14 time.

15           You talk about the periphyton and the moss and  
16 the algae that's formed. Those periphyton beds will  
17 increase the biomass incredibly without those dams.  
18 That -- we experienced that before Iron Gate. Just  
19 conceive of pulling all four of those out.

20           And if you want to look at the history, read  
21 Gibbs' report from 1851 that described the Klamath  
22 conditions in the -- in the coastal region and the  
23 salmon conditions at that time long before any European  
24 influence was put into place for the dams.

25           Thank you.

1 MR. WETZEL: Thank you very much.

2 (Applause.)

3 MR. WETZEL: I think that's it for this  
4 evening. Thank you guys all for coming.

5 (The proceedings concluded at 7:32 p.m.)

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 CERTIFICATE OF REPORTER  
2  
3

4 I, Carol J. Chase, CSR 13538, hereby certify  
5 that the proceedings in the within-entitled cause was  
6 taken down in shorthand by me, a Certified Shorthand  
7 Reporter and a disinterested person, at the time and  
8 place herein stated, and that the proceedings were  
9 thereafter reduced to typewriting, by computer, under my  
10 direction and supervision;

11 I further certify that I am not of counsel or  
12 attorney for either or any of the parties to the said  
13 proceedings, nor in any way interested in the outcome of  
14 this cause, and that I am not related to any of the  
15 parties thereto.

16 I hereto declare under penalty of perjury that  
17 the foregoing is true and correct. I have hereunto set  
18 my hand on February 8, 2016.  
19  
20  
21  
22  
23

24 \_\_\_\_\_  
25 Carol J. Chase, CSR #13538